

STATE OF MISSOURI
PUBLIC SERVICE COMMISSION

FILED

OCT 05 2004

Missouri Public
Service Commission

In the Matter of Laclede Gas)
Company's Tariff to Revise Natural) Case No. GR-99-315
Gas Rate Schedules.)

DEPOSITION OF MARK OLIGSCHLAEGER,

a witness, produced, sworn and examined on the 17th day of
September, 2004, between the hours of 8:00 a.m. and
6:00 p.m. of that day at the offices of AmerenUE, 101
Madison Street, in the City of Jefferson, County of Cole,
State of Missouri, before

KELLENE K. FEDDERSEN, RPR, CSR, CCR
MIDWEST LITIGATION SERVICES
714 West High Street
P.O. Box 1308
Jefferson City, MO 65101
(573)636-7551

and Notary Public within and for the State of Missouri,
commissioned in Cole County, Missouri, in the
above-entitled cause, on the part of AmerenUE, pursuant to
agreement.

Exhibit No. 157
Case No(s). GR-99-315
Date 9-24-04 Rptr TS

1 A P P E A R A N C E S

2 FOR AMERENUE:

3 THOMAS BYRNE (VIA TELEPHONE)
4 Attorney at Law
5 P.O. Box 66149
6 1901 Chouteau Avenue
7 St. Louis, MO 63103
8 (314)554-2237

9 JAMES B. LOWERY
10 Attorney at Law
11 SMITH LEWIS, LLP
12 111 South Ninth, Suite 200
13 P.O. Box 918
14 Columbia, MO 65201-0918
15 (573)443-3141

16 FOR LACLEDE GAS COMPANY:

17 MICHAEL C. PENDERGAST
18 Attorney at Law
19 720 Olive Street
20 St. Louis, MO 63101
21 (314)342-0532

22 FOR THE STAFF OF THE MISSOURI PUBLIC SERVICE COMMISSION:

23 THOMAS R. SCHWARZ, JR.
24 Deputy General Counsel
25 P.O. Box 360
200 Madison Street
Jefferson City, MO 65102
(573)751-3234

ALSO PRESENT: Rosella Schad

SIGNATURE INSTRUCTIONS:

Presentment waived; signature requested.

EXHIBIT INSTRUCTIONS:

None marked.

I N D E X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Direct Examination by Mr. Lowery
Cross-Examination by Mr. Pendergast

4
85

1 MARK OLIGSCHLAEGER, being sworn, testified as follows:

2 DIRECT EXAMINATION BY MR. LOWERY:

3 Q. Good morning, Mr. Oligschlaeger. My name
4 is Jim Lowery, and as I think you know, I represent
5 AmerenUE in this case. We're here this morning in the
6 case involving Laclede Gas Company, Case No. GR-99-315,
7 which has been remanded to the Commission from the
8 Missouri Court of Appeals.

9 Could you please state your name for the
10 record.

11 A. My name is Mark L. Oligschlaeger.

12 Q. Have you had your deposition taken before,
13 Mr. Oligschlaeger?

14 A. Yes, I have.

15 Q. Just a couple preliminary matters before we
16 start the substantive part of the deposition. If you
17 don't hear a question that I ask, or understand it, would
18 you please let me know?

19 A. Yes.

20 Q. And I'll try to rephrase or clarify it. If
21 you want to take a break at some point, just let me know
22 as well and we can do that as well.

23 Is there any reason that you know of that
24 you might not be able to answer or understand any of the
25 questions I'm going to ask you this morning?

1 A. No.

2 Q. You filed supplemental rebuttal testimony
3 in this case on September 10th, correct?

4 A. Yes.

5 Q. Are you a depreciation engineer?

6 A. No, I am not.

7 Q. Are you a depreciation expert or analyst?

8 A. I would consider myself an expert generally
9 in regulatory matters. I would just leave it at that.

10 Q. Not in depreciation in particular, though,
11 in the field of depreciation?

12 A. I don't believe so.

13 Q. Is calculating depreciation rates, for
14 example, a part of your job?

15 A. It has not been.

16 Q. Is it now a part of your job?

17 A. No, it is not.

18 Q. Schedule 2-1 of your testimony lists the
19 cases in which you've testified over your career with the
20 Staff, right?

21 A. Yes.

22 Q. And you've been with the Staff, what, a
23 about 22 or '3 years?

24 A. 23 years.

25 Q. 23. Did you provide any testimony relating

1 to depreciation in any of the cases that you've listed in
2 Schedule 2-1? And I'm referring to your Schedule in --
3 no. 2-1 is correct.

4 A. Not specifically, no.

5 Q. Did you in general address depreciation in
6 testimony in some of those cases?

7 A. In some cases, in terms of policy testimony
8 or looking at things like cash flow or earnings, looking
9 at annual levels of depreciation expense may have entered
10 into it, that kind of thing.

11 Q. You didn't -- I take it you did not address
12 issues about what the appropriate way to calculate
13 depreciation is, one method versus another, any of that
14 testimony?

15 A. No.

16 Q. Or the appropriate way to determine net
17 salvage percentages or net salvage allowances in any of
18 those cases?

19 A. No.

20 Q. Whom would you consider to be experts in
21 the field of depreciation?

22 A. I would consider our staff members that are
23 part of the engineering and management services department
24 that specialize in depreciation recommendations to be
25 experts. I presume that the witnesses offered by the

1 company and Public Counsel and other intervenors on
2 depreciation matters would be considered as experts as
3 well.

4 Q. You mentioned the staff members. Would
5 that be Jolie Mathis, Greg Macias and Ms. Schad?

6 A. I'm not sure that's a comprehensive list,
7 but I would agree that each of those three would be
8 experts.

9 Q. Did I leave out Guy Gilbert, for example?

10 A. Yes, you did.

11 Q. Is there anybody else that you think I left
12 out?

13 A. That's all I can come up with.

14 Q. Other than those Staff folks that you
15 consider to be experts, and you indicated you would
16 consider or that the experts that have been proffered by
17 the companies on depreciation would be experts, any names
18 come to mind, anybody that you know of that you consider
19 to be experts that you're familiar with?

20 A. Beyond the universe of individuals who have
21 submitted testimony in the Missouri PSC, no.

22 Q. Just to get an idea of where you fit into
23 the organization at Staff, who do you report to?

24 A. I report to Joan Wandel, the manager of the
25 auditing department.

1 Q. And who does she report to?

2 A. Bob Schallenberg, the utility services
3 division director.

4 Q. And he reports to Robert Quinn?

5 A. The executive secretary, I think is his job
6 title.

7 Q. And do you have some direct reports
8 yourself?

9 A. All of the members of the Jefferson City
10 auditing department report to me.

11 Q. Have you ever worked for a public
12 utility?

13 A. No, I have not.

14 Q. Your entire career has been spent as a
15 regulator; is that right?

16 A. Actually, I spent five months working for
17 the firm of what was called at that time Dittmer, Brosch &
18 Associates, now known as Utilitech, which is a consulting
19 firm specializing in regulatory matters. That would be
20 the period December '85 through April '86. Other than
21 that, my entire professional career has been with the
22 Commission.

23 Q. So you left the Commission for a little
24 while, went to work for this consulting firm and then came
25 back?

1 A. That is correct.

2 Q. Did you work on any depreciation issues
3 while you were at -- I don't remember the name of the
4 company that you mentioned, but this other employer?

5 A. Not that I recall.

6 Q. Have you ever worked for any other
7 industrial or commercial corporation or enterprise?

8 A. No.

9 Q. Have you ever worked in any job where you
10 had responsibility for managing the cash flows of an
11 organization?

12 A. No.

13 Q. What training in cash flow management do
14 you have?

15 A. Just the training that one receives and the
16 experience one receives working as a regulatory auditor
17 with the Commission.

18 Q. Is that training just on-the-job training,
19 in terms of these are things you learn as you're doing
20 your job duties, or have you actually taken seminars
21 relating to cash flow management or gone to classes or
22 training relating to cash flow management of some kind?

23 A. I don't recall any specific training
24 classes or seminar that dealt with cash flow issues.

25 Q. How about a job where you had

1 responsibility for managing reinvestments of earnings or
2 cash flow back into a company, have you ever had any of
3 those kinds of responsibilities?

4 A. No.

5 Q. What training in managing the reinvestments
6 of earnings or cash flows back into the company do you
7 have? I take it you don't have any particular training in
8 that area?

9 A. That is correct.

10 Q. Have you ever worked for a credit ratings
11 agency?

12 A. No, I have not.

13 Q. Do the opinions of credit ratings agencies
14 affect the cost of utility borrowings?

15 A. I don't know that their opinions do. I
16 believe generally the ratings given to the debt offerings
17 of a utility may affect the cost.

18 Q. So the credit ratings, A, AA, BBB-,
19 whatever rating they may give, that would affect the cost
20 of utility borrowings?

21 A. That is my understanding.

22 Q. Do you have any training in rating the
23 creditworthiness of commercial enterprises like public
24 utilities?

25 A. No, I do not.

1 Q. Have you ever worked for a large pension
2 fund or insurance company or any other kind of large
3 institutional investor of the type that might invest in
4 debt of public utilities?

5 A. No.

6 Q. Is it fair to say that investors, those
7 kinds of investors rely upon the ratings from credit
8 agencies in making their decisions to subscribe to the
9 debt of public utilities?

10 A. I presume to some degree investors would
11 rely upon such ratings.

12 Q. Do you know whether they do or you just --
13 you think it's fair to make that assumption?

14 A. I think that's a fair assumption.

15 Q. You indicate in your testimony at page 2,
16 lines 4 to 6, that you had received training at in-house
17 and outside seminars on technical ratemaking matters, and
18 I think you've probably already answered this to a large
19 degree, but I take it that none of that training dealt
20 with depreciation in particular or net salvage/cost of
21 removal in particular?

22 A. Not that I recall.

23 Q. This may -- this may generate a long list.
24 I'm not sure. But what training have you had? What kind
25 of -- what training were you referring to in your

1 testimony?

2 A. Over the duration of my employment to the
3 Commission, I've occasionally been allowed to attend
4 outside seminars on various topics, as well as attend what
5 I would call general regulatory seminars, such as actually
6 the NARUC Subcommittee on Accounts meeting that I just
7 spent several days with in St. Louis.

8 Also over the course of my employment the
9 Commission from time to time has offered in-house training
10 on various topics of interest in terms of ratemaking.
11 That's a general thing. If you want me to get more
12 specific --

13 Q. No. I think that will suffice.

14 Do you recall if any of that training
15 talked about the issue of the use of cash flows from
16 depreciation, including net salvage, in utility
17 operations?

18 A. As a specific topic, I don't recall.

19 Q. Have you read the record in this case?

20 A. I have read the testimony that was filed
21 both in the original stage of the GR-99-315 proceedings,
22 on this particular issue.

23 Q. Okay.

24 A. As well as the testimony filed during this
25 current phase of the remand proceeding. I'll supplement

1 that by also saying that in 1999 I probably reviewed other
2 portions of the case on other issues as well.

3 Q. You've read all the supplemental testimony
4 filed here in the last month or so?

5 A. Yes.

6 Q. And you read Paul Adam's testimony from
7 '99?

8 A. Yes.

9 Q. Ron White's testimony? No, he wasn't in
10 this case. Mr. Kottemann's testimony?

11 A. Actually, Mr. White was.

12 Q. Mr. White was in the case also. All right.

13 A. And Mr. Kottemann's, but only as it applied
14 to this specific issue.

15 Q. All right. Anybody else that you read re--
16 well, let me strike that.

17 You read the testimony from '99 recently?

18 A. Yes.

19 Q. In connection with preparing your
20 supplemental rebuttal testimony?

21 A. Yes.

22 Q. Anybody else's testimony from '99 that I
23 didn't mention or you didn't mention that you read
24 relating to these depreciation issues that we have before
25 us now?

1 A. No. That would have been Mr. Adam,
2 Mr. Kottemann, Mr. White.

3 Q. When you say you read their testimony, you
4 read their direct and their rebuttal and their surrebuttal
5 if they filed those?

6 A. Yes.

7 Q. Have you read the hearing transcript?

8 A. No, I have not.

9 Q. None of it? Not even the part -- for
10 example, did you read the hearing transcript when Mr. Adam
11 testified or --

12 A. No, I have not.

13 Q. Or Mr. Kottemann or Mr. White?

14 A. No.

15 Q. Have you read any Data Request responses
16 from Staff relating, for example, from Mr. Adam that he
17 would have submitted responses to Data Requests back in
18 '99 when this case was tried?

19 A. No.

20 Q. I take it you haven't read any Data Request
21 responses from any of the other parties, then, in this
22 case?

23 A. Unless they've been attached as schedules
24 to their supplemental rebuttal testimony, but I don't
25 recall whether they were or not.

1 Q. Only if they were part of the testimony
2 that you reviewed --

3 A. Right.

4 Q. -- would you have done that?

5 Have you studied Laclede's depreciation and
6 net salvage data -- related data in this case?

7 A. I've done -- in that respect, I've read the
8 testimony I described earlier. I've not done any further
9 analysis.

10 Q. You haven't studied, for example, in
11 particular Laclede's estimates of net salvage that they
12 proposed in the case?

13 A. No.

14 Q. Or how they were calculated, other than --
15 let me try to clarify that. Other than the methodology by
16 which they may have calculated them, you haven't studied
17 the estimates themselves?

18 A. No.

19 Q. Do you agree with Mr. Adam's prefiled
20 testimony? And I'm talking about his direct, his rebuttal
21 and surrebuttal.

22 A. I agree with his recommendations and
23 conclusions.

24 Q. Does that mean there's things that he said
25 that you don't necessarily agree with?

1 A. I don't recall any. If I was asked to
2 write testimony, I might state things differently than
3 Mr. Adam, but not necessarily disagree with him.

4 Q. You said that you agree with his
5 recommendations and conclusions. What are those
6 recommendations and conclusions that you agree with?

7 A. Specifically that it would be appropriate
8 to treat Laclede's net salvage costs for ratemaking
9 purposes based upon the recent outlays Laclede had made
10 for that item.

11 Q. Anything else?

12 A. Not that I recall.

13 Q. You've read -- you said that you've read
14 all the testimony that's been filed here in the last month
15 or so. Do you agree with Mrs. Schad's testimony that's
16 been filed in this case?

17 A. Yes, I do.

18 Q. Anything that you don't agree with?

19 A. No.

20 Q. I'd like to try to get some terminology
21 straight. I don't think there's any confusion, but just
22 for the record, I'm going to use some terms and I want to
23 make sure you and I are on the same page when I'm using
24 those.

25 When I say Staff's method or Staff's

1 approach or Staff's treatment of net salvage, I'm going to
2 be talking about the method originally proposed by
3 Mr. Adam that Mrs. Schad has adopted.

4 A. Okay.

5 Q. Is that fair?

6 A. That would be fair.

7 Q. And when I'm talking about the company's
8 method or approach or the standard method or approach, I'm
9 going to talk about -- I'll be talking about the method of
10 dealing with net salvage that's been advocated by Laclede
11 and AmerenUE in this case.

12 A. Okay. I understand that.

13 Q. Staff has proposed in a number of
14 proceedings subsequent to this case, the GR-99-315 case, a
15 different way of handling net salvage, in fact, to remove
16 net salvage completely from the depreciation calculation.
17 Are you familiar with that?

18 A. Yes, I am.

19 Q. Which approach do you believe is correct,
20 the one advocated by Mr. Adam and adopted by Mrs. Schad in
21 this case or the one that Staff has on numerous occasions
22 suggested in subsequent cases?

23 A. I believe that substantively those
24 approaches are identical. I do not have a problem with
25 and would advocate treating the net salvage costs on a

1 period expense basis.

2 Q. When you say on a period expense basis, is
3 that Staff's subsequent method? Is that what you mean
4 when you --

5 A. Yes.

6 Q. So if you don't think they're substantively
7 different, then I -- is it fair to say that you wouldn't
8 oppose use of Mr. Adam's method in future cases?

9 A. I think it leads to the same results. I'm
10 an auditor, so perhaps I think it's more easily understood
11 perhaps under the -- what you would call the subsequent
12 Staff method.

13 Q. Is that why you think they're the same, one
14 may be preferable to the other, that they're more
15 easily -- that the subsequent method is more easily
16 understood?

17 A. Again, I don't think there's a difference
18 in the dollar values that are generated. In my mind, and
19 this is a personal opinion, it's easier to understand when
20 it's termed as a period expense.

21 Q. Mr. Adam's method includes net salvage as
22 part of the depreciation calculation, correct?

23 A. That's my understanding.

24 Q. And the effect of that is that the accruals
25 for net salvage that are part of the depreciation rate go

1 into the depreciation reserve, correct?

2 A. Yes.

3 Q. And that doesn't happen with Staff's
4 subsequently recommended method, correct?

5 A. That is correct.

6 Q. Is that a good thing or a bad thing from
7 your perspective?

8 A. I'm not sure it's either good or bad. If
9 it is treated as an expense, there should be no impact on
10 rate base or the depreciation reserve.

11 Q. Can you define depreciation for me?

12 A. I believe I state on page 4 of my
13 supplemental rebuttal testimony that depreciation expense
14 is a return to shareholders of capital previously invested
15 by the utility in plant and assets.

16 Q. Where did you get that definition that you
17 use in your testimony?

18 A. That is my definition. I believe it's
19 consistent with other definitions I have seen used by the
20 Staff.

21 Q. Are you familiar with the definition of
22 depreciation in the Uniform System of Accounts?

23 A. I've read it, yes.

24 Q. Do you know what the concept of service
25 value is?

1 A. I have read that definition as well in the
2 Uniform System of Accounts and am familiar with it.

3 Q. Mr. Stout's testified in this case that
4 Staff's method is inconsistent with the Uniform System of
5 Accounts. Do you agree or disagree with him?

6 A. I am not sure that the Uniform System of
7 Accounts dictates specifically how the net salvage
8 component of the depreciation rate is to be calculated.

9 Q. I'm going to hand you the definition
10 section from the Uniform Systems of Accounts adopted by
11 FERC for gas utilities, and I'll direct your attention
12 to -- it's on page 547, and it's 12B, the definition of
13 depreciation. Could you just read the definition of
14 depreciation up to the first period for the record.

15 A. Depreciation as applied to depreciable gas
16 plant means the loss in service value not restored by
17 current maintenance incurred in connection with the
18 consumption or prospective retirement of gas plant in the
19 course of service from causes which are known to be in
20 current operation and against which the utility is not
21 protected by insurance.

22 Q. Thank you. The concept of service value is
23 included in that definition, correct?

24 A. I believe so.

25 Q. And can you define service value for me?

1 A. As I generally recall, the service value is
2 the original cost -- as defined in the Uniform System of
3 Accounts, is the original cost of the plant item in
4 question less any net salvage.

5 Q. And do you know how net salvage is defined?

6 A. I believe net salvage is defined as the
7 cost of removal associated with an asset netted against
8 any salvage proceeds associated with the retirement,
9 removal of the asset.

10 Q. So at least in the Uniform System of
11 Accounts, the definition of depreciation, which includes
12 the concept of service value, also includes service value,
13 includes the concept of net salvage, which includes the
14 concept of cost of removal, correct?

15 A. I believe that's accurate.

16 Q. And doesn't your definition that you gave
17 on page 4 at lines 10 and 11 focus only on the original
18 investment in the capital assets?

19 A. I would agree with that.

20 Q. So your definition is not consistent with
21 the Uniform System of Accounts, is it?

22 A. To the extent the Uniform System of
23 Accounts provides for what I would call an accrual or
24 estimated level of cost to removal or net salvage to be
25 included in the depreciation rate, then that would not be

1 consistent.

2 Q. And it does provide for that, does it not?

3 A. Again, I am not personally convinced that
4 the USOA provides for that kind of accrual approach to net
5 salvage.

6 Q. But the definitions used in the Uniform
7 System of Accounts as they pertain to depreciation clearly
8 contemplate that service value is a part of depreciation
9 and that net salvage is a part of service value, correct?

10 A. That net salvage be taken into account.

11 Q. Would it be fair to say that the company's
12 method of treating net salvage is accounting for it on an
13 accrual basis, whereas Staff's method is accounting for it
14 on a cash basis?

15 A. In broad terms, I would agree with that.

16 Q. Do you know whether the Uniform System of
17 Accounts recommends accrual or cash-based accounting?

18 A. Like all -- well, I shouldn't say all.
19 Like most systems of accounting, it is based upon accrual
20 accounting, but there may be exceptions for ratemaking
21 purposes, though.

22 Q. General Instruction 11 of the Uniform
23 System of Accounts mandates accrual accounting, doesn't
24 it?

25 A. Yes.

1 Q. When was the last time that AmerenUE itself
2 made a major acquisition?

3 A. I believe -- I believe they're in the
4 process of making an acquisition of Illinois Power &
5 Light.

6 Q. AmerenUE is making that acquisition?

7 A. Oh, I'm sorry. I'm sorry. Since the
8 formation of AmerenUE, and I guess when I say formation,
9 since the corporate structure was set up in the late '90s,
10 I don't believe AmerenUE itself. -- I'm not aware that
11 AmerenUE itself has made those kind of acquisitions.

12 Q. You're not aware during the last, oh,
13 roughly eight years or so AmerenUE itself making any major
14 acquisitions?

15 A. I'm not aware of that.

16 Q. AmerenUE itself doesn't have any
17 significant unregulated operations either, does it? Maybe
18 none, but nothing of any real significance; is that fair
19 to say?

20 A. That's my understanding.

21 Q. So on page 3, lines 4 to 16 -- 14 to 16,
22 excuse me, when you indicate that cash flow can also be
23 used by utilities for other activities, such as to finance
24 mergers and acquisition transaction and for investment in
25 nonregulated ventures, you're not saying that AmerenUE is

1 using cash flow for depreciation to finance AmerenUE
2 acquisitions or to engage in unregulated operations, are
3 you?

4 A. No. My suggestion there is in a parent
5 company kind of structure, usually the cash flow is turned
6 over to the parent company to make decisions on how to use
7 the cash.

8 Q. Well, do you know what happens to the
9 dividends that AmerenUE dividends to Ameren Corporation?
10 I assume that's what you're referring to.

11 A. Yes.

12 Q. Do you know what happens to those?

13 A. I assume they're available for whatever use
14 Ameren Corporation would determine is best.

15 Q. Do you know?

16 A. No. That's an assumption.

17 Q. If Ameren -- if all the dividends paid by
18 AmerenUE --

19 MR. SCHWARZ: I'm going to object because
20 this case doesn't involve AmerenUE. I think if the same
21 situation applies at Laclede, that that might lead to
22 admissible evidence, but there's nothing in this case that
23 deals with dividend patterns or acquisition patterns of
24 AmerenUE. So I don't think that this line of questions
25 can lead to admissible evidence.

1 MR. LOWERY: Just to respond to that a
2 moment, AmerenUE is an intervenor in this case, and
3 Mr. Oligschlaeger has made a broad statement in his
4 testimony about the use of cash flow by utilities, not
5 limited to Laclede, and suggested that that cash flow's
6 being used to finance certain mergers and acquisitions and
7 unregulated ventures.

8 BY MR. LOWERY:

9 Q. So subject to Mr. Schwarz's objection, you
10 can answer the question. Do you need us to read it back
11 or try to restate it?

12 A. At this point, yes.

13 Q. If the dividends that are paid by AmerenUE
14 to Ameren Corporation, if those dividends are in turn paid
15 to Ameren shareholders, then isn't it true that the cash
16 flows from AmerenUE are not financing Ameren Corporation
17 unregulated operations or Ameren Corporation acquisitions?

18 A. Under the assumption that those dividends
19 paid by AmerenUE to Ameren Corporation are in turn paid
20 out as corporate dividends to shareholders, then those
21 monies would no longer be available to Ameren Corporation
22 for whatever purpose they could have been used.

23 Q. And you don't know whether or not that
24 assumption is valid or not, do you?

25 A. I reviewed AmerenUE's most recent annual

1 shareholders report, which had a 10K attached, and I do
2 not believe there was a 100 percent payout of net income
3 to dividend, in the form of dividends to shareholders. I
4 believe some level of monies were retained.

5 Q. You might have lost me there. Was this
6 were these Ameren monies that were retained or AmerenUE
7 monies that were retained?

8 Let me try it this way: AmerenUE may not
9 have dividended all of its cash flows, for example, to
10 Ameren; there may be retained earnings at AmerenUE,
11 correct?

12 A. There could be. I don't know that.

13 Q. There could be?

14 A. Yes.

15 Q. But we already talked about the fact that
16 AmerenUE over the last several years hasn't made any
17 acquisitions of its own of any significance, right?

18 A. Those are made at the corporate level, the
19 parent company.

20 Q. Well, when you say they're made at the
21 corporate level, that's a different corporation, though,
22 is it not?

23 A. A parent company level.

24 Q. And we've already talked about the fact
25 that AmerenUE itself doesn't engage in any significant

1 unregulated operations, right?

2 A. That's my understanding.

3 Q. So if there are retained earnings at
4 AmerenUE, that's not the money we're talking about, is it?
5 We're talking about dividends from AmerenUE to Ameren and
6 what happens with that money. That's what my question is
7 directed toward. Do you understand that?

8 A. Okay.

9 Q. So when you mentioned the 10K and you
10 mentioned whether or not 100 percent may or may not have
11 been dividended to shareholders, are you talking about
12 whether or not 100 percent of the dividends from AmerenUE
13 to Ameren may or may not have been dividended to
14 shareholders or are you talking about Ameren's earnings in
15 general, whether or not Ameren may have had certain amount
16 of earnings and only some of them were dividended?

17 A. The specific information I reviewed had to
18 do with total company Ameren.

19 Q. Ameren Corporation?

20 A. That is correct.

21 Q. What's dividend yield?

22 A. I'm not a financial analyst. It is my
23 understanding that that's taking the current level of
24 dividends, comparing it to the current stock price or
25 recent average of stock prices.

1 Q. That's what I remember, but I'm sort of
2 like you. It's the -- it's an expression of a rate, we
3 take the current level of dividends, we take the stock
4 price and that gives us a percentage, for example,
5 5 percent dividend yield?

6 A. Yes, that's my understanding.

7 Q. Is an attractive dividend yield one of the
8 factors that equity investors consider in deciding whether
9 to invest in a stock?

10 A. Based upon reading of financial analysis
11 testimony over the years, I would agree with that.

12 Q. And in the utility industry, dividend yield
13 in particular is something that -- let me try to rephrase
14 that.

15 Utility stocks historically have been
16 stocks that are invested in or that are seen as being
17 attractive because they typically have pretty good
18 dividend yields; is that fair?

19 A. That's my understanding, on a historical
20 basis. There may be some changes to that in some aspects
21 of the utility industry in recent years.

22 Q. Dividends are paid from cash flow; is that
23 right?

24 A. That's correct.

25 Q. And lower depreciation rates are going to

1 result in less cash flow?

2 A. To the extent those are reflected in the
3 rate levels directly, yes.

4 Q. If depreciation rates are lowered and rates
5 are set based upon those lower depreciation rates, then
6 cash flows are going to go down?

7 A. Yes, I believe so.

8 Q. Is that a paraphrase of what you said?

9 A. Uh-huh.

10 Q. And Staff's approach in this case results
11 in lower depreciation rates than if the standard approach
12 is used, correct?

13 A. In the situation where net -- where cost of
14 removal exceeds salvage, yes, which I believe is generally
15 the case today.

16 Q. Well, if we have the same data and we have
17 cost of removal exceeding salvage -- exceeding salvage in
18 a set of plan accounts and we use Staff's approach or we
19 use the standard approach, if we use Staff's approach, the
20 resulting depreciation rate's going to be lower?

21 A. Under those assumptions, yes.

22 Q. And if the resulting depreciation rate is
23 lower and if that depreciation rate is used to set rates,
24 cash flows are going to be lower, correct?

25 A. Yes.

1 Q. If a utility's stock is less attractive to
2 investors than other utilities' stocks, will that
3 affect -- will that mean that the cost of accessing the
4 equity markets for the less attractive utility are greater
5 than the cost of accessing the equity markets for the more
6 attractive utility?

7 A. In a general sense, I would believe that to
8 be true. Again, that's based on just reading financial
9 analysis testimony filed in rate proceedings over the
10 years.

11 Q. Which you've been doing for 23 or 4 years?

12 A. That's fair to say, yes.

13 Q. I mean, you do know something about this,
14 correct?

15 A. Enough to be dangerous probably.

16 Q. Now, with regard to dividends, the cash for
17 dividends typically comes from some or all of the return
18 on equity recovered in rates, correct?

19 A. That's my understanding.

20 Q. So when you state on page 6, line 2 of your
21 testimony that amounts associated with return on equity
22 are also available to the utility for potential investment
23 and construction activities, that's not necessarily
24 accurate, is it?

25 A. I believe somewhere in my testimony I make

1 it clear that the amounts of return on equity available to
2 the company for investment purposes is net of any
3 dividends paid out. So I think I'm agreeing with you.

4 Q. Okay. At least part of those funds are
5 likely going to be paid out in dividends, correct?

6 A. Yes.

7 Q. On page 3 of your testimony, lines 17 to
8 19, you indicate that, in the context of this proceeding,
9 the cash flow and net salvage issues pertain only to the
10 amount of cash flow available to invest in long-term
11 utility assets.

12 A. That's correct.

13 Q. Is that a fair statement of what you said?

14 A. Yes.

15 Q. Are you familiar with AmerenUE's capital
16 investment commitments made in the EC-2002-1 settlement
17 and the Order that approved it?

18 A. At the time I was familiar with or read the
19 Stipulation & Agreement, yes.

20 Q. Would you agree that AmerenUE has
21 essentially committed to make over \$2 billion of
22 infrastructure investments by, I think it's either 2006 or
23 2007?

24 A. I don't recall the exact amount. I would
25 agree that -- significant is probably a fair term for

1 their commitments, yes.

2 Q. It's more than a billion; do you recall
3 that?

4 A. I don't, but --

5 Q. But it's very significant; is that fair?

6 A. Well, significant. I'll leave it at
7 significant.

8 Q. Okay. Well, whatever the exact number is,
9 and the record would reflect that, AmerenUE, in fact, has
10 a requirement to outlay whatever that number is as a
11 result of the Commission's Order adopting that settlement,
12 correct?

13 A. I believe that would be the legal -- or I
14 can't say legal -- the impact of the Stipulation &
15 Agreement, yes.

16 Q. I mean, the Order says we'd better do that,
17 correct?

18 A. I think there is a commitment there, yes.

19 Q. So when you say on page 4, line 6 to 7 of
20 your testimony that depreciation, deferred taxes and
21 return on equity are sources of cash because there is no
22 contemporaneous required outlay of cash, utilities do have
23 contemporaneous required outlays of cash, do they not?

24 A. They are not -- well, what I meant there is
25 in terms -- you don't write a check for depreciation

1 expense once you receive it in rates. You receive the
2 money in rates under the rubric of depreciation expense
3 and these other items, and then you have a choice of what
4 you can do with it, and one of those is reinvesting in the
5 company's infrastructure, which I believe you -- as I
6 recall, was a commitment that UE made in the last
7 Stipulation & Agreement.

8 Q. We may not have to take that dollar bill
9 and spend it on infrastructure, might be a different
10 dollar; that's what you're essentially saying?

11 A. You're committed to spend cash or -- from
12 however that's obtained for the purposes described in the
13 Stipulation & Agreement.

14 Q. But utilities do have required, in fact,
15 legally required cash outlays, do they not? Certainly in
16 the case of AmerenUE if we've committed to \$2 billion of
17 infrastructure investments and we're ordered to make those
18 under an Order, we're required to make cash outlays for
19 those, are we not?

20 A. Well, I don't want to make a legal
21 conclusion, because I cannot. But from a practical
22 perspective, I believe you are committed and should make
23 those expenditures.

24 Q. And utilities have an obligation to provide
25 safe and reliable service, correct?

1 A. Yes.

2 Q. And to the extent cash is required to do
3 that, wouldn't Staff take the position that the utility
4 had better spend the cash in order to make sure they're
5 providing that service?

6 A. They need to do what it takes to provide
7 safe and adequate service, including use of cash, yes.

8 Q. Direct your attention to page 4, lines 22
9 to 23, and page 5, line 1 through the word "no." And
10 you're asked, is traditional ratemaking as practiced in
11 this jurisdiction primarily based upon a utility's cash
12 flow needs? And your answer is no, and then you go on to
13 expand on that. That is your opinion, correct?

14 A. That's my opinion. I believe that is an
15 accurate reflection of what our traditional regulation in
16 the state is based on.

17 Q. I take it that while it's your opinion that
18 a utility's cash flow needs is not the primary focus of
19 traditional ratemaking, a utility's cash flow needs are
20 nevertheless a relevant consideration that the Commission
21 should consider in setting rates, is it not?

22 A. I would agree with that.

23 Q. Can you cite me to a Commission Order that
24 indicates that your opinion on this issue that you
25 expressed in the passage that I read is, in fact, the

1 policy of this Commission?

2 A. I cannot cite to a specific or a particular
3 Order that indicates such. In my opinion, this is
4 something that is generally understood.

5 Q. Is there any statute in Missouri that you
6 can cite to that indicates that your opinion is the policy
7 of the state, your opinion with respect to what the
8 primary purpose of ratemaking is and is not?

9 A. No.

10 Q. And I take it there's no court decision
11 that you can point to?

12 A. No.

13 Q. What about the rest of your answer on
14 page 5, line 1 to 7, is there any Commission Order that
15 states that it is the policy of this Commission that
16 utilities should not receive cash in rates to pay for
17 anything other than short-term cash expenses?

18 A. I don't believe that's the Commission's
19 policy, that they only receive cash in rates to pay
20 short-term cash expenses. There are other -- the utility
21 receives cash in rates at levels that typically exceed
22 their short-term cash expenses and those are available to
23 the utility for its use.

24 Q. Well, on lines 3 and 4, you state that
25 while the rate-setting process generally can be expected

1 to provide a utility with cash and rates to pay short-term
2 expenses, then you go on and talk about the usual practice
3 is to borrow or obtain equity for long-term investments.
4 Is it not your testimony -- strike that.

5 Then it's not your testimony that cash
6 flows provided in rates should only be used for short-term
7 cash expenses? They can be used for other things and
8 that's appropriate; is that your testimony?

9 A. That is my testimony.

10 Q. Are you familiar with the St. Louis County
11 Water Company case?

12 A. I'm familiar with a number of such cases.
13 Which one are you referring to?

14 Q. That's a good answer. The WR-2000-844 case
15 decided in 2001 that dealt with depreciation and net
16 salvage issues.

17 A. I have at the very least read the Report
18 and Order for that case.

19 Q. In fact, this Commission in that case cited
20 the need for cash flows to invest in utility
21 infrastructure as at least one of the bases for adopting
22 the standard approach in that case; isn't that fair?

23 A. I believe that's a fair characterization.

24 Q. Does Laclede have outstanding debt?

25 A. I would assume it does. I have not

1 specifically looked at that.

2 Q. What about AmerenUE, are you familiar with
3 whether AmerenUE has outstanding debt?

4 A. Same assumption; I would assume they do.

5 Q. Do those two companies issue stock to raise
6 equity capital?

7 A. Yes.

8 Q. So both Ameren -- assuming that those
9 assumptions are correct, that they do have debt and they
10 do issue stock to raise equity capital, which you think is
11 probably correct, right?

12 A. Yes.

13 Q. Assuming those two facts are true, that
14 means that AmerenUE and Laclede are, in fact, not
15 receiving enough cash in rates today to meet all of their
16 cash needs?

17 A. Just based on those facts, I can't say,
18 because the timing of such debt issuances and the equity
19 issuances aren't defined. It could be that they are
20 currently cash sufficient but may not have been in the
21 past at which time those issuances were made.

22 Q. Fair enough. Do you know whether they've
23 gone to the equity and debt markets from time to time on
24 an ongoing basis over the last few years?

25 A. I'm not aware of the timing of those kinds

1 of issuances over the last several years, no.

2 Q. Well, if we assume that the internally
3 generated cash is not sufficient to meet their current
4 cash needs, in that scenario the utilities will have to go
5 somewhere else to get that cash, correct?

6 A. That is correct.

7 Q. And the two likely sources or maybe the
8 only two sources are either the equity markets or to go to
9 the debt markets?

10 A. That's true.

11 Q. On page 6, line 7 to 8, you accuse the
12 companies of a falsehood, do you not?

13 A. No, I wouldn't agree with that. What I
14 stated is these claims seem to be based upon the
15 assumption that utilities should not have to use external
16 sources of funding. That is false. To the extent the
17 utilities, in fact, believe that they should not have to
18 use it, I would disagree with that opinion, but I would
19 not say that's a factual falsehood, no.

20 Q. Well, can you cite me any testimony from
21 the companies in this case where one of their witnesses
22 suggested that they should never have to borrow funds or
23 raise equity in the equity markets?

24 A. I don't believe any such testimony is
25 filed.

1 Q. And while you don't know the particular
2 timing of the debt or equity issuances, you did agree that
3 they -- those two utilities typically have borrowed money
4 and have issued stock from time to time, correct?

5 A. Let -- let me state, when you -- referring
6 specifically to Ameren, I'm aware that Ameren has
7 certainly engaged in those activities as part of their
8 merger and acquisition approach.

9 In terms of AmerenUE, whether they issue
10 debt separately or whatever, I'm not familiar with what
11 those activities may have been.

12 Q. You don't know one way or the other --

13 A. I do not.

14 Q. -- whether AmerenUE itself has issued debt?

15 A. That's correct.

16 Q. Let me ask you if this is fair. Isn't it
17 fair to say that what the company's witnesses have
18 testified to is that Staff's approach will reduce the cash
19 flows that they have been receiving via depreciation and
20 net salvage, which will require them to get cash that they
21 used to get via depreciation and net salvage elsewhere?

22 A. That's correct.

23 Q. Not that they should get all of their cash
24 needs from depreciation and net salvage; they haven't
25 testified in that regard, have they? They haven't married

1 that suggestion, have they?

2 A. They have not stated that directly, no.

3 Q. Well, how have they stated it indirectly?

4 A. And what I was referring to on page 6 is, I
5 think both Mr. -- I believe it was Mr. Sherwin, maybe
6 Mr. Cooper for Laclede and Mr. Baxter for UE compared
7 their current construction expenditures to the current
8 level of depreciation expense received in rates with, in
9 my mind, the implication that since there was a shortfall
10 of depreciation compared to the construction, that that
11 constituted a problem of some sort. That is what I was
12 addressing.

13 Q. Could just have easily been, though, a
14 contention that today, under the standard approach, we're
15 getting X amount of cash flow, and if you go to Staff's
16 approach we're going to get less cash flow, and so we are
17 going to lose a certain amount of cash flow that we used
18 to have available to make infrastructure investments,
19 correct?

20 A. And I would agree that's an impact of our
21 position on net salvage.

22 Q. Whose expectation is it that external
23 funding be used to invest in long-lived assets? Is that
24 your expectation, your opinion?

25 A. It's an expectation based on past

1 experience that all major utilities have rate base
2 investment, which means they have gotten funds from
3 external sources to invest in long-term assets.

4 Q. Forgive me if I'm asking the same question
5 again, but I think you've already testified, though, that
6 it's not your expectation that that be the only source of
7 investment in long-lived assets?

8 A. Utilities typically would invest both
9 internally-generated funds and externally-provided funds
10 in long-term assets.

11 Q. You talk about rate base at page 6, lines
12 11 to 13 of your testimony. Do you recall that or can you
13 see that as you look at your testimony?

14 A. Yes, I do.

15 Q. What effect do depreciation accruals have
16 on a utility's rate base?

17 A. All other things being equal, they would
18 reduce it.

19 Q. So if under the standard approach the
20 depreciation accruals are higher than under the Staff's
21 approach, the reduction in rate base, all things being
22 equal, is going to be greater under the standard approach,
23 correct?

24 A. That is correct.

25 Q. And if rate base goes down more under the

1 standard approach than the revenue requirement associated
2 with it, the return on rate base is going to go down more
3 as well, correct?

4 A. When that is isolated to consider only rate
5 base impacts, that is correct.

6 Q. If the rate base goes down by a million
7 dollars more under the standard approach, and let's just
8 keep it simple, say the rate of return is 10 percent,
9 revenue requirement's going to go down by \$100,000 more in
10 that example, correct?

11 A. That's correct. That does not take into
12 account the additional monies provided in rates for the
13 higher depreciation rates earlier by the customers.

14 Q. And reduction of rate base by the amount of
15 the depreciation accruals, that has been the practice that
16 the Commission has followed for a very long time, correct?

17 A. I believe that's true.

18 Q. What is the service life of a utility
19 asset?

20 A. It depends from asset to asset.

21 Q. Well, I didn't mean literally. In general,
22 what is -- not 50 years versus 30 years, but in general,
23 what does service life mean?

24 A. Oh, I'm sorry.

25 Q. That's okay. My question wasn't a good one

1 obviously.

2 A. How long -- the service life of a
3 particular asset is how long it is in service and
4 providing a benefit to the utility and its customers.

5 Q. What is intergenerational equity?

6 A. It's my understanding of the term that that
7 is the appropriate charging of costs in rates to different
8 generations of customers.

9 Q. Each generation of customer should pay the
10 full cost that the utility incurs to provide them service.
11 Is what I just said the same thing as what you just said
12 in your mind?

13 A. General terms, yes.

14 Q. What is your definition of a generation of
15 customers?

16 A. I'm not aware that there's any kind of
17 standard definition of that as it specifically applies to
18 utility ratemaking and intergenerational equity.

19 I would say at a minimum probably you would
20 consider customers under one level of rates compared to
21 another set of customers under a different level of rates
22 via a general rate proceeding to be two different
23 generations of customers.

24 Q. When you said at a minimum, what did you
25 mean? You said at a minimum you would consider customers

1 under one set of rates versus customers under another set
2 of rates.

3 A. What I mean is that, for example, if
4 Laclede typically files a rate case every two years or
5 AmerenUE files every five years or whatever the case may
6 be, that it could be legitimate to view that set of
7 customers in effect for the first two years for Laclede as
8 a different set of customers for the next two years under
9 a different level of rates.

10 Q. Okay. I understand what your definition
11 is. I just wasn't sure why you qualified it with at a
12 minimum. There wasn't any particular reason?

13 A. Well, that's -- using that example, if
14 Laclede is operating under the same set of rates for two
15 years, would I look at one year's customers as a different
16 generation than the next year's? Probably not. This is a
17 matter of art and not science, probably.

18 Q. Would you agree that it's unfair for a
19 past -- for past or future generations of customers to
20 subsidize the rates of today's customers?

21 A. As a general matter, yes.

22 Q. Should the Commission take the potential
23 for subsidization of that type into account when it sets
24 rates?

25 A. As one of the considerations facing it,

1 yes.

2 Q. Should it consider that in making decisions
3 about how depreciation and net salvage is going to be
4 treated?

5 A. Yes.

6 Q. Is it fair to say that one of the things
7 regulators try to do is match the costs associated with
8 the utility asset with the revenues generated by that
9 asset?

10 A. That is fair.

11 Q. That's the matching principle?

12 A. Yes.

13 Q. And you generally support that principle in
14 ratemaking?

15 A. Yes.

16 Q. And that's a principle the Commission
17 should consider when it sets rates?

18 A. Yes.

19 Q. If the Commission believes that a part of
20 the cost of an asset is the cost to remove or otherwise
21 retire that asset, then does it not make sense for the
22 customers who are served by that asset to pay the ratable
23 share of the entire cost of the asset over its service
24 life?

25 A. As long as those costs can be reasonably

1 and accurately quantified, yes.

2 Q. And when can those cost be reasonably and
3 accurately quantified, to use your terms?

4 A. Typically in the ratemaking process, that
5 is done by use of actual expense levels, as opposed to use
6 of estimated levels into the future. I'll just leave it
7 at that. Generally, it's using actual known costs.

8 Q. To the extent -- and I'll just ask you to
9 assume this, not necessarily to agree with it. To the
10 extent that the standard approach has been used in the
11 past for utilities, then, in fact, estimates of net
12 salvage have been used in ratemaking in this state, have
13 they not?

14 A. That is correct.

15 Q. So when you use the word typically, what
16 were you referring to?

17 A. The way most costs -- and I wasn't limiting
18 it to net salvage or cost of removal. Most costs, the way
19 most costs are treated in the ratemaking process.

20 Q. How do you know that Staff's approach will
21 in no way create a cash flow detriment, as you allege on
22 page 8 of your testimony?

23 A. Well, actually, there may be a short-term
24 differential between the rate -- the cash received in
25 rates for cost of removal and salvage activities compared

1 to the actual cost outlay. So with that caveat, ignoring
2 that, which is typical of all items of expense that a
3 utility incurs, the intent of the Staff's approach is to
4 provide them the cash -- provide the utilities the cash
5 they need to in turn expend on a current basis on cost of
6 removal activities.

7 Q. If the Staff's approach were adopted
8 prospectively and permanently, let's say, then the cash
9 flows over the long term are going to be less than if the
10 standard approach -- well, strike that.

11 I think we talked earlier about that cash
12 flows -- maybe we didn't. Are cash flows one of the
13 important factors that credit ratings agencies look at in
14 rating companies in general but utilities in particular?

15 A. I can't speak about in general. For
16 utilities, I believe that they look at cash flows, yes.

17 Q. Certainly for utilities, the cash flows
18 that utility has -- that utilities have is an important
19 factor in that credit ratings agency's determination of
20 what the credit rating is going to be?

21 A. I believe I could generally agree with
22 that.

23 Q. It's one of the more important factors,
24 isn't it?

25 A. I believe that's what Mr. Fetter's

1 testimony says, and I have no reason to doubt that.

2 Q. You don't have any reason to doubt that
3 Mr. Fetter is correct about that?

4 A. On that point, yes.

5 Q. And regardless of -- well, let me back up.
6 on page 10, lines 14 to 15, I think you
7 suggest that credit rating agencies are not focused on
8 setting just and reasonable rates. That's not their
9 focus, is your point, correct?

10 A. That's correct.

11 Q. Regardless of whether or that's true or
12 not, if credit ratings agencies perceive that Missouri's
13 policy on depreciation is less favorable than other
14 states' policies on depreciation, that's going to increase
15 the likelihood that Missouri utilities will have lower
16 credit ratings relative to other utilities in other
17 states, is it not?

18 A. Taken in isolation, I would agree that
19 measures that would reduce the cash flow of Missouri
20 utilities compared to out-of-state utilities would be
21 looked at less favorably by the credit rating agencies.

22 Q. Particularly since cash flow is an
23 important consideration for utilities in terms of how
24 credit ratings agencies view them, correct?

25 A. Yes.

1 Q. And if your credit rating is lower, if a
2 utility's credit rating is lower, then in general its cost
3 of borrowing is going to be higher, is it not?

4 A. That's my general understanding.

5 Q. And that in turn is going to cause customer
6 rates to be higher to the extent customer rates reflect
7 borrowing costs; is that not true?

8 A. All other things being equal, that is true.

9 Q. And if a utility is in general less
10 creditworthy in the views of the credit ratings agencies
11 or in the views of investors in general, the
12 attractiveness of its stock to equity investors is
13 probably going to be somewhat less as well, is it not?

14 A. Can you repeat that question?

15 Q. A utility that is less creditworthy than
16 another utility, its stock in general is going to be less
17 attractive than the stock of other utilities that are seen
18 as more creditworthy, true?

19 A. Credit rating agencies, as I understand it,
20 look at the debt instruments of a utility, not necessarily
21 the equity securities that they may issue. So what you
22 say has a certain amount of plausibility. I'm not sure I
23 could have the knowledge to fully -- or to agree with you.

24 Q. Well, let me try it this way. I agree with
25 you that credit ratings agencies issue ratings related to

1 the debt of a utility, but isn't it a fact that equity
2 investors look at the -- look at the overall
3 creditworthiness of a company as well in making decisions
4 as to whether to invest in Company A versus Company B?

5 A. I think it's reasonable to assume that
6 equity investors would also have an interest in cash flow.

7 THE WITNESS: Can I take a break?

8 MR. LOWERY: You bet.

9 (A BREAK WAS TAKEN.)

10 BY MR. LOWERY:

11 Q. Mr. Oligschlaeger, before we took a break,
12 we'd been talking about the creditworthiness of utilities
13 and the effect of credit ratings on borrowing costs and
14 those types of things. Do you recall that discussion?

15 A. Yes.

16 Q. And I think you agreed that if, at least
17 all other things being equal, if credit ratings are lower
18 for a utility, that their costs of borrowing are going to
19 be higher?

20 A. That's my understanding.

21 Q. And I think you agreed with the general
22 proposition, though you didn't necessarily have personal
23 firsthand knowledge, but you agreed that it was reasonable
24 to suggest that if a utility is less creditworthy, that
25 its stock may be less attractive as well?

1 A. That's possible.

2 Q. Assuming that a utility has lower credit
3 ratings and thus higher borrowing costs and that its stock
4 is less attractive, utilities in that situation are going
5 to incur higher costs in raising funds externally than
6 they otherwise would; is that fair to say?

7 A. As a general understanding, I think that
8 would be accurate.

9 Q. And in the context of this discussion, we
10 were talking about the fact that it's reduced cash flows
11 that are driving those lower credit ratings and higher
12 costs, correct?

13 A. In the context of this discussion, yes.

14 Q. How credit rating agencies perceive
15 depreciation policy in this state is a relevant
16 consideration that the Commission ought to consider, is it
17 not?

18 A. One of the considerations, yes.

19 Q. On page 11, lines 11 to 13, you state, our
20 belief, and when you say our belief, you mean Staff's
21 belief; is that correct?

22 A. Yes.

23 Q. You state Staff's belief that downgrades in
24 credit ratings in recent years are because of voluntary
25 initiatives by utilities to expand into nonregulated

1 activities.

2 Do the downgrades issued by Moody's or S&P
3 for Laclede cite as reasons for those downgrades expansion
4 into nonregulated activities?

5 A. Well, what I was referring to my testimony
6 was particularly the maintenance of an investment grade
7 rating, and I believe that there are other utilities in
8 the state that have had a problem maintaining those
9 ratings, and those were the reasons stated here in the
10 testimony. I wasn't referring specifically there to
11 Laclede or AmerenUE.

12 Q. Okay. Well, but back to my question.
13 Moody's and S&P have downgraded Laclede; you're aware of
14 that?

15 A. I don't believe there's -- I'm aware of
16 that. I don't believe that's an investment grade rating
17 problem.

18 Q. But they have been downgraded?

19 A. My knowledge of that is just based on the
20 other testimony filed in this proceeding.

21 Q. So I take it you don't know what the
22 reasons for the downgrade of Laclede's debt, what reasons
23 were given by Moody's and Laclede -- or Moody's and S&P?

24 A. Other than what was discussed in the
25 testimony in this proceeding.

1 Q. You've not alleging that expansion into
2 nonregulated activities was one of the reasons given with
3 respect to Laclede?

4 A. No, I'm not alleging that.

5 Q. Are you alleging that Ameren's credit
6 ratings have in some way suffered as a result of expansion
7 into nonregulated activities?

8 A. I'm not aware of that.

9 Q. Are you referring really when you made
10 those statements in your testimony, are you really
11 referring to a company like Aquila?

12 A. On page 11, lines 10 through 13, yes,
13 Aquila was my primary point of emphasis there, yes.

14 Q. Is it your contention that Ameren and
15 Laclede have conducted themselves in a manner similar to
16 Aquila?

17 A. No, it is not.

18 Q. And you're not contending that Ameren or
19 Laclede have a financial profile that's similar to
20 Aquila's in any way?

21 A. No, I'm not.

22 Q. You disagree with Mr. Fetter's contention
23 that credit ratings agencies tend to view Staff's approach
24 as more risky because of the greater chance that cost of
25 removal amounts will ultimately not be recovered, correct?

1 A. I disagree with his perception that there
2 is a significant risk that the Commission would deny rate
3 recovery of prudent cost of removal expenditures.

4 Q. Let me try to rephrase what I think you
5 just said. The reason you disagree with Mr. Fetter is
6 because you think that he is suggesting that the
7 Commission won't properly allow the recovery of prudently
8 incurred expenses; is that what you think he's suggesting?

9 A. I believe the use of such terms as rate
10 shock in that regard leads me to believe that that is his
11 suggestion.

12 Q. Well, assume for a minute that future
13 commissions will allow recovery of all prudently incurred
14 expenses, but that the credit rating agencies don't
15 believe that future commissions will allow recovery of all
16 of those prudently incurred expenses.

17 Is it fair to say that the credit ratings
18 agencies may nevertheless downgrade the utility regardless
19 of all of the good intention of the current Commission?

20 A. It's the credit rating agency's perceptions
21 that would govern that, yes.

22 Q. Not the intentions of the Commission
23 itself?

24 A. That's difficult to answer. The intentions
25 of the Commission are not always very clear.

1 Q. I would agree with that.

2 A. But, no, it -- again, their perceptions of
3 what is likely or possible to happen in the future I
4 assume would govern that judgment.

5 Q. And put another way, the point is not what
6 commissions may or may not do, but what the credit rating
7 agencies perceive they may do or not do?

8 A. That's correct.

9 Q. And if they perceive, they being the credit
10 rating agencies, if they perceive the creditworthiness of
11 the utility negatively because of adoption of Staff's
12 approach, the credit ratings are going to be negatively
13 impacted, correct?

14 A. That's correct.

15 Q. You imply on page 9 of your testimony that
16 utilities don't have incentive to operate efficiently if
17 the standard approach is followed. Is that a fair
18 characterization of what you discuss on page 9?

19 A. I would state that they don't have as much
20 incentive as under the Staff's approach to operate in an
21 efficient and productive manner.

22 Q. Well, didn't you suggest elsewhere in your
23 testimony that utilities want cash flow provided by
24 depreciation rates that include net salvage to pay
25 dividends, to invest in unregulated activities and in

1 other activities? If the utilities want cash for those
2 things, then what makes you think that the utilities are
3 going to spend more for cost of removal or retirement than
4 they should?

5 A. I disagree with the assumption in your
6 question that I stated that utilities want that particular
7 cash flow for that purpose. I think what I stated is that
8 they could use it if they wished, that there were no
9 impediments to that use. I'm not making a judgment in
10 terms of Laclede and AmerenUE's desire for the additional
11 cash flow under this approach.

12 The point on efficiency is quite simple.
13 If you pre-collect a cost in rates, you have less
14 incentive to be efficient in terms of carrying out those
15 activities than -- as opposed to whether -- as opposed to
16 if an approach is taken using historical average in which
17 the utility might be able to beat that average in terms of
18 its actual cost experience.

19 Q. Do you have any evidence that AmerenUE or
20 Laclede have incurred more cost of removal or retirement
21 costs than they should have prudently incurred?

22 A. No.

23 Q. That they've been inefficient in the way
24 that they go about incurring removal or retirement costs?

25 A. No.

1 Q. Even though for many years they've operated
2 under the standard approach, you don't have any evidence
3 to that effect, do you?

4 A. I haven't particularly done a review or
5 research of that point, but I'm not aware of any evidence
6 of that.

7 Q. So your statement about incentives is sort
8 of a generalized statement; it isn't backed up by any
9 particular evidence that AmerenUE or Laclede have not had
10 the right incentives to be efficient in terms of removal
11 or retirement activities?

12 A. It is a general statement based upon the
13 inherent attributes of traditional regulation as practiced
14 in the state. It was not based upon any specific
15 knowledge of or allegations that AmerenUE or Laclede have
16 not operated in a reasonably prudent and efficient fashion
17 in these activities.

18 Q. Well, if utilities in general or AmerenUE
19 or Laclede in particular, if they blow the funds that they
20 accrue for net salvage via depreciation rates on
21 unnecessary cost of removal or retirement activities,
22 they're not going to have those funds for investing in new
23 plant or to pay dividends or invest in some kind of other
24 activities, are they?

25 A. They would not have those funds for any

1 other purpose, yes.

2 Q. Because it seems that the premise of your
3 testimony or at least one of the premises is that
4 utilities desire this cash flow to use for these -- to use
5 for these other kinds of activities.

6 You, in fact, indicate in your testimony,
7 do you not, that that cash flow's available for
8 unregulated operations, dividends, these other types of
9 activities, correct?

10 A. They're available for those purposes.
11 They're available to reinvest in plant or other
12 utility-type activities.

13 Q. So if one of your premises is that
14 utilities would like to have the cash to use for those
15 activities, don't they have an incentive not to incur
16 unnecessary removal or retirement costs?

17 A. Well, my testimony is not to say that
18 utilities have no incentive whatsoever to be efficient
19 under what you call the standard approach. I'm just
20 making a generalized statement. I believe greater
21 efficiency is served by the Staff's approach.

22 Q. But you have no evidence or no instances
23 that you can cite to me that indicate that the standard
24 approach has created a disincentive to be efficient in
25 cost of removal or retirement?

1 A. I'm not aware of any prudence or efficiency
2 problems in that area for either --

3 Q. But this -- I'm sorry.

4 A. -- for either of those, Laclede or
5 AmerenUE.

6 Q. This efficiency theme, then, is really --
7 it's your theory or your supposition about what might or
8 might not be true?

9 A. It's a general theory or supposition that I
10 believe, that I think is reasonable.

11 Q. That's not based on any evidence?

12 A. As it applies -- no evidence, but from
13 Laclede's or AmerenUE's actual cost of removal activities,
14 yes.

15 Q. Well, now I have to ask another question.
16 Do you have evidence of another utility that indicates
17 that use of the standard approach has caused them to be
18 less efficient than you think they should have been?

19 A. No.

20 Q. So you don't have any evidence of any
21 utility that indicates that the standard approach has
22 created the wrong incentive in terms of being less
23 efficient in cost of removal or retirement activities?

24 A. No. This is stated as a general belief.

25 Q. If the standard approach continues to be

1 used and Staff thinks that too much is being spent on cost
2 of removal or retirement, can't Staff point that out to
3 the Commission in a rate case?

4 A. Yes.

5 Q. Isn't it fair to say that the Commission
6 would have the power to force a utility to absorb
7 imprudently incurred retirement or removal costs?

8 A. I'm not sure how that would work given the
9 prepayment approach that is implicit within the standard.
10 I guess prospectively you could reduce depreciation rates
11 to take into account allegations of that sort. That
12 doesn't impact, I don't think, the past precollections
13 that may not have been used efficiently or prudently.

14 Q. Well, are you aware that Staff has
15 discussed in testimony on numerous times -- on numerous
16 occasions amortizing accruals over time, in effect
17 returning what Staff views as overaccruals to customers?

18 A. As it applies to depreciation reserve?

19 Q. Yes.

20 A. Yes, I am aware of it.

21 Q. So that's a mechanism, isn't it, that in
22 effect causes the utility to absorb those costs as opposed
23 to ratepayers?

24 A. That is possible.

25 Q. I mean, isn't it fair to say that the

1 Commission has the power, if utilities come in later and
2 say, you know, we need more money for cost of removal or
3 retirement even though we've already collected it
4 applicable to particular plant, we need more money, we
5 want more money, isn't it -- isn't it within the power of
6 the Commission to look at those expenses and say, you were
7 imprudent in what you did with the money you've been
8 accruing all of these years and, therefore, we're not
9 going to allow you more money, your shareholders are going
10 to have to bear that cost?

11 A. I presume the Commission has that power.

12 Q. On pages 9 and 10 of your testimony, you do
13 not disagree with the company's contention that customer
14 rates will be lower in the long run under the standard
15 approach, do you?

16 A. I believe that revenue -- I do not believe
17 it has been established that customer revenue requirements
18 will be lower under the standard approach.

19 Q. Well, the question you were asked was as
20 follows: In general terms, the company's witnesses claim
21 that precollection of net salvage costs in rates will
22 result in lower overall customer rates in the long term.
23 Is this valid? And you do not say in your answer whether
24 the company's claim is valid or invalid, do you? Rather
25 you go on to argue in your answer that the customer's

1 cost of capital may be more than the utility's cost of
2 capital, so that the return on rate base the customer
3 enjoys may not be a good deal for the customer. Is that
4 your basic point?

5 A. My basic point there is, if in fact rates
6 might be lower under the standard approach in the long
7 run, that does not take into account the financing costs
8 the customers themselves face when such rates for net
9 salvage are precollected from them, compared to the
10 Staff's approach.

11 Q. You don't know whether, as you put it, the
12 customer's cost of capital is more than the utility's or
13 not, do you?

14 A. As I state, I think it's counterintuitive
15 to believe that customers can obtain capital cheaper than
16 companies like Laclede and AmerenUE, but that is based
17 on -- I haven't done a specific study of what the average
18 customer's cost of capital is, and I'm not sure that that
19 would be easy or practical to do in any case.

20 Q. You have a theory that their cost of
21 capital may be higher, but you don't know whether it is or
22 not?

23 A. I believe that's a reasonable theory and
24 assumption.

25 Q. But it is a theory and an assumption on

1 your part?

2 A. Yes.

3 Q. If a gas customer pays a few dollars more
4 per year in his gas rates as a result of the standard
5 approach and if those few extra dollars would have been
6 sitting in a checking account or a savings account or a CD
7 that earns 1, 2, 3, 4 percent, that customer's cost of
8 capital, in fact, is a heck of a lot less than the
9 utility's, is it not?

10 A. Under the specific assumptions you just
11 gave, that would be true. I wouldn't agree those are the
12 only relevant assumptions.

13 Q. There's certainly customers that have that
14 exact situation, do they not?

15 A. Some customers, I'm sure.

16 Q. Because when depreciation accruals go into
17 the depreciation reserve and reduce rate base, customers
18 essentially earn the rate of return of the utility on
19 those monies, do they not?

20 A. That is the way the rate process works,
21 yes.

22 Q. And that's going to be more than those
23 customers can earn in a savings account or a CD in most
24 instances, is it not?

25 A. That is true, but those are not the only

1 sources that would establish a customer's cost of capital.

2 Q. But they certainly are one source --

3 A. One source.

4 Q. -- that would establish it?

5 A. Yes.

6 Q. And you haven't studied the weighting of
7 various sources, have you?

8 A. No, I have not.

9 Q. Do you agree with the Commission's decision
10 in the St. Louis County Water case, 2000-844 case we
11 talked about earlier?

12 A. As it relates to net salvage issue?

13 Q. Yes.

14 A. Okay. I would agree that a company's
15 infrastructure capital requirements are a relevant
16 consideration to take into account in establishing a rate
17 decision regarding net salvage.

18 Q. Did the Commission in your view make the
19 right decision about net salvage in St. Louis County Water
20 Company?

21 A. I did not -- was not involved in that case
22 to the degree necessary to have really looked at St. Louis
23 County Water's infrastructure requirements and so on. So
24 I really can't say I agree or disagree with the specifics
25 of that decision.

1 Q. The standard approach was used in that
2 case; is that your understanding?

3 A. The Commission ordered something along the
4 lines of the standard approach, yes.

5 Q. They ordered depreciation rates that had
6 been determined using the standard approach, correct?

7 A. With a net salvage component and the
8 depreciation rate, I believe so.

9 Q. And the net salvage component in the
10 depreciation rate was calculated in the manner using --
11 not in the manner -- using the standard approach to
12 calculating that, correct?--

13 A. That is my understanding.

14 Q. And in order to use the standard approach,
15 net salvage estimates are used, were they not? They were
16 used in that case? You had to use estimates of net
17 salvage in order to use the standard approach in the
18 St. Louis County Water case?

19 A. Based upon my reading of the Order, I
20 believe that's correct.

21 Q. Specifically, the future net salvage costs
22 in that case and under the standard approach in general
23 were and are estimated by taking the ratio of the dollars
24 of cost of removal or retirement experienced in each
25 account over the original cost of the assets that are

1 retired in each account; is that your understanding?

2 A. That's my understanding in general of the
3 standard approach. I really can't comment as to whether
4 that was specifically done in the County Water rate case.

5 Q. You don't know whether it was or was not?

6 A. No, I do not know.

7 Q. You know that Bill Stout was the witness
8 for County Water in that case?

9 A. Yes.

10 Q. You've read Mr. Stout's testimony in this
11 case?

12 A. Yes.

13 Q. And you know that he advocates using the
14 standard approach and calculating net salvage as I just
15 described it, correct?

16 A. Yes.

17 Q. Is it probably a fair assumption that
18 that's how it was done in St. Louis County Water?

19 A. That's a fair assumption. I've not read
20 his testimony in that case.

21 Q. In any event, the ratio I just described,
22 it produces a net salvage percent for each account; is
23 that right?

24 A. I believe so.

25 Q. And that net salvage percent, together with

1 informed judgment of the depreciation analyst, is then
2 used to come up with the depreciation rate; is that
3 correct?

4 A. I think that's generally accurate.

5 Q. And those rates were adopted by the
6 Commission in that case?

7 A. In that case.

8 Q. So the Commission in that case at least
9 sanctioned the use of estimates and net salvage, did it
10 not?

11 A. Yes, while stating that the Staff's
12 approach also had its merits and will continue to be
13 considered in other cases.

14 Q. I understand that qualification, but the
15 Commission did sanction the use of estimates in that case?

16 A. I believe so.

17 Q. So estimates of future net salvage in the
18 Commission's view are not necessarily -- let me strike
19 that.

20 Using estimates of net salvage in the
21 Commission's view is sometimes okay, correct?

22 A. Under certain circumstances, yes.

23 Q. And I think your testimony in your
24 supplemental rebuttal testimony was that there are
25 circumstances where that would be okay with you?

1 A. Yes, if a company can demonstrate it has a
2 particular cash flow concern or problem of the nature,
3 perhaps similar to the nature of County Water's, that
4 should be taken into consideration.

5 Q. Which means there are going to be
6 circumstances, as you just described, where using future
7 estimates of net salvage are okay with you?

8 A. In terms of an overall balancing of the
9 various policies the Commission has to take into account,
10 yes.

11 Q. So there's no Commission order or rule that
12 says, thou shalt not use estimates of future net salvage,
13 is there?

14 A. Not that I'm aware of.

15 Q. There's no Commission order or rule that
16 says that net salvage amounts must be known and
17 measurable, as Mrs. Schad discusses in her testimony?

18 A. I'm not aware of a Commission order that
19 states that is the only and singular consideration.

20 Q. Do you know what terminal net salvage is?

21 A. I have a general, very general
22 understanding that that is the net salvage associated with
23 final demolition or removal of major assets such as
24 electric generating stations and so on.

25 Q. Associated with what's sometimes also

1 called life span property? You've heard that term?

2 A. Yes, I believe that's true.

3 Q. Terminal net salvage is not what we're
4 talking about in this case, correct, to your
5 understanding?

6 A. I don't -- I frankly don't know whether the
7 companies are -- Laclede in the '99 rate case was seeking
8 terminal net salvage or not. I don't believe so.

9 Q. Okay. Do you know what I mean by the term
10 "mass property"?

11 A. Yes.

12 Q. Is it your understanding, to the best you
13 can understand from reading the record or preparing for
14 this case, that what is at issue in this case at this time
15 on this remand is Laclede's mass property accounts?

16 A. I know it involves the mass property
17 accounts. I really can't say that it doesn't involve
18 non-mass property accounts. I don't know.

19 Q. Do you have an opinion with respect to
20 whether the approach Mr. Adam -- well, strike that. I've
21 already asked you that.

22 Are you offering any opinions in this case
23 with respect to what the appropriate net salvage
24 percentages should be, the actual numbers should be in
25 this case for Laclede?

1 A. No.

2 Q. Or what the overall depreciation rates for
3 Laclede should be?

4 A. No.

5 Q. You make a proposal near the end of your
6 testimony to segregate net salvage accruals from other
7 corporate funds if the Commission were to continue the
8 standard approach, correct?

9 A. Yes.

10 Q. Has the Commission ever required such a
11 segregated fund with respect to depreciation or net
12 salvage for Laclede?

13 A. For Laclede, no, or not that I'm aware of.

14 Q. For AmerenUE?

15 A. Unless one considers nuclear
16 decommissioning to be a subset of cost of removal, other
17 than that, no.

18 Q. The nuclear decommissioning fund is a
19 function of federal statute, state statute, I believe, is
20 it not?

21 A. Yes.

22 Q. So putting that aside, not for anything
23 else at AmerenUE that you know of?

24 A. Not that I'm aware of.

25 Q. For any electric utility in Missouri, and

1 again ignoring nuclear decommissioning, for example, KCPL?

2 A. Not that I'm aware of.

3 Q. Any other gas utility in Missouri?

4 A. Same answer, I'm not aware of any.

5 Q. How would your segregated fund work?

6 A. This is one area that I did not develop in
7 great detail. I believe that would be subject to further
8 discussion, review and analysis to determine the exact
9 mechanism that would be used to safeguard the funds. It
10 could work similar to the current procedures used for
11 pension and post-retirement benefit funds, but there
12 probably are other approaches as well that could be
13 considered.

14 Q. Well, the idea that you have, and correct
15 me if I'm wrong, for using a separate fund is that you
16 want to make sure that the funds are available, right?

17 A. For the intended purpose, which is payment
18 of cost of removal or net salvage.

19 Q. That those funds are sitting there, and
20 when we've got to retire or remove a piece of plant, you
21 take a dollar out of that fund and you use it for that?

22 A. That was my thought process, yes.

23 Q. So I take it you would recommend investing
24 in, relatively speaking, conservative investments,
25 investing those funds in conservative investments to make

1 sure they're going to be available?

2 A. I really didn't have a recommendation along
3 those lines. As a general policy, I believe that would be
4 reasonable.

5 Q. And if that is reasonable as a general
6 policy and that's how it ends up being implemented, if it
7 were implemented, those types of investors likely won't
8 earn what the customers earn on the rate base reduction
9 that is experienced because of the accruals in the
10 depreciation reserve? They're not likely to earn that
11 level of return on that segregated fund, are they?

12 A. That is possible.

13 Q. Well, isn't it likely that they won't earn
14 that level of return, if we're investing in bonds for
15 example?

16 A. I would agree under that specific example
17 it would not be likely.

18 Q. Okay. There will probably be costs
19 associated with setting up a segregated fund, correct?

20 A. I assume there would be.

21 Q. Probably trustee fees?

22 A. If the trustee route is used, yes.

23 Q. Well, if you're going to have segregated
24 funds, you've got to have some type of custodian or
25 trustee, some fiduciary that is essentially managing those

1 funds, don't you? Else it's not really segregated, is it?

2 A. Well, again, when I wrote this, I didn't
3 mean to preclude other possible processes other than
4 pension and OPEB type procedures that are used. Quite
5 frankly, I'm not sure of the realm of total possibilities
6 and so on. If a trustee is used, then there are certain
7 costs associated with that.

8 Q. And there's likely to be fund expenses?

9 A. Yes, under that assumption.

10 Q. Do you know if the real rate of return, the
11 returns on that fund after inflation and whatever expenses
12 may exist, whether that real rate of return is going to
13 keep up with the future cost of removal that will be
14 incurred?

15 A. I don't know that.

16 Q. You would have to estimate the return in
17 such a fund to figure that out, wouldn't you?

18 A. I believe that's done currently with the
19 pension and the OPEB fund, similar type of assumptions.

20 Q. You would have to estimate it, though?

21 A. Yes.

22 Q. You've got to use estimates to do that?

23 A. Well, yes. And under that assumption you'd
24 be collecting the amounts based on estimates of future
25 expenditures as well as estimates of the earnings

1 associated with segregation of funds.

2 Q. What evidence do you have that supports
3 your apparent contention that Laclede will not pay the
4 costs of removal or retirement later when those cash lays
5 are required absent a requirement that a segregated fund
6 be established?

7 A. Well, my assumption is that Laclede will do
8 what is necessary to meet its obligations to the public as
9 a utility in terms of its cost of removal expenses and it
10 would be -- as such, it would obtain its funds from some
11 source to do so.

12 Q. Then why have a segregated fund?

13 A. Because if the cost is important enough to
14 pre-collect from customers long in advance of the actual
15 necessary cash outlay, then it is important enough to make
16 sure that the funds are used for the intended purpose,
17 which is to fund cost of removal activities.

18 Q. What does it matter to a customer whether
19 Laclede uses those exact dollars or other dollars that
20 you've just said you would expect Laclede would come up
21 with and use to engage in the cost of removal activities?
22 Why does it make any difference to the customer?

23 A. Well, if I'm a customer and I know I'm
24 paying more in rates to a company for cost of removal
25 activities but those funds are not actually being used for

1 cost of removal activities, that may be an area of
2 concern.

3 Q. Why?

4 A. Because I would presume as a customer that
5 my -- the monies I pay in to a utility are being used for
6 the purposes for which they're intended. If I'm paying
7 for cost of removal and it turns out the utility does not
8 actually use those amounts for cost of removal activities,
9 as a customer I would say, why am I -- why am I making
10 these payments to Laclede or AmerenUE?

11 Q. If a customer -- if customer rates takes
12 into account what fuel and purchased power costs are going
13 to be and it turns out that fuel and purchased power costs
14 are less, some of those funds weren't used for what the
15 customer was paying for either, were they?

16 A. True, but we're not talking about the many
17 years, possibly many years duration between receipt of the
18 funds by the utility and their actual use by the utility.

19 Q. If, in fact, the cost of using a segregated
20 fund is greater than -- well, let me back up.

21 If on a total return basis the real rate of
22 return in the segregated fund is less than the return that
23 the customer is getting because of the rate base treatment
24 of net salvage today, and if Laclede would come up with
25 the money anyway, as you expect, to pay these cost of

1 removal costs, isn't a segregated fund costing the
2 customer more in the long run?

3 A. Under those set of assumptions, I would
4 agree, but there are other factors or considerations
5 beyond just that kind of dollar for dollar comparison.

6 Q. But those kinds of -- that set of
7 assumptions could very well be correct, could it not?

8 A. That is possible.

9 Q. And you haven't analyzed whether it's
10 correct or not?

11 A. I've not -- that is correct.

12 Q. Yet you are recommending a segregated fund
13 if the Commission continues the standard approach,
14 correct?

15 A. Under the alternative that the Commission
16 finds that a return to the standard approach for Laclede
17 is appropriate, I believe these kinds of considerations
18 should be considered, yes, by the Commission.

19 Q. Laclede has paid cost of removal and
20 retirement costs for decades, have they not?

21 A. I believe so.

22 Q. Without a segregated fund?

23 A. I'm not aware of any segregated fund in use
24 for that purpose.

25 Q. Does everyone on Staff agree with the

1 approach to net salvage recommended by Mr. Adam in this
2 case?

3 A. Obviously I have not taken a poll or
4 personally talked to every Staff member about this
5 particular issue. Of those Staff members I have discussed
6 this with or within a management position within the
7 agency, I believe there is a concurrence with the Staff
8 approach.

9 Q. How about Staff's subsequently adopted
10 approach, same question?

11 A. Same answer.

12 Q. Does everybody agree? Same answer?

13 A. Same answer.

14 Q. Do you or to your knowledge any Staff
15 members -- or have you or to your knowledge any Staff
16 members had any second thoughts about whether Staff's
17 approach is the appropriate approach?

18 A. I'm not aware of any.

19 Q. So once you -- once Staff made that
20 decision, Staff is convinced this is the right approach?

21 A. To my knowledge. I mean, there may have
22 been second thoughts as you suggest. I'm just not aware
23 of them.

24 Q. Does Staff ever internally debate the
25 merits of its approach, whether it's on the right track

1 with its approach? Does it debate the issue today, or
2 recently has that debate taken place?

3 A. Many times informal discussions take place
4 among members of the Staff in which these kinds of issues
5 are discussed. In terms of is there any formal mechanism
6 for the Staff to gather and say, let's say, do we want to
7 continue with our current report -- approach to net
8 salvage, I don't think there's that kind of specific.

9 Q. Let me ask it this way: Can you relate to
10 me any discussions that you're aware of where someone on
11 Staff in the last couple of years has said -- has raised
12 questions about whether or not Staff's approach is the
13 correct approach?

14 A. If they have, I am not aware of it.

15 Q. Do you personally believe in Mr. Adam's
16 approach?

17 A. Yes, I do.

18 Q. And I take it you personally believe in
19 Staff's subsequently adopted approach?

20 A. Yes. I believe they're equivalent.

21 Q. How did you come to have that belief
22 yourself personally?

23 A. Initially just based upon my knowledge in
24 general of the issue and the reliance upon what I would
25 consider to be somewhat speculative estimates for

1 establishing this level of cost in rates, it is my belief
2 that an appropriate regulatory policy is to base recovery
3 of this item on known and measurable historic numbers.

4 Q. This may be a hard hypothetical for you to
5 agree with, since you don't agree with it, but let's
6 assume that you didn't believe in Mr. Adam's approach or
7 Staff's approach. Would you be permitted to file
8 testimony to the company supporting whatever other
9 approach you believed in?

10 A. As a general matter, no. If I -- if I was
11 requested to file testimony in support of a particular
12 approach which I personally did not agree with, then the
13 proper course of action would be to explain my
14 disagreement, and presumably another Staff member would
15 then be approached to file the necessary testimony.

16 Q. So if Staff has a policy on a particular
17 issue, then Staff witnesses are not allowed to file
18 testimony contrary to that policy; is that fair?

19 A. They're not -- wouldn't be allowed to file
20 testimony contradicting the Staff approach, I believe, as
21 a general rule, yes.

22 Q. And who makes that decision?

23 A. In terms of who files testimony?

24 Q. Who makes the decision that we're not going
25 to let Mr. Oligschlaeger file testimony on that issue

1 because his belief is not in accordance with Staff's
2 current policy on that issue?

3 A. That would be -- if that situation ever
4 arose, and it has not arisen with me, I believe that
5 decision would be made at the division director level,
6 possibly going up to the executive secretary.

7 Q. Probably Bob Schallenberg or perhaps
8 Mr. Quinn?

9 A. Depending on the issue, Mr. Henderson may
10 be involved.

11 Q. If it's within his area, it would be
12 Mr. Henderson, but within your area it's probably going to
13 be Mr. Schallenberg?

14 A. Yes.

15 Q. I take it you know that in AmerenUE and
16 Laclede's testimony they have discussed a number of
17 safeguards associated with the standard approach. You are
18 generally familiar with that testimony, having read it?

19 A. Yes.

20 Q. One safeguard that they cite is that
21 utilities are required by the Commission's rules to file
22 new depreciation studies periodically. Do you agree that
23 that's true, that they are required to file depreciation
24 studies periodically?

25 A. That's my understanding.

1 Q. Do you know how often?

2 A. I believe five years.

3 Q. When they file those depreciation studies,
4 they're including information of cost of removal by
5 vintage, what the depreciation reserve is, all of the
6 various backup data that deals with those plant accounts,
7 correct?

8 A. I would assume that that happens. I'm not
9 directly involved in those proceedings.

10 Q. So every five years the calculation of net
11 salvage that they're using is updated, correct?

12 A. That's what I presume would happen.

13 Q. Wouldn't you agree that the fact that
14 there's a specific requirement for a specific detailed
15 study to be submitted to the staff every five years
16 provides some measure of protection to customers?

17 A. Some measure. I would say an insufficient
18 measure, but some measure.

19 Q. It is at least -- you believe it's an
20 insufficient safeguard, but it is at least a safeguard to
21 some extent, is it not?

22 A. You can correct estimates going forward or
23 further refine them, yes.

24 Q. Another safeguard the companies have cited
25 is the fact that the depreciation reserve acts as a

1 balancing account; is that correct?

2 A. They have stated that in testimony.

3 Q. Can you explain your understanding of how
4 that works?

5 A. Well, the more monies provided to the
6 company up front for cost of removal and net salvage
7 activities, that is booked to the depreciation reserve and
8 rate base is lowered by those amounts.

9 Q. And you can make adjustment to those
10 depreciation rates going forward, can you not?

11 A. To a company's authorized depreciation
12 rate?

13 Q. Yes.

14 A. Yes, that happens.

15 Q. And as we talked about before, there could
16 be amortization of under or overaccruals, could there not?

17 A. There could be.

18 Q. Because you're tracking the accruals in an
19 account, are you not?

20 A. On an overall basis. It is not split out
21 between the net salvage component or the life component.

22 Q. Do you know whether or not, if a
23 depreciation analyst wanted to look at the records,
24 whether or not you could go back and split it out?

25 A. I don't know.

1 Q. And regardless of whether you can split it
2 out or not, you can track in the depreciation reserve the
3 total amount collected or total amount accrued for
4 depreciation and net salvage from customers, can you not?

5 A. I believe so.

6 Q. So doesn't that allow you over time to
7 balance or true-up that account?

8 A. Well, the depreciation reserve reflects the
9 accruals for a particular account over time. To the
10 extent you change the rates on a going-forward basis, then
11 the reserve would be reflected in a similar manner. I'm
12 not sure that's answering your question.

13 Q. Well, if you change the depreciation rates,
14 you either raise them or lower them, you lower them if the
15 accrual seems to be too high, you raise them if the
16 accrual seems to be too low, or you may amortize over or
17 under-accruals?

18 A. Uh-huh.

19 Q. Don't those two mechanisms over time allow
20 you to true-up the total amount accrued for net salvage
21 versus the total amount that's going to be -- strike
22 that -- the total amount collected for depreciation and
23 net salvage to the total amount accrued or the total
24 amount that's going to be spent from that account? Can't
25 you true that up over time by using those two mechanisms?

1 A. Again, you can refine the estimates going
2 forward. I don't think a true-up per se is possible 'til
3 the actual monies related to net salvage are spent.

4 Q. But you can make adjustments to bring that
5 depreciation reserve more or less in line with the
6 accruals over time at various points in the process, can
7 you not?

8 A. Yes.

9 Q. A third safeguard cited by the companies is
10 the fact that the depreciation reserve is an offset to
11 rate base, and the Commission's longstanding practice has
12 been to offset rate base with that depreciation reserve,
13 right?

14 A. That's correct.

15 Q. Did you talk to anyone else on Staff about
16 the content of your testimony before you drafted it? And
17 I'm not asking for any attorney/client privileged kind of
18 communications, so exclude those.

19 A. The discussion I had with other Staff
20 members regarding this testimony before it was drafted
21 would have been with Ms. Schad, Mr. Schallenberg and
22 Mr. Schwarz.

23 Q. Did you receive, other than Mr. Schwarz,
24 any substantive direction from Ms. Schad or
25 Mr. Schallenberg in terms of your testimony?

1 A. They were provided copies of my draft
2 testimony. I believe Ms. Schad had some comments in
3 regard to my draft.

4 Q. Well, to the best of your recollection,
5 what were her comments? And I'm not talking about if she
6 found a misspelled word or she didn't like your grammar,
7 which maybe she did.

8 A. They weren't extensive in any case. To the
9 best of my recollection, I believe there's one sentence in
10 here somewhere that was inserted largely at the suggestion
11 of Ms. Schad. Without trying to be difficult, I really at
12 this point don't remember which it was.

13 Q. You don't remember what it dealt with?

14 A. No, I do not.

15 Q. Fair enough.

16 MR. LOWERY: That's all I have.

17 CROSS-EXAMINATION BY MR. PENDERGAST:

18 Q. Good afternoon, Mr. Oligschlaeger.

19 A. Thank you.

20 Q. You indicated in response to some questions
21 from Mr. Lowery that because customers are prepaying or
22 the company is precollecting for these net salvage costs
23 far in advance of when they're incurred, that you believe
24 your mechanism is appropriate to ensure that those amounts
25 that are collected will be there to pay the net salvage

1 costs when they're incurred. Is that basically correct?

2 A. That's accurate.

3 Q. I'd like to try and put that in perspective
4 a little bit. On the other side of the ledger, the
5 utility fronts a tremendous amount of money in order to
6 provide service to its customers; is that correct?

7 A. They make shareholder investments to
8 provide service, yes.

9 Q. Right. And would you generally agree with
10 me that what the shareholder fronts to provide service to
11 the customer dwarfs what the company is precollecting from
12 the customer for these net salvage costs?

13 A. Yes, because most utilities have
14 significantly positive rate base, which means shareholder
15 investment is greater than the customer investment, so to
16 speak.

17 Q. So for a utility like Laclede, if you look
18 at their regulated base, you would expect their regulated
19 rate base to be larger by many fold than whatever it's
20 accrued for net salvage, would you not?

21 A. I think that's safe to say as a general
22 proposition, yes.

23 Q. Okay. Can you tell me why it would be
24 inappropriate for the utility having prepaid out all this
25 money in order to go ahead and provide service on the

1 theory that some day customers will pay it back, why it's
2 not necessary for those utilities to have some special
3 mechanism in order to ensure that that money will be there
4 at the end?

5 A. Why is it necessary that that special
6 mechanism be there?

7 Q. No. Why is it not necessary for them to
8 have a special mechanism to ensure that the customer will
9 be paying that money when it becomes due?

10 A. That's kind of a broad question. I believe
11 the assumption has been that utility service is a captive
12 kind of monopoly service in which utilities don't have a
13 meaningful choice, and to the extent that they desire to
14 have that service, they will have to be paying rates into
15 your companies on an ongoing basis.

16 Q. But isn't it true that the Commission has
17 the ability to determine what those rates will be and
18 whether those rates will be adequate enough to provide for
19 a return on that investment?

20 A. The Commission makes the decision on what
21 an adequate return is, yes.

22 Q. The utility can't unilaterally go to its
23 customers and say, this is how much I need or how much I
24 think I need and I want you to pay it up, they have to
25 seek Commission approval to do that; isn't that correct?

1 A. That is certainly true.

2 Q. And in your view, is the fact that there is
3 a commission there that has the authority to determine
4 what kind of recovery is reasonable sufficient guarantees
5 for the utility that it will, in fact, get a return of and
6 a return on its investment?

7 A. I think it's accurate to say that utilities
8 can reasonably expect a return on their -- or return of
9 their investment. In terms of the return on their
10 investment, certainly over time most utilities have
11 recovered a return on. Their perception of whether that
12 is adequate or reasonable may be different than what the
13 Commission has ordered. I'm not sure that hits at what
14 you're saying.

15 In general terms, yes, I believe companies
16 can be able to rely upon the Commission that they will be
17 able to recover their costs, including a return on and of
18 investment.

19 Q. Okay. And that's for the much larger
20 category of costs that we've been talking about that the
21 utility fronts in order to provide service; is that
22 correct?

23 A. Yes.

24 Q. When it comes to the smaller category of
25 costs that we're talking about having been precollected

1 for net salvage costs, is it your testimony the customer
2 cannot, however, rely on the Commission and its ability to
3 exercise its oversight on how much the utility can collect
4 in order to make sure that they'll be protected for
5 whatever money they fronted?

6 A. To the extent those funds are not protected
7 and the companies would come back to the Commission and
8 say, help us out, certainly the Commission would have to
9 make a decision or judgment whether that was appropriate
10 or prudent under the circumstances..

11 Q. So is it your testimony, then, that unlike
12 the case with utilities that you think can reasonably rely
13 on the Commission to ensure that they will recover their
14 investment, the customer cannot rely on the Commission in
15 its general exercise of its regulatory responsibilities
16 and oversight to make sure that they won't overpay for
17 these costs or that once these costs have been incurred,
18 that the utility will actually spend the money for that
19 purpose; is that your testimony?

20 A. The Commission has general jurisdiction
21 over your operations and how they are conducted, whether
22 prudently or imprudently. That includes cost of removal
23 and net salvage activities.

24 Q. Yes, and I understand that, and I
25 appreciate that. We both agree with that. What I am

1 asking you is, you believe it's reasonably appropriate for
2 utilities to assume that because of the Commission's
3 oversight and regulatory powers, that they will recover
4 their investments and that that is a sufficient enough
5 mechanism that nothing further is necessary.

6 And my question to you is, when you look at
7 the customer and you look at what he has prepaid if you
8 will for recoveries far out in the future, is it your
9 testimony that that same Commission oversight is not
10 sufficient, like it is with the utility's investment, for
11 those customers, that something additional is necessary?

12 A. I'm still not sure I'm totally
13 understanding. Companies when they are collecting net
14 salvage cost in rates under the standard approach
15 typically invest those monies in utility operations. It's
16 possible they may invest them in non-utility operations.

17 And under that assumption, those funds
18 themselves will not be used at a later point to pay the
19 actual cost of removal of net salvage activities. Some
20 other source of payment will have to be obtained by the
21 utility in order to make those expenditures.

22 And it is my belief that given the
23 precollection of costs from customers on an estimated,
24 somewhat speculative basis by the companies under the
25 standard approach, it is appropriate to then ensure that

1 those monies will actually be there and be used for cost
2 of removal activities 20 or 30 years later down the road.

3 Q. Okay. And your position is that it is not
4 enough that the Commission will presumably still be in
5 business, presumably still be regulating utilities,
6 presumably still have the same authority it has today to
7 determine who gets to collect what. That's not a
8 sufficient protection, like it is a sufficient protection
9 for the utility to get the return of its investment and
10 the return on its investment; is that your testimony?

11 A. That -- it is my testimony that in that
12 respect, net salvage if it's collected in rates on that
13 matter, should be treated in a somewhat analogous manner
14 to pensions and OPEBs, which are likewise required to be
15 somewhat segregated, with the future cash payments to be
16 paid.

17 Q. Okay. So the answer to my question would
18 be that you don't believe standard Commission oversight
19 and regulation is sufficient to protect the customer like
20 it is sufficient to project the utility's expectation of
21 getting a return on its investment?

22 A. My recommendation is that something more is
23 required, and that is what I state in my testimony. It's
24 the segregation of funds.

25 Q. Because you do not believe traditional

1 Commission oversight is appropriate or is sufficient?

2 A. Could be sufficient. I would recommend
3 that additional measures be taken.

4 Q. It could be sufficient?

5 A. I cannot predict the future.

6 Q. Okay. And do you believe in predicting the
7 future that it is relevant and appropriate to review the
8 past and what has happened in the past?

9 A. In terms of predicting the future, there's
10 not much else to base your prediction on.

11 Q. In fact, one of the most fundamental
12 conventions of ratemaking is that we look to the past to
13 try and predict the future; is that correct?

14 A. Yes.

15 Q. We use historical test years to try and
16 predict the future or to determine what the rates will be
17 when -- or costs and revenues and expenses will be when
18 rates are in effect; is that correct?

19 A. In this jurisdiction, yes.

20 Q. Okay. And if we resort to the past in this
21 particular instance for evidence of whether or not
22 utilities have not fulfilled their obligations to pay for
23 the cost of removing facilities that they have
24 precollected funds for, what would that history tell us?

25 A. I am not aware of any particular problems

1 in terms of utilities not expending the funds they need to
2 for cost of removal activities. On the other hand,
3 Mr. Fetter's testimony creates the specter of what he
4 calls rate shock in regard to these future expenditures,
5 and that in and of itself, if that's true and that's
6 valid, would lead to perhaps increased concern in regards
7 to the future, as opposed to what our experience has been.

8 Q. Was it your understanding that his concerns
9 about rate shock were being raised in terms of what might
10 occur under Staff's approach?

11 A. Well, rate shock would be a concern under
12 Staff's approach. I would think cash flow shock would
13 still be a concern under the standard approach.

14 Q. Okay. Well, I think that's fair enough,
15 but I'll have to think about it a little bit.

16 But if we're looking at the historical
17 record, the historical record would essentially tell the
18 Commission that, at least to your knowledge, there has
19 never been an instance since 1913 where a utility has
20 failed under the standard method to provide sufficient
21 funds to pay its net salvage costs?

22 A. My institutional knowledge doesn't go that
23 far, but as far as my institutional knowledge goes, I'm
24 not aware of any such instance.

25 Q. Okay. And pursuant to our previous

1 discussion, do you believe that that is a factor that the
2 Commission should take into consideration in determining
3 whether a special mechanism is necessary?

4 A. It's certainly an argument that can be and
5 probably will be raised for the Commission's
6 consideration.

7 Q. My question was whether -- not whether it's
8 an argument. My question was, given our previous
9 discussion about the past being relevant for telling the
10 future or giving us guidance for the future, is it your
11 opinion that that's a factor that the Commission should
12 take into consideration in determining whether a special
13 mechanism is necessary if it goes to the standard method?

14 A. That's -- they should consider all factors
15 that are relevant, and yeah, I would agree that the past
16 is one of the relevant factors to be considered.

17 Q. Okay. Let me ask you about estimates,
18 because I'm not clear what Staff's position is on
19 estimates and when they should be used and when they
20 shouldn't be used.

21 I believe you indicated in response to
22 Mr. Lowery that it is appropriate or it may be appropriate
23 to use estimates when there are cash flow considerations
24 that warrant perhaps a precollection of net salvage costs.
25 Am I remembering that correctly?

1 A. It is my testimony that what's called the
2 standard approach of cost of removal/net salvage, which
3 does include the use of estimates, could be taken into
4 consideration by the Commission if there are special
5 unique cash flow circumstances.

6 Q. Let me ask you this: Do you think that the
7 reliability of a particular set of estimates is a factor
8 that should be taken into account when the Commission
9 determines whether to rely on them or not?

10 A. Whether the estimates are reliable or not?

11 Q. Yes.

12 A. Certainly.

13 Q. Okay. And as I recall, in response to
14 Mr. Lowery, you indicated that you had not done any
15 analysis of Laclede's net salvage estimates; is that
16 correct?

17 A. That's correct.

18 Q. And am I to take from that that you have no
19 opinion to offer on the reliability of those estimates?

20 A. As they specifically pertain to Laclede as
21 compared to other companies, no, I have no opinion on
22 that.

23 Q. Okay. And do you believe that this
24 Commission, since you think reliability of estimates is a
25 factor that should be taken into consideration in

1 determining whether to use those estimates, that this
2 Commission should be -- should require that evidence be
3 presented on what the reliability of these estimates are?

4 A. Certainly.

5 Q. Okay. Can you tell me where in the record
6 of this case, stretching back five years until today, the
7 Staff has presented evidence demonstrating a problem with
8 reliability of the net salvage estimates utilized by
9 Laclede?

10 A. I'm not -- I think as I established with
11 Mr. Lowery, I certainly have not reviewed all of the
12 record of this proceeding as it goes back to 1999. In
13 terms of what I have reviewed, I'm not aware of that kind
14 of analysis.

15 I'm also aware that Ms. Schad has testified
16 that, in general, companies are not able to separately
17 split out the net salvage accrual portion collected in
18 rates compared to the other components of depreciation
19 expense. I think that inability to separate those
20 components would complicate any analysis of past
21 historical accuracy.

22 Q. Well, are you aware of Mr. Stout's
23 testimony in this case where he has indicated that the net
24 salvage percentage, based on actual review over his many
25 years of preparing and reviewing depreciation studies, has

1 tended to increase over time?

2 A. I'm aware of his testimony in that respect,
3 yes.

4 Q. Okay. Do you have any reason to doubt that
5 testimony?

6 A. I have no reason to doubt it.

7 Q. Okay. And assuming that that testimony is
8 true and the Commission believes that testimony to be
9 true, would that suggest that net salvage costs under the
10 standard method, knowing what you know about the standard
11 method and how it operates, has tended to understate net
12 salvage costs or underestimate net salvage costs?

13 A. Based solely on what -- that is what
14 Mr. Stout is suggesting. I don't have any separate base
15 of knowledge to determine whether that is true or not. I
16 don't know whether in the past it has undercollected.

17 Q. Okay. Well, let me ask you this: In your
18 opinion, if the Commission were to conclude that Mr. Stout
19 is correct and that the standard method tends to provide
20 an estimate of net salvage costs which is estimate --
21 which is conservative and which, if anything, tends to
22 understate the level of net salvage costs that will be
23 actually incurred, under those circumstances, if the
24 Commission were to make those conclusions, would you feel
25 comfortable recommending to the Commission that they

1 continue to use the net salvage estimates derived under
2 the standard method?

3 A. No, because that would assume that the
4 future will be -- will follow the same path as the past,
5 which obviously no one, Mr. Stout, myself or anyone, can
6 determine.

7 Q. So is it your position, then, that the
8 Commission just should not use any estimates at all
9 because we can't tell for certain what the future is? Is
10 that what your position is, the Staff's position is?

11 A. Well, I think as I stated earlier, my
12 position is that estimates can be used as long as they are
13 reasonable and capable of accurate -- can be -- let me
14 restate this.

15 Estimates can be used in the ratemaking
16 process. I would recommend they not be used unless there
17 is evidence that they are -- can be considered reasonably
18 accurate.

19 Q. Okay. And you've done no analysis of
20 whether the estimates utilized by Laclede for determining
21 net salvage are reasonably accurate or not?

22 A. I've done no analysis of Laclede's specific
23 information.

24 Q. And you can't point me to anything in the
25 record to your knowledge, based on your review of it, that

1 would demonstrate that they're not reasonably accurate?

2 A. Again, I haven't reviewed all the record,
3 but I have not seen that kind of thing in the evidence.

4 Q. Okay. Well, we've talked in terms of
5 estimates that are used in other areas. I think you
6 mentioned pensions.

7 A. Right.

8 Q. Can you tell me whether net salvage
9 estimates are more reasonably accurate than the estimates
10 that are used in calculating pension expense?

11 A. That's kind of an apples to oranges
12 comparison. I cannot say that. Of course, the ratemaking
13 setup for pension expense is in part determined, I think,
14 by federal statutes in terms of trust funds being set up.
15 So there are other factors that play with pensions that
16 are not present with net salvage.

17 Q. Okay. But you believe it's appropriate to
18 use estimates in the pension area?

19 A. Again, I believe to some degree federal law
20 would implicitly or explicitly require that. There I go
21 being an attorney again. So I see -- yeah, I see that as
22 a separate situation than net salvage.

23 Q. How about in terms of the estimates that
24 are used in the DCF model for calculating a return on
25 equity, do you know what those estimates are?

1 A. Not in any detailed knowledge, no.

2 Q. Well, how about in a superficial way?

3 A. I have a lot of superficial knowledge. I
4 believe financial analysis look at estimates of going out
5 some small short period of time into the future of
6 estimates of earnings and dividends, payouts and so on,
7 but that's very superficial.

8 Q. Do you know how long that period of time
9 is?

10 A. I'm going to say one or two years, but I
11 don't have a lot of confidence in that.

12 Q. Do you know how accurate those particular
13 estimates are?

14 A. I don't have an opinion. It's easier to
15 make an accurate estimate over one or two years, as
16 opposed to 20 or 30 years, just in general.

17 Q. Okay. But you've done no analysis to try
18 and determine the reliability of those particular
19 estimates used for that pick purpose versus the
20 reliability of net salvage estimates?

21 A. No, I have not.

22 Q. Okay. What kind of analysis have you done
23 if you want to go to a longer horizon of the reliability
24 of estimates used to determine service lives?

25 A. Can you repeat that?

1 Q. Yes. What can you tell me about the
2 reliability of estimates used to determine service lives?

3 A. What I can tell you is that they are based
4 upon an analysis of past historical record which leads to
5 the creation of something called survivor curves on which
6 these rates are based.

7 Q. Okay.

8 A. I've basically told you the extent of my
9 knowledge on that.

10 Q. And would that also be true of net salvage
11 estimates?

12 A. If they were based on an examination of the
13 past historical record?

14 Q. Yes.

15 A. According to what I know, yes.

16 Q. Okay. What makes service -- estimates of
17 service lives more reasonably accurate or reliable than
18 estimates of net salvage costs?

19 A. Well, when considered in isolation, I'm not
20 sure that there would be a difference between an estimate
21 of net salvage, as opposed to service life. Of course,
22 the net salvage calculation has two different unknowns,
23 which is the actual cost to be incurred as well as the
24 timing of the cost. With depreciation expense it's only
25 the service life that is unknown, the cost being known up

1 front. So in terms of that component of depreciation, I
2 think it's logical to assume that can be somewhat more
3 reliably estimated than the net salvage piece.

4 Q. And when you say assume, is that all it is
5 is an assumption, or do you have something that you have
6 studied or read that demonstrates that to you?

7 A. Logically, if I have to estimate a future
8 cost and for one cost I have one unknown factor and for
9 another cost I have two unknown factors, logically it
10 would seem I have more risk of inaccuracy with the
11 calculation that involves two unknown factors.

12 Q. Does that assume that the range of
13 uncertainty for those two factors are the same?

14 A. I don't know that I made that assumption.

15 Q. Well, you can have something that has two
16 unknown factors and another thing that has one unknown
17 factor and the range of uncertainty on the thing that has
18 one unknown factor can be substantially greater, can it
19 not, than the one that has two unknown factors?

20 A. My implicit assumption was that there would
21 be equal risk of uncertainty.

22 Q. Okay. And do you have any evidence to
23 confirm that?

24 A. While I believe it is logical, I don't have
25 any empirical evidence in front of me today to say this is

1 it, this justifies that.

2 Q. Okay. Would it be fair to say, then, that
3 looking at the record as a whole, when you talk about
4 reasonably accurate estimates and whether net salvage
5 estimates qualify for that characterization, you don't
6 have any empirical evidence and you have done no study to
7 make a determination of whether they do or do not?

8 A. Whether they do or do not what?

9 Q. Whether they do or do not qualify as
10 reasonably accurate estimates?

11 A. That's based upon my general understanding
12 of how the process works. In terms of have I done an
13 analysis that I can provide you in the form of work papers
14 to justify that, no.

15 Q. Okay. And you've certainly not done the
16 kind of analysis that Mr. Stout has done and has reflected
17 in his testimony; is that correct?

18 A. That's correct.

19 Q. Okay. Let me ask you, you mentioned
20 something about incentives, and that by expensing net
21 salvage utilities have a greater incentive to reduce
22 costs; is that correct?

23 A. That's what my testimony states.

24 Q. Okay. Let me ask you this: If the
25 Commission were to go ahead and expense rather than

1 capitalize the capital budgets of utilities, for example,
2 if the \$50 million that Laclede spends every year or
3 thereabouts on its capital programs, the Commission were
4 to say, I want to expense that now and I want to just put
5 \$50 million on an ongoing level in rates to pay for that,
6 would that give Laclede a greater incentive to reduce
7 those particular expenses?

8 A. Yes and no. Yes in the sense that between
9 rate cases Laclede would want to beat the historical level
10 or the current level reflected in rates. No in the sense
11 that perhaps there might be an opposite incentive in a
12 rate case type proceeding to inflate that level of capital
13 expenditures.

14 Q. That same yes and no applies to your net
15 salvage example as well, does it not?

16 A. Let me think about that. Yes, as it
17 generally would apply to all expense items.

18 Q. Okay. And, you know, given the fact that
19 it would give the utility a greater incentive to reduce
20 its -- or at least as much of an incentive to reduce that
21 particular aspect of its costs as you say it would have to
22 reduce its net salvage costs, would it be your
23 recommendation that the Commission expense those capital
24 items and allow Laclede to recover an ongoing level of
25 \$50 million in rates?

1 A. Well, no, and there are many reasons why
2 that would not be appropriate.

3 Q. Please tell me what they are.

4 A. First of all, the utility must -- or the
5 Commission must consider a number of different goals or
6 policies in terms of setting its rate policies. For
7 capital items, intergenerational equity is a
8 consideration, as it is with net salvage. I'm not going
9 to say that shouldn't be at all a consideration. And
10 obviously long-term assets are placed in order to provide
11 service for many years, hopefully, and those rates, it is
12 fair that those rates be set to recover those costs over
13 the period of time those assets are in use, are in use.

14 In terms of a practical matter, because
15 utility construction budgets at least some of the times
16 for some of the utilities tend to vary a lot from year to
17 year, it simply wouldn't be practical from that to set
18 rates based upon year-to-year construction budgets.

19 To use the extreme example, in the early
20 1980s when UE and KCPL had nuclear units, you might
21 increase rates by 1.5 billion one year and decrease it
22 back the next year. That I don't think would work very
23 well.

24 Q. And is that because it would -- it would
25 lead to an inappropriate recovery of costs from the

1 standpoint that you would have spikes and that customers
2 might have to pay rates based on those spikes when, in
3 fact, on an ongoing level costs went down so they'd be
4 overpaying for service? Is that the kind of concern
5 you're talking about?

6 A. That would be part of it.

7 Q. And that would be a bad thing? That would
8 be something that from a policy standpoint you would think
9 is unfavorable?

10 A. In general terms, yes.

11 Q. Okay. And is your concern about that
12 unfavorable aspect of it based solely on what the
13 magnitude of the costs are or do you believe that's
14 unfavorable even if the costs are smaller?

15 A. Well, and again, particularly in terms of
16 the capital budget being expensed, I think that's wrong in
17 theory, as well as being wrong in practice or in its
18 practical impact. So even if your construction budget was
19 level from year to year, I do not think it would be
20 appropriate to treat them as being expensed.

21 Q. Okay. And I understand that point as well,
22 but from the standpoint of the volatility and the
23 expenditures and not wanting to have a mismatch between
24 what's being collected from customers and what's actually
25 being incurred, is that a concern that is -- that you're

1 concerned about only because of the magnitude of the
2 construction budgets or just in general?

3 A. If I understand your question, I think the
4 answer is in general.

5 Q. Okay. And let me ask, I mean, is it your
6 testimony that under the Staff's approach the utilities
7 will be made whole for their net salvage costs?

8 A. For their cash outlays, yes, though as I
9 stated earlier to Mr. Lowery, if you treat an item as an
10 expense, there's always the chance you may under-recover
11 the actual level in expense compare to what you outlay in
12 cash or over-recover it, there may be those fluctuations.

13 Q. So your testimony would be that you'll be
14 made whole except for those circumstances where you won't
15 be?

16 A. Well, you'll be made whole in the same way
17 you're made whole for your other expenses.

18 Q. Okay. Well, let's talk about the way we're
19 made whole for other expenses. You know, if there is
20 volatility in a particular expense item, just like you
21 were painting as far as volatility in the capital budgets
22 and expenditures, it's not unusual to have a higher level
23 of expense in one year and a lower level in the next; is
24 that right?

25 A. That's correct.

1 Q. Let's say a utility's got net salvage costs
2 of 5 million in year one and 9 million in year two and
3 5 million in year three. Under the approach that Staff is
4 proposing, what level of net salvage costs will the
5 utility be allowed to recover in its subsequent rate case?

6 A. In general terms, when you have a volatile
7 level of expense, it will be appropriate to consider use
8 of a multi-year average for that expense item.

9 Q. Okay. So let's say we use a multi-year
10 average. I've now incurred 5, 9 and 5. Would you agree
11 with me that's \$19 million?

12 A. I can agree with that.

13 Q. Okay. And first of all, if the rate -- if
14 the net salvage amounts have been set at 5 million in the
15 prior case, okay?

16 A. Uh-huh.

17 Q. Will I ever recover that difference between
18 5 million and 9 million in year two?

19 A. If you didn't file a rate case, no.

20 Q. Okay. So let's say that I filed a rate
21 case immediately after I had that 9 million.

22 A. Uh-huh.

23 Q. Will I be allowed to go back and recapture
24 that 9 million?

25 A. You're say never allowed to recapture that

1 shortfall or over-recovery in expense, but maybe that's
2 too broad a statement. In general terms, no.

3 Q. So that's an instance where I'll be eating
4 that \$4 million, right, the utility will be?

5 A. In that particular case.

6 Q. And that won't exactly make me whole, will
7 it?

8 A. Well, no, but in the future there may be
9 cases where you will have less net salvage expense than
10 what is the level set in rates.

11 Q. Okay. Let me ask you -- well, may, may
12 not, right?

13 A. May, may not.

14 Q. Okay. But in any event, the one thing we
15 know is that it's likely that the utility is not going to
16 go ahead and recover whatever net salvage costs it has, no
17 more, no less, under the expense approach; isn't that
18 correct?

19 A. Consistent with traditional ratemaking,
20 that is correct.

21 Q. And it's possible that a utility may have
22 to absorb a significant amount of those net salvage costs;
23 isn't that correct?

24 A. That is possible, as well as the
25 possibility of over-recovery.

1 Q. Let me ask you this: And do you generally
2 favor creating circumstances where there are possibilities
3 for over and under-recovery? Is that a good thing in your
4 opinion?

5 A. Let me answer it this way: I believe
6 regulatory lag provides good incentives for a utility for
7 efficient operations, and as part of regulatory -- the way
8 regulatory lag works, that would incorporate both under-
9 recoveries and over-recoveries of expenses or other rate
10 elements compared to the level set in rates.

11 So the possibility of winners or losers, I
12 think it's expressed in testimony, under or over-recovery
13 does not bother me at all. I believe it has some
14 efficiency benefits in the overall regulatory scheme.

15 Q. Okay. It doesn't bother you at all, but it
16 does begin to bother you when the dollars are really big,
17 right? Didn't you just have that discussion with the
18 capital budget and your comments about the spikes and how,
19 you know, you would lead to a mismatch between costs that
20 are being incurred and what's being included in rates?
21 There it bothered you, I thought, didn't it?

22 A. Well, probably should bother the utility,
23 too, but my problem with expensing capital items is
24 95 percent theoretical and 5 percent practical, just to
25 put that in perspective.

1 Q. I appreciate that, but I thought you gave
2 me as one of your major reasons that capital budgets vary
3 significantly, that there might be a significant spike,
4 and that that would lead to a mismatch between actual
5 costs and what customers paid. Now, is that a concern or
6 not a concern?

7 A. Certainly it's a concern that probably
8 would be greater with capital items because those are --
9 those are where the big dollars are.

10 Q. And would that be unfavorable from your
11 standpoint? Would that be an unfavorable policy result?

12 A. To what, to expense?

13 Q. To have those big disparities between
14 what's being incurred and what's being collected from
15 customers.

16 A. As it relates to capital items, yes. As it
17 relates to expense items, that's something that the
18 company can accommodate through a rate filing to try to
19 cure, if I understood you correct.

20 Q. So it's a concern when it comes to capital
21 items and it's not a concern when it comes to expense
22 items?

23 A. When there's great -- okay. Somewhere
24 along the line I may have lost the train of where you're
25 going, but if there's an item of expense that is highly

1 volatile and subject to spikes, we have means within the
2 rate process to try to accommodate that through, among
3 other things, use of multi-year averages and so on.

4 Okay. So does it.-- would it bother me
5 that a utility's expenses spike that way? In general
6 terms, normally they don't, but individual items of
7 expense could, and we can accommodate that reasonably in
8 the rate process.

9 Under the hypothetical situation where we
10 expense the construction budget or capital items, that's
11 less easily accommodated because of just the magnitude of
12 the dollars involved.

13 Q. And how do you intend to accommodate that
14 concern when it comes to net salvage costs?

15 A. Net -- well, net salvage costs to the
16 extent they show a lot of volatility, we would, as I think
17 we currently do, consider the use of multi-year averages
18 to reflect that amount in rates.

19 Q. So in your view, the use of multi-year
20 averages, even if under the example we gave it results in
21 the utility incurring a not insignificant level of costs,
22 it's in your view a sufficient remedy for that problem?

23 A. The fact that the utility may have to eat
24 some portion of those costs --

25 Q. Yes.

1 A. -- under that approach?

2 Q. Yes.

3 A. Yes, recognizing the opposite possibility
4 that the company may be able to over-recover those costs.

5 Q. Okay. Let me ask you about the
6 over-recovery. You talked about regulatory lag. That
7 basically means that there's usually a period between the
8 time you incur costs and it's recognized in rates or some
9 average is recognized in rates; is that correct?

10 A. I would agree that that -- well, between
11 the time of a change in the company's financial picture
12 and the time that is reflected in rates. It doesn't have
13 to be an increase in expense. It could be opposite.
14 Anything that impacts your financial levels that impact
15 rates at the time that they are actually reflected in
16 rates is regulatory lag.

17 Q. Okay. And can you tell me what the impact
18 is on regulatory lag -- and just assume for me that you
19 have a company that is generally experiencing an increase
20 in net salvage costs over time, that they trend upwards.
21 Under those circumstances, is use of historical averages,
22 all else being equal, almost certain to result in an
23 under-recovery of costs?

24 A. If you have a general trend upward in a
25 cost, then depending upon the data that the Staff or the

1 auditors would review, we would also, of course, consider
2 use of last known measure of such an item. Now, it does
3 get more complicated if you have a general trend upwards,
4 as well as some volatility. Okay. That makes it a little
5 bit more difficult.

6 Q. Well, let's assume that you use the last
7 year of the three years. Okay? But you still have this
8 general trends upwards. Okay? Isn't it fair to say that,
9 under those circumstances, use of an historical expense
10 related item to set a level of an average that's based on
11 the lower part of the trend will result in an
12 under-recovery, all else being equal?

13 A. All else being equal, yes.

14 Q. You indicated that there were basically
15 three sources of cash flow, I believe, is that correct,
16 one being return on equity, the other being deferred taxes
17 and the third being depreciation in your testimony. Does
18 that sound --

19 A. Customer supplied cash flow, yes.

20 Q. Customer supplied cash flow. And I think
21 we've discussed that Staff's method tends to reduce cash
22 flow, at least --

23 A. Compared to the company's method, yes.

24 Q. Right, compared to the standard method.

25 And I think you would generally agree that a reduction in

1 cash flow for whatever reason is perceived negatively by
2 rating agencies as opposed to certainly maintaining cash
3 flow or increasing cash flow; would that be correct?

4 A. I would agree with that.

5 Q. And in looking at the three sources you've
6 talked about, return on equity, would the same thing be
7 true there? If you're getting less cash flow from your
8 return equity, is that something that would be viewed
9 unfavorably by rating agencies?

10 A. I'm quite confident rating agencies prefer
11 higher returns on equity than lower returns on equity.

12 Q. So the extent you have lower returns on
13 equity, that's going to be viewed as an unfavorable
14 development as well; is that correct?

15 A. By the credit rating agency, I believe so.

16 Q. Okay. Can you tell me, since you pointed
17 to these three sort of legs of the cash flow stool, where
18 the Staff is in general terms with respect to its return
19 on equity recommendations and how they compare to other
20 jurisdictions?

21 A. I was involved in the current Missouri Gas
22 Energy rate proceedings, so my knowledge is pretty much
23 limited to the circumstances in that proceeding. I
24 believe the Missouri Staff recommended return on equity in
25 that proceeding was portrayed by MGE as being

1 significantly below recent averages of returns granted by
2 other jurisdictions.

3 Q. Well, do you have any reason to dispute
4 that?

5 A. No.

6 Q. Okay. And isn't it true that, generally
7 speaking, when it comes to the return on equity component
8 that can also generate cash flow, that Staff has generally
9 made recommendations that are below averages?

10 MR. SCHWARZ: I'm going to again inquire as
11 to how this line of questions talking about return on
12 equity has -- is tied in to the net salvage -- limited
13 narrow net salvage issue in this case? I'm not sure that
14 it's going to lead to any discovery or rather admissible
15 evidence.

16 MR. PENDERGAST: Just to respond to that,
17 it was Mr. Oligschlaeger that went ahead and in response
18 to what we had talked about, the impacts of depreciation
19 on cash flow and all the negative financial impacts
20 flowing from that had said, wait a minute, you've got to
21 look at what you get from return on equity, you've got to
22 look at what you get from deferred income taxes. So I
23 think I want to look at it.

24 Anything further, Tim?

25 MR. SCHWARZ: I think it should be limited

1 to the discussions of return on equity in this case. I
2 don't see -- I mean, he's identified it as another source
3 of cash flow, but if -- but there's nothing material left
4 in this case. There's no issue in this case on other
5 sources of cash flow. It's just not an issue.

6 MR. PENDERGAST: Well, I think it is. I
7 mean, I think it's an item that the Commission needs to
8 take into consideration, particularly since it's been
9 raised by Staff. And I think they need to take it into
10 consideration because we have said that this depreciation
11 policy has an adverse impact on our cash flows and on our
12 financial condition, and we have had a Staff witness come
13 in and say, oh, but you've got return on equity revenues
14 to help with you that cash flow, no need to worry.

15 And I want to go ahead and probe that and
16 see whether or not that's an additional source of negative
17 development when it comes to our financial situation.

18 MR. SCHWARZ: But the only cash flows that
19 are -- return on equity that are factors that are relevant
20 to this issue in this case are the returns on equity that
21 the Commission set in this case.

22 MR. BYRNE: Since there is no ALJ to rule
23 on the objection, shouldn't he just answer the question?

24 MR. SCHWARZ: Well, I'm considering whether
25 to direct him not to answer. All right?

1 MR. LOWERY: I don't believe it's
2 appropriate for a lawyer to direct a witness to not answer
3 a question based on a relevance objection in any
4 deposition.

5 MR. SCHWARZ: It's not a relevance. It's a
6 materiality.

7 MR. LOWERY: Or a materiality objection.
8 It's not privileged.

9 MR. SCHWARZ: I pays my money and I takes
10 my chances, and --

11 MR. LOWERY: I was going to suggest that
12 you make your objection and then he answer the question,
13 and if you want -- if it becomes an issue in the
14 proceedings in terms of whether the question and answer
15 used, then the ALJ can rule on the objection.

16 MR. SCHWARZ: We've -- go ahead. Answer
17 the question.

18 THE WITNESS: Can you please repeat it?

19 MR. SCHWARZ: Read it back for him.

20 THE REPORTER: "Question: And isn't it
21 true that, generally speaking, when it comes to the return
22 on equity component that can also generate cash flow, that
23 Staff has generally made recommendations that are below
24 averages?"

25 THE WITNESS: And when you say below

1 averages, I assume you mean some measurement of the
2 average return on equity findings of the jurisdiction s a
3 whole?

4 BY MR. PENDERGAST:

5 Q. Yes.

6 A. Again, based upon my knowledge of the
7 return on equity issue in the MGE rate case, there was
8 evidence submitted that since the late 1990s that Staff's
9 recommendations have tended to be below those kinds of
10 national averages.

11 Q. Okay. And assuming that that's true, then
12 wouldn't it also be true that, all else being equal, the
13 amount of cash flow that utilities receive from that
14 return on equity component you mentioned in your
15 testimony, to the extent those recommendations have been
16 reflected in lower Commission-authorized returns, it would
17 be less than what other utilities on average are
18 receiving?

19 A. I think that follows, yes, that the higher
20 the return on equity granted, or actually the higher the
21 return on equity earned, the more cash flow to the
22 utility.

23 Q. And you recall a series of questions that
24 you had with Mr. Lowery that talked about if you're
25 getting less cash flow from depreciation than utilities in

1 other jurisdictions are getting, that you're going to be
2 viewed less favorably by investors at least for that
3 factor than utilities in others jurisdictions that are
4 getting more cash flow?

5 A. Well, my assumption is, and I think it's
6 reasonable, that investors are interested in return on
7 equity determinations by this Commission and all
8 commissions.

9 Q. And to the extent that they're lower than
10 average, that would be a factor that, all else being
11 equal, investors would tend to view negatively?

12 A. I believe that is logical.

13 Q. And would it also be logical that they
14 would tend to view the circumstance even more unfavorably
15 if you were getting less cash flow from the return
16 component in addition to less cash flow from the
17 depreciation component? Does it have a cumulative effect?

18 A. I think they would look at all factors
19 impacting the cash flow, the two that you mentioned.
20 There may be others, or there are others as well that they
21 would examine in reviewing cash flow .

22 Q. But certainly they would tend to go ahead,
23 would you agree, as a matter of logic, that they would
24 tend to view more unfavorably a negative development or
25 negative cash flow impact from two of those cash flow

1 producing areas than they would just one?

2 A. If there is less cash flow to the company
3 as a result of two different regulatory decisions or
4 policies than there would be just looking at one in
5 isolation, yes, they would look at that more negatively.

6 Q. Okay. And in your testimony, I think you
7 said the Commission should not, and I don't want to put
8 words in your mouth, but essentially guide what it does
9 solely by what rating agencies might think. Is that
10 generally correct?

11 A. Yes.

12 Q. But do you think it's a factor they should
13 take into account?

14 A. Rating agencies represent the debtors of
15 your companies who are one of the interest groups and
16 legitimate interest groups whose needs or whatever should
17 be taken into account.

18 Q. But do you think they should take it into
19 account for more reasons than just trying to look out for
20 what the bondholders of Laclede may be -- may be
21 experiencing? In other words, should they be concerned
22 about potential impacts on your cost of capital?

23 A. That is a legitimate consideration.

24 Q. And that's a consideration that flows to a
25 concern for the ratepayer potentially as well as for the

1 debtholder; is that correct?

2 A. That's correct.

3 Q. Okay. Let's talk about deferred income
4 taxes a little bit. Is that a situation where the
5 customer basically pays the utility a higher amount in
6 rates for taxes at a given point in time than what the
7 utility's actual liability for taxes is?

8 A. Yes.

9 Q. Okay. Now, why does that arise and why
10 does that happen?

11 A. That arises because utilities are --
12 companies in general are allowed to take deductions for
13 certain costs currently, speaking in general, than what
14 they reflect on their books as current expenses, which
15 means their taxable income is lower than their book
16 income. But rates, again in general, are based upon book
17 net income. Income tax expense in rates is based upon
18 book net income. Therefore, they receive higher income
19 tax expense rates than what the IRS and the State, whoever
20 actually bills them for, so to speak.

21 Q. Okay. But why on the regulatory level do
22 you recognize the higher book one, rather than the actual
23 tax bill one?

24 A. In many cases it is because the current law
25 or the Internal Revenue Code requires that we do so.

1 Q. And why does it require that you do so?

2 A. My general understanding is to provide a
3 source of funds for investment for utilities. I believe
4 that's the stated or the intended purpose.

5 Q. So to your knowledge, some policy
6 determination has been made by somebody that's reflected
7 in the tax codes or elsewhere that providing that
8 additional cash flow to the utility for investment
9 purposes is a worthwhile or good thing?

10 A. I think apparently it was a good policy
11 decision to allow that -- those monies for investment
12 purposes.

13 Q. Okay. How big can this deferred tax item
14 get?

15 A. For major utilities, we're talking millions
16 of dollars. It's a significant reduction to most
17 utilities' rate base.

18 Q. How does it compare to net salvage cost?

19 A. Well, I think you're comparing an expense
20 to a rate base item. A company's balance of deferred
21 taxes it has received over time I think generally it could
22 be expected to be much larger than its annual net salvage
23 cost.

24 Q. Okay. And can you tell me, since customers
25 are paying this amount in advance, okay, what specific

1 mechanisms have been established to make sure that when
2 the tax liability is higher than what you're collecting in
3 rates, the money will be there to pay Uncle Sam?

4 A. I don't think there is any specific
5 measures the Commission has taken. I would imagine the
6 IRS and the State have their own interest in that question
7 in making sure those monies are available.

8 Q. Well, I guess what I'm asking you, has --
9 well, if they can't be collected from the utility or if
10 they spent that, they can spend that money on something
11 else, couldn't they?

12 A. Certainly.

13 Q. Just like, you know, your concern about
14 spending net salvage on something else, right?

15 A. Well, it's available for investment for any
16 purpose.

17 Q. Okay. Available for any purpose. And then
18 if they have to go ahead and pay that amount at some point
19 in the future, they may have to borrow it, right?

20 A. They may have to borrow it, or if there's a
21 crunch, they may decide not to make the expenditures for
22 those activities that they otherwise would have.

23 Q. Okay. Just like they could with net
24 salvage cost, right?

25 A. I'm sorry. I was talking about their net

1 salvage cost.

2 Q. Okay.

3 A. I don't think you have the leeway not to
4 pay taxes that are due.

5 Q. Well, you're under a statutory obligation
6 to provide safe and adequate service, right?

7 A. That's correct.

8 Q. That's a legal obligation, too, isn't it?

9 A. I believe -- well, I don't know. It's my
10 understanding that that is. I'm not an attorney.

11 Q. Well, but your point is that paying your
12 tax bills is also a legal obligation, right?

13 A. And you will probably go to jail if you do
14 not do so. Not you individually.

15 Q. I appreciate that advice.

16 But there are penalties for not fulfilling
17 your statutory and commission duties as well; is that
18 correct?

19 A. That is correct.

20 Q. And I guess what I'm trying to ask here is,
21 for this what you think is a larger item where customers
22 are prefunding something, can you explain to me why Staff
23 under those circumstances has not proposed some sort of
24 segregated account that those monies should flow into so
25 that they'll be available later on when those tax

1 liabilities are greater than what's being plugged in
2 rates?

3 A. Okay. You do not have legal discretion not
4 to pay the incomes taxes that are payable when they are
5 due. It is my understanding that there is some discretion
6 in regards to the level of cost of removal activity a
7 utility can undertake in most cases. Now, there are
8 other -- nuclear decommissioning would be a contra example
9 of that. But if there is a serious crunch, utilities have
10 the option of going out and borrowing, obviously borrowing
11 the money or getting it from equity sources.

12 But they also have the option of ramping it
13 down, we won't spend that much. We have the option to
14 leave this asset in place as opposed to fully remove it or
15 whatever. There's a level of discretion with cost of
16 removal activities than there is in income tax payments.

17 Q. Okay. And could you give me some examples
18 of what that level -- what those discretionary items are?

19 A. Just in general, it is -- for example, most
20 of the items for which utilities claim cost of removal
21 expense in rates through the standard method are not
22 accounted for for financial reporting purposes as
23 liabilities, which means that they are not considered to
24 be future obligations of the utility, okay, from a GAAP,
25 from a financial reporting perspective. Some of the

1 activities are, but most of them are not.

2 And that means that for financial reporting
3 purposes, investors are not to assume that you will --
4 that you have a legal, or actually I think it goes beyond
5 legal, an obligation to incur those costs in the future.
6 Okay. That's -- that's what I'm talking about in general.

7 Q. So is your main concern, then, about
8 whether or not you have a segregated fund, not whether the
9 money will actually be available, but instead whether or
10 not the utility will actually have to spend it on
11 something? Is that what your concern is?

12 A. Well, no. My concern is that the money be
13 available both to meet your future obligations for cost of
14 removal, and that would create, I guess, a more beneficial
15 atmosphere in terms of making sure the full level of cost
16 of removal activities are taken out. Again, looking at
17 Mr. Fetter's testimony where he raises the specter of
18 sizeable and sharp increases in the future regarding those
19 cost items.

20 Q. So your concern is, you want to make sure
21 the money's available so that the utilities will be
22 encouraged to spend it on those particular items; is that
23 correct?

24 A. Well, if you do not need to spend it, and
25 obviously the prudence of your future actions, I mean,

1 utilities should determine whether they need to spend the
2 money or not. But if you need to spend it, the money is
3 there. If you don't need to spend it, then I guess the
4 money would be segregated for future uses or maybe it can
5 be refunded back. I don't know the mechanisms.

6 Q. I guess I'm just trying to understand, you
7 know, the dynamics at work in that answer compared to the
8 dynamics at work in your answer that said it's better to
9 expense things and not provide for the money automatically
10 being there so utilities will have an incentive not to
11 spend unnecessary amounts when it comes to cost of removal
12 that's ongoing. Can you reconcile those two for me?

13 A. First of all, it was not my testimony that
14 it's better to expense things either in general or other.
15 Capital items should be treated as capital items. Expense
16 items should be treated as expense items in general.

17 At this point I'm kind of at a loss as to
18 how to continue. I'm not sure exactly what your confusion
19 is, what you're asking me.

20 Q. Well, I'm just trying to get at why you
21 think a fund is necessary when it comes to net salvage
22 costs but not when it comes to deferred taxes, and I
23 thought you answered you thought one was more
24 discretionary, namely incurring net salvage costs, than
25 taxes. And in light of that, you thought it would be

1 better to have the money available there so that the
2 utility would have no question about spending it on that,
3 but then when it came to justifying your expense approach
4 to net salvage, you said it would be better not to
5 guarantee that the money is there because it acts as an
6 incentive if you have a ceiling that the utility can
7 spend. I'm just trying to get ahead where I can solve
8 these two thoughts. They seem to be inconsistent to me.

9 A. Okay. Under an expensing approach in which
10 you just recover the amount of your capital expenditures,
11 as I think I explained before, that can have both positive
12 and negative incentives to the company depending on where
13 they are in the rate case cycle.

14 Okay. What my -- one of my concerns in
15 terms of the segregation of funds approach is simply that
16 the money be there for the intended purpose, because we
17 assume that regardless there will be some level of net
18 salvage activity you will have to undertake in the future,
19 and the customers will be asked by you under the standard
20 approach to significantly prefund that, yet at the same
21 time those funds will not be there under the standard cash
22 flow use that the utilities make of these precollections
23 in rates.

24 I believe it's better public policy in
25 general if an expense is prefunded, as it is for nuclear

1 decommissioning, pensions and OPEBs, and as you are asking
2 that it be for net salvage, that some sort of segregation
3 or safeguarding of those funds be there so that they are
4 used for their intended purpose.

5 Q. Okay. Let me ask you some questions about
6 that particular concept.

7 MR. SCHWARZ: I'm ready for a lunch break.

8 (AN OFF-THE-RECORD DISCUSSION WAS HELD.)

9 BY MR. PENDERGAST:

10 Q. Utilities also borrow money from third
11 parties, right? They go out in the capital markets, they
12 issue debt, they -- they also get investments in the form
13 of equity; is that correct?

14 A. Yes.

15 Q. Okay. And do you know whether or not
16 utilities need to come before this Commission and request
17 authorization to issue securities?

18 A. My general understanding to that is yes,
19 but I'm not sure that's a blanket requirement or not.

20 Q. Okay. But assuming it's at least a
21 requirement with respect to some utilities under some
22 circumstances. And is it also your understanding that
23 when a utility does that, it needs to specify what utility
24 purposes the proceeds generated by those debt or equity
25 issuances will be used for?

1 A. I don't know they're required to. The
2 applications I've seen generally make somewhat general
3 statements as to what the funds are intended to be used
4 for.

5 Q. Do you know whether the Commission needs to
6 find what they will be used for?

7 A. I do not know.

8 Q. Okay. Do you know whether Staff has
9 expressed a concern before in financing applications
10 regarding making sure that if the Commission authorizes
11 debt and equity be issued, that those amounts will
12 actually be used for utility purposes?

13 A. I think it's reasonable that they would
14 have that interest. Again, I'm not sure to what extent
15 that actually occurs.

16 Q. Okay. And do you know whether or not Staff
17 has proposed various conditions to address that concern
18 about whether this money that is being authorized by the
19 Commission and it's being at least paid for, the debt cost
20 and that sort of thing, a return on equity by the
21 customer, assurances it will be used for those purposes?

22 A. I don't have firsthand knowledge. To the
23 extent the Staff has those concerns, it is common we will
24 seek conditions on those points.

25 Q. Okay. And do you have any opinion as to

1 whether or not those conditions are sufficient assurances
2 that the money will be used for what its intended purpose
3 was?

4 A. Because I don't have firsthand knowledge of
5 the conditions, no, I do not.

6 Q. You did not evaluate those conditions in
7 determining what conditions you wanted to come up with or
8 thought you should come up with in terms of assurances
9 that the amounts that were being paid by customers for net
10 salvage costs will actually be used for that purpose?

11 A. No, I did not.

12 Q. Okay. Do you have any opinion as to
13 whether that might be something that is worthwhile to
14 examine as you further develop your approach to this area?

15 A. More knowledge is generally better than
16 less knowledge in terms of any ratemaking recommendations.
17 So I think I can agree in general, yes.

18 Q. I appreciate you going out on a limb.

19 A. Not all Staff members agree with that.

20 Q. You mention in your testimony the ISRS
21 mechanism.

22 A. Yes.

23 Q. Do you know what portion of Laclede's
24 capital expenditures that applies to?

25 A. In general terms, it applies to certain

1 expenditures, I guess generally speaking infrastructure
2 replacement, relocates, those non-revenue-producing
3 capital additions, I believe, in general.

4 Q. Do you know offhand what portion of
5 Laclede's annual budget those expenditures would make up?

6 A. No.

7 Q. Okay. Do you know even with an ISRS
8 whether there is a lag between the time expenditures are
9 made and they're recovered in rates?

10 A. I believe they have to be actually in
11 service before the ISRS picks them up. So there would be
12 some time lag.

13 Q. Do you know what the processing time for an
14 ISRS is?

15 A. Not right off the top of my head. It's
16 somewhat accelerated, a few months. That's about as
17 specific as I can get.

18 Q. Can you tell me -- you indicated that you
19 supported Staff's removal of net salvage from the
20 depreciation formula and its treatment as an expense; is
21 that correct?

22 A. Yes.

23 Q. As opposed to what Mr. Adam had recommended
24 in this proceeding?

25 A. Well, again, I think substantively there is

1 no difference. I think it's probably more straightforward
2 if we just treat it as an expense, like other kinds of
3 expenses where we look at historical averages, test year
4 amounts and so on.

5 Q. Well, there's no difference other than you
6 recall the discussion we had about being made whole?

7 A. Yes.

8 Q. Okay. Do you know if it was part of the
9 depreciation rate and continued to be one whether that
10 particular concern would still remain?

11 A. If net salvage levels were reflected in the
12 depreciation rate?

13 Q. Yes.

14 A. To be honest, I have not thought of that,
15 but that's possible.

16 Q. And if that was an impact of taking it out,
17 would you view that as a substantive difference between
18 the two?

19 A. It's possible.

20 Q. Would you agree with me generally that the
21 only -- well, strike that.

22 The \$50 million that Laclede spends every
23 year on its capital budget is known and measurable; is
24 that correct?

25 A. Not when it's a budget. After it is placed

1 in service.

2 Q. Excuse me. That Laclede actually spends.
3 Let's say they spent it. You're looking back at the prior
4 year. You've got all the records. Is that a known and
5 measurable amount?

6 A. Yes.

7 Q. Is a service life estimate a known and
8 measurable amount?

9 A. In and of itself, no.

10 Q. Do you also support as part of removing net
11 salvage from the depreciation formula then amortizing the
12 difference between what has been collected under the
13 standard method or theoretically collected under the
14 standard method and what would have been collected under
15 the Staff's method?

16 A. That's not something I've really
17 considered, and I don't have an opinion on whether that
18 would be appropriate or not.

19 Q. Okay. Would you generally agree with me
20 that depreciation commences the moment you put a piece of
21 property in service?

22 A. It's not necessarily the moment, but yes,
23 it's instan-- more or less instantaneous.

24 Q. More or less?

25 A. Yes. You might wait 'til the end of the

1 month, but --

2 Q. Yeah. But it's pretty contemporaneous?

3 A. Yes.

4 Q. And to the extent that you're accruing for
5 net salvage costs, does the traditional approach and the
6 traditional way of tracking those accruals assume that
7 those accruals began immediately?

8 A. Yes.

9 Q. Would you necessarily be recovering
10 anything from your customers immediately

11 A. No.

12 Q. -- for those net salvage costs?

13 A. No. You would have to wait for the next
14 rate proceeding.

15 Q. And for a typical gas utility, that wait
16 can be anywhere from four or five months to two or three
17 years; is that correct?

18 A. That's reasonable.

19 Q. Okay. And at that point you actually start
20 to collect some of that net salvage from your customers,
21 is that correct, under the traditional approach?

22 A. Yes.

23 Q. And just because you have rates in effect
24 that reflect that net salvage level after six months or
25 two years, it doesn't mean you'll necessarily collect that

1 actual amount, that's going to depend on various
2 circumstances, weather and so forth and so on; is that
3 correct?

4 A. That's correct.

5 Q. Okay. Under those circumstances, if it
6 comes time to amortize back amounts that have presumably
7 been collected from customers in the past, in your view,
8 do you need to take into account this lag where it wasn't
9 actually collected from customers and you need to take a
10 look at whether or not once it was included in rates it
11 actually got collected from customers?

12 A. Again, that's a question I haven't thought
13 about. In terms of your hypothetical scenario, there are
14 also cases where companies continue to collect
15 depreciation expense in rates for items of plant they
16 they've retired.

17 So I think you would have to look at that
18 whole picture to determine what the overall shortfall, if
19 any, was before you would even make that kind of
20 determination.

21 Q. Would you as a general proposition be
22 comfortable returning to customers something that was
23 never collected from them?

24 A. Well, as a general proposition, we don't
25 attempt to set rates based upon measurements of when costs

1 were collected in rates versus when they weren't collected
2 in rates. That's a difficult determination, and
3 ultimately that's determined by your overall return on
4 equity, achieved return on equity. A company can be
5 earning sufficiently, and at the same time they are adding
6 plant and increasing its depreciation expense. You have
7 to expand your analysis to look at were you actually
8 recovering all your costs.

9 Q. Okay. So as a general proposition, you
10 would feel comfortable returning to customers something
11 that you never collected from them?

12 A. Well, again, I think the depreciation
13 reserve would also reflect collection amounts in rates
14 which you were no longer booking as an expense.

15 Q. Well, let's say you took all that into
16 consideration and what you came up with was something that
17 showed that a significant portion of this accrual amount
18 was never collected from customers. Let's just assume
19 that that's what you found. Under those circumstances,
20 would it be your testimony that that should be returned to
21 customers?

22 A. Again, I have not specifically looked at
23 these kinds of amortizations, and I cannot express an
24 opinion as to whether that would be appropriate or not.

25 MR. PENDERGAST: Okay. That's all I've

1 got. Thank you, Mr. Oligschlaeger.

2 MR. LOWERY: Thank you.

3 (PRESENTMENT WAIVED; SIGNATURE REQUESTED.)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 CERTIFICATE OF REPORTER

2 STATE OF MISSOURI)
3 COUNTY OF COLE) ss.
4)

5 I, KELLENE K. FEDDERSEN, RPR, CSR, CCR, and
6 Notary Public within and for the State of Missouri, do
7 hereby certify that the witness whose testimony appears in
8 the foregoing deposition was duly sworn by me; that the
9 testimony of said witness was taken by me to the best of
10 my ability and thereafter reduced to typewriting under my
11 direction; that I am neither counsel for, related to, nor
12 employed by any of the parties to the action to which this
13 deposition was taken, and further that I am not a relative
14 or employee of any attorney or counsel employed by the
15 parties thereto, nor financially or otherwise interested
16 in the outcome of the action.

17

18

19 KELLENE K. FEDDERSEN, RPR, CCR
20 Notary Public, State of Missouri
(Commissioned in Cole County)
My commission expires 3/28/05.

21

22

23

24

25

SIGNATURE PAGE

STATE OF MISSOURI)
) ss.
COUNTY OF COLE)

I, Mark Oligschlaeger, do hereby certify:

That I have read the foregoing deposition;

That I have made such changes in form and/or
substance to the deposition as might be necessary to
render the same true and correct;

That having made such changes thereon, I hereby
subscribe my name to the deposition.

I declare under penalty of perjury that the
foregoing is true and correct.

Executed the 22nd day of September, 2004, at
Jefferson City, Missouri


Mark O. Oligschlaeger
MARK OLIGSCHLAEGER

Notary Public:

Sharon S. Wiles

My commission expires:

ORIGINAL



KF/Mark Oligschlaeger

RE: Laclede Gas Company/GR-99-315

ERRATA SHEET

Witness: Mark Oligschlaeger
In Re: Laclede Gas Company/GR-99-315

Upon reading the deposition and before subscribing thereto, the deponent indicated the following changes should be made:

Page Line Should read:

Reason assigned for change:

Page Line Should read:

Reason assigned for change:

Page Line Should read:

Reason assigned for change:

Page Line Should read:

Reason assigned for change:

Page Line Should read:

Reason assigned for change:

Page Line Should read:

Reason assigned for change:

Page Line Should read:

Reason assigned for change:

Page Line Should read:

Reason assigned for change:

Page Line Should read:

Reason assigned for change:

Page Line Should read:

Reason assigned for change:

Page Line Should read:

Reason assigned for change:

Page Line Should read:

Reason assigned for change:

Reporter: Kellene K. Feddersen, RPR, CSR, CCR

Midwest Litigation Services
714 West High Street
P.O. Box 1308
Jefferson City, MO 65102

Phone (573)636-7551 * Fax (573)636-9055

September 6, 2004

THOMAS R. SCHWARZ, JR.
Mo Public Service Commission
P.O. Box 360
200 Madison Street
Jefferson City, MO 65102

In Re: Laclede Gas Company/GR-99-315

Dear Mr. Schwarz:

Please find enclosed your copy of the deposition of Mark Oligschlaeger taken on September 17, 2004, in the above-referenced case. Also enclosed is the original signature page and errata sheet.

Please have the witness read your copy of the transcript, indicate any changes and/or corrections desired on the errata sheet and sign the signature page before a notary public.

Please return the errata sheet and notarized signature page to Mr. Lowery for filing prior to trial date.

Thank you for your attention to this matter.

Sincerely,

Kellene K. Feddersen, RPR, CSR, CCR

Enclosure