

STATE OF MISSOURI
PUBLIC SERVICE COMMISSION

TRANSCRIPT

PHASE IV

CONSOLIDATED RECORD

CASE NO. : ER-85-128

In the matter of KANSAS CITY POWER & LIGHT COMPANY of Kansas City, Missouri, for authority to file tariffs increasing rates for electric service provided to customers in the Missouri service area of the company.

CASE NO. : EO-85-185

In the matter of the determination of in-service criteria for the KANSAS CITY POWER & LIGHT COMPANY'S Wolf Creek Generating Station and Wolf Creek rate base and related issues.

CASE NO. : EO-85-224

In the matter of KANSAS CITY POWER & LIGHT COMPANY, a Missouri corporation, for determination of certain rates of depreciation.

DATE : SEPTEMBER 4, 1985

PAGES : 901 TO 1059e, INCLUSIVE (INDEX: 1059a-1059e)

VOLUME NO.: SIXTEEN



Exhibit No. 27
Date 4-28-87 Case No. 1059/159
Revised By [signature]

PUBLIC SERVICE COMMISSION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. MAHER: No questions.

EXAMINER HOGERTY: Thank you. You may be excused.
(Witness excused.)

MR. PHILLIPS: Your Honor, you passed over me but
I have no questions.

EXAMINER HOGERTY: I'm sorry. I knew you'd speak
up!

Mr. Dottheim.

MR. DOTTHEIM: Staff calls as its first witness
Mr. William J. Cochran.

May we go off the record for a moment?

EXAMINER HOGERTY: Off the record.
(Off the record.)

WILLIAM J. COCHRAN, being sworn, testified as follows:

EXAMINER HOGERTY: Mr. Dottheim.

MR. DOTTHEIM: Thank you. At this time I would
like to have marked for purposes of identification a one-
page document, an errata sheet to Mr. Cochran's prepared
rebuttal testimony, which is Exhibit No. 135.

EXAMINER HOGERTY: It will be marked Exhibit 142.

(EXHIBIT NO. 142 WAS MARKED FOR IDENTIFICATION BY
THE REPORTER.)

EXAMINER HOGERTY: Mr. Dottheim.

MR. DOTTHEIM: Thank you.

1 DIRECT EXAMINATION BY MR. DOTTHEIM:

2 Q. Mr. Cochran, would you please state your full
3 name and business address.

4 A. William J. Cochran, Box 36305, Truman Building,
5 Jefferson City, Missouri.

6 Q. Mr. Cochran, are you the same William J. Cochran
7 who has caused to be filed previously in this case
8 testimony on electric jurisdictional allocations?

9 A. I am.

10 Q. Mr. Cochran, do you have a copy of what has been
11 marked as Exhibit No. 135?

12 A. I do.

13 Q. Is that a copy of the rebuttal testimony that was
14 caused to be filed on the issue of jurisdictional steam
15 allocations, Grand Avenue?

16 A. Yes, it is.

17 Q. Mr. Cochran, do you have a copy of what has been
18 marked as Exhibit No. 142, an errata sheet to your
19 rebuttal testimony?

20 A. I do.

21 Q. Mr. Cochran, if I were to ask you the questions
22 that are contained in your rebuttal testimony as corrected
23 by the errata sheet, would your answers be the same as
24 corrected by the errata sheet?

25 A. They would be the same.

1 Q. Mr. Cochran, is the information contained in your
2 rebuttal testimony true and correct to the best of your
3 knowledge and belief?

4 A. It is.

5 Q. Do you adopt Exhibit No. 135 as corrected by
6 Exhibit No. 142 as your rebuttal testimony?

7 A. I do adopt it.

8 MR. DOTTHEIM: At this time I would like to
9 tender Mr. Cochran for cross-examination.

10 EXAMINER HOGERTY: Mr. English.

11 MR. ENGLISH: No questions, your Honor.

12 EXAMINER HOGERTY: Mr. Phillips.

13 MR. PHILLIPS: No questions, your Honor.

14 EXAMINER HOGERTY: Mr. Claycomb.

15 MR. CLAYCOMB: Thank you, your Honor.

16 CROSS-EXAMINATION BY MR. CLAYCOMB:

17 Q. Mr. Cochran, your testimony, page 4, discusses
18 two appendices: one is the letter of Mr. Rasmussen; one
19 is the letter of Mr. Doyle. Do you have those letters in
20 front of you?

21 A. I do.

22 Q. Your testimony on page 4 seems to indicate that
23 you consider those letters to be inconsistent. Do you
24 view those letters as being inconsistent?

25 A. I do view them as inconsistent. In the meetings

1 that we had with KCP&L, specifically Mr. Washburn and
2 Mr. Rogers had with KCP&L, on the limited conversion, we
3 had no knowledge--I had no knowledge--and I don't think
4 Mr. Washburn and Mr. Rogers had knowledge, of the expanded
5 horizon that we learned of, or that I learned of, on July,
6 some time after July the 19th, 1985, at what these few
7 limited conversions were really aiming toward.

8 So in that matter, I felt it was inconsistent in
9 that we did not discuss the scope of the possible
10 conversion when Mr. Rasmussen's letter was talked over
11 with staff March the 28th or after March 28th with staff.

12 Q. What was your initial understanding when there
13 was a discussion with staff concerning the scope of the
14 project?

15 A. Well, I wasn't at the meetings, but before I
16 wrote this testimony, I had indepth interviews with
17 Mr. Washburn and with Mr. Rogers, and the scope of their
18 discussions with the company were that there were going to
19 be three or four, possibly as many as six, customers whose
20 maintenance costs were so high because of rusted
21 distribution lines, which are--they characterize as stub
22 feeds which is a radio feed which is not integrated which
23 is just a line that is going out off the integrated system.

24 And the major thrust of their argument was that
25 we can cut the cost to everybody by replacing the boilers

1 or by installing boilers on these few customers--and
2 that's a quote from Mr. Rasmussen's letter--thereby
3 lowering the cost of service to all steam customers.

4 There was no statements made about a total
5 conversion of the steam system to what I characterize as
6 an all electric operations based on Mr. Doyle's letter,
7 item no. 4.

8 Q. Is it now your understanding that they are
9 proposing to extend this offer to main line customers?

10 A. That confuses me. Main line, to me, based on my
11 review of Black and Veech's 1982 study, everybody is on
12 the same pressure lines in the downtown district.

13 Q. Let me try to get to it another way. Maybe that
14 is confusing. Is it your understanding that they're now
15 offering this to customers that are not on these limited
16 low pressure stub feeder distribution lines?

17 A. It's my impression that, yes, they are.

18 Q. In fact, were you present for Mr. Mandacina's
19 testimony yesterday?

20 A. I was.

21 Q. Did you understand him to say that the Home
22 Savings building was being offered this on-site boiler
23 installation?

24 A. I did not hear him say that. I heard you ask him
25 that question, but I could not tell from his answer that

1 they were being offered.

2 Q. Well, would you accept--I think the record will
3 reflect that it has been offered to them.

4 Would you also accept, subject to check, that
5 they are not on a lateral line as proposed in Mr.
6 Rasmussen's letter?

7 A. I would accept that.

8 Q. And I take it implicit in what you've already
9 testified to is that there is no advantage to the overall
10 steam system from on-site boilers being offered to those
11 customers that are not on laterals?

12 A. I don't know how you can imply that from my
13 testimony.

14 Q. Well, let me ask--it was your understanding, was
15 it not, that the reason for the on-site installation of
16 these boilers at the initial meeting was given that it
17 would save costs based on being able to seal certain
18 lateral pipes; is that correct?

19 A. I agree with that, yes.

20 Q. And of course, installation as to other customers
21 who are on lateral pipes won't have that same savings,
22 will it?

23 A. That is subject, why I use the word possibly. I
24 don't know at this time what kind of savings they could
25 generate; and that's why one of my recommendations to the

1 Commission on, I think on page 5, I think we should,
2 before we believe, staff believed that before the
3 Commission authorized the installation of these electric
4 boilers, they should have a documented cost comparison.

5 And secondly, this Commission should direct the
6 Commission to show it would earn a required rate of return
7 with existing steam rates using the embedded and newly
8 installed capacity to convert electricity to steam.

9 So I can't not say--I could not come to a
10 conclusion now that their proposals are not better and I'm
11 telling--I'm essentially recommending to the Commission
12 what information we'll be required before staff could make
13 any kind of determination on that.

14 Q. To summarize, it's fair to say that the reasons
15 given today for their action is different than the reason
16 given in the original meeting with staff? Is that a fair
17 statement?

18 A. Definitely, yes.

19 Q. You indicate on page 4 of your testimony there's
20 a reference there to the Promotional Practices Rule.

21 A. Yes.

22 Q. And apparently it's unresolved in your mind as to
23 whether or not this action undertaken by KCP&L violates
24 that rule. Is that a fair statement of your opinion?

25 A. That's a fair statement. I've reviewed the

1 Chapter 14 Promotional Practices Rule, specifically under
2 24-014.020, Prohibited Promotional Practices. And in my
3 mind it's unclear at this time whether Article 6 under
4 that chapter I just cited, which states, the provision of
5 free or loss, less of cost of service or value,
6 installation, operation, repair, modification or
7 maintenance of appliances, equipment or wiring or piping
8 of any person is prohibited. To my mind at this point
9 it's unclear whether that's what they're doing.

10 Q. Would it also be unclear in your opinion if KPL
11 Gas Service were to install on-site gas boilers, own them,
12 include them in gas plants and charge the customers the
13 gas rate?

14 A. Since you are under the same promotional
15 prohibited practices, it would be unclear to me.

16 Q. Would it also be unclear if gas service, KPL Gas
17 Service--I'm sorry--were to install on-site gas air
18 conditioning equipment and charge the gas rate used?

19 A. You said install. You didn't say free. Would
20 you charge them for it?

21 Q. Let's say install free, not charge the customer
22 for it.

23 A. That would be unclear also at this time.

24 MR. CLAYCOMB: Nothing further.

25 EXAMINER HOGERTY: Mr. Maher.

1 MR. KENNETT: Thank you very much.

2 EXAMINER HOGERTY: Mr. English.

3 RECROSS-EXAMINATION BY MR. ENGLISH:

4 Q. Mr. Cochran, do you know if KCP&L is including
5 any amounts in its electric cost of service in this case
6 for the electric boilers it's installing on service steam
7 customers' premises?

8 A. I don't know.

9 Q. Mr. Cochran, how does KCP&L ordinarily meter its
10 steam customers?

11 A. Two methods--well, there's one method where they
12 use a condensate measure, and there's another method where
13 you don't meter them, use an orifice to allow steam to
14 leak into their building which is not metered; it's just
15 an assumed amount will go in. So that's the two tariffs I
16 saw in the steam tariff.

17 Q. Do you believe that the condensate metering
18 method is error free?

19 A. Oh, no. I mean your studies say it is not error
20 free.

21 Q. And do you recall why that is, Mr. Cochran?

22 A. Well, I think two reasons. Some people were
23 stealing it, and another reason was it was leaking out of
24 your rusted, your old steam lines.

25 Q. So if we were to go just on the basis of billed

1 steam heat to size electric boilers in a hypothetical, do
2 you believe that there would be a possibility that we
3 could undersize the electric boilers because of the steam
4 losses or the steam that KCP&L may not have metered?

5 A. Yes, you could understate it.

6 Q. Mr. Cochran, do you know of any statement by the
7 KCP&L personnel that would contradict the testimony of
8 Mr. Mandacina yesterday that KCP&L intends to convert up
9 to eight customers to electric boilers under the test
10 program?

11 A. Do I know any testimony?

12 Q. Or any statement by KCP&L that would contradict
13 Mr. Mandacina's testimony yesterday.

14 A. Yes. Mr. Doyle's letter indicates that the whole
15 system may go that way.

16 Q. Doesn't Mr. Doyle's letter also state that this
17 plan to be developed will be submitted to this Commission?

18 A. He does.

19 Q. Then indeed doesn't Mr. Rasmussen's letter,
20 Appendix WJC-3, state in the second to the last paragraph,
21 that the experience gained this year in working with these
22 electric boiler conversions will provide KCP&L with the
23 information necessary to determine how KCP&L will approach
24 steam service?

25 A. To the other downtown customers?

1 Q. Yes.

2 A. It does say that, yes.

3 MR. ENGLISH: Thank you, Mr. Cochran.

4 EXAMINER HOGERTY: Mr. O'Donnell.

5 MR. O'DONNELL: No further questions.

6 EXAMINER HOGERTY: Mr. Phillips?

7 MR. PHILLIPS: No questions.

8 EXAMINER HOGERTY: Mr. Claycomb.

9 MR. CLAYCOMB: Thank you.

10 RECROSS-EXAMINATION BY MR. CLAYCOMB:

11 Q. Mr. Cochran, is there really anything to test in
12 this test project in your opinion?

13 A. In my opinion, no.

14 MR. CLAYCOMB: Thank you.

15 EXAMINER HOGERTY: Mr. Maher.

16 MR. MAHER: No questions.

17 EXAMINER HOGERTY: Thank you, Mr. Cochran.

18 (Witness excused.)

19 EXAMINER HOGERTY: We'll be in recess for ten
20 minutes.

21 (A break was taken.)

22

23

24

25