

1 STATE OF MISSOURI
2 PUBLIC SERVICE COMMISSION

3 TRANSCRIPT OF PROCEEDINGS
4

5 Hearing
6

7 August 13, 2007
8 Jefferson City, Missouri
9 Volume 9

10 In the Matter of an Investigation)
11 Into an Incident in December 2005)
12 at the Taum Sauk Pumped Storage)Case No.
13 Project Owned and Operated by the)ES-2007-0474
14 Union Electric Company, doing)
15 business as AmerenUE)

16 COLLEEN M. DALE, Presiding
17 CHIEF REGULATORY LAW JUDGE

18 STEVE GAW,
19 ROBERT M. CLAYTON, III,
20 LINWARD "LIN" APPLING,
21 COMMISSIONERS
22

23
24
25 REPORTED BY: Monnie S. VanZant, CCR, CSR, RPR
Midwest Litigation Services
3432 W. Truman Boulevard, Suite 207
Jefferson City, MO 65109
(573) 636-7551

1 A P P E A R A N C E S

2 For Staff of the Missouri Public Service Commission:

3 Mr. Kevin Thompson
4 and Mr. Steve Reed
5 Missouri Public Service Commission
6 200 Madison Street
7 P.O. Box 309
8 Jefferson City, MO 65102
9 (573) 751-6514

10 For Office of Public Counsel and the Public:

11 Mr. Lewis Mills
12 Office of the Public Counsel
13 200 Madison Street, Suite 650
14 P.O. Box 2230
15 Jefferson City, MO 65102
16 (573) 751-4857

17 For Union Electric Company, d/b/a AmerenUE and its
18 Employees:

19 Mr. Thomas Byrne
20 Attorney at Law
21 1901 Chouteau Avenue, MC-1310
22 St. Louis, MO 63103
23 (314) 554-2514

24 Mr. Robert Haar
25 and Ms. Lisa Pake
26 Haar & Woods, LLP
27 1010 Market Street
28 St. Louis, MO 63101
29 (314) 241-2224

1 For Department of Natural Resources:

2 Mr. Kurt Schaefer
3 Lathrop & Gage
4 314 East High Street
5 Jefferson City, MO 65101
6 (573) 893-4336

7 Ms. Kara Valentine
8 Missouri Department of Natural Resources
9 P.O. Box 176
10 Jefferson City, MO 65102-0176
11 (573) 751-0763

12 For Witness Keith Mentel:

13 Ms. Sherrie Schroder
14 Hammond, Shinnars, Turcotte, Larrew & Young
15 7730 Carondelet, Suite 200
16 St. Louis, MO 63105
17 (314) 727-1015

18

19

20

21

22

23

24

25

1 P R O C E E D I N G S

2 JUDGE DALE: Okay. Back on the record. Welcome
3 back, everyone, for the continuation of ES-2007-0474
4 August 13th, 2007. One of the things I would like to
5 remind everyone before we begin, along with the -- please
6 turn off all electronic devices, including Blackberries,
7 cell phones, et cetera.

8 I would like everyone to be mindful of the fact
9 that this proceeding pertains to the Commission's
10 jurisdiction. Questions about damages, consequential,
11 direct and otherwise are not part of this proceeding.

12 Having said that, Mr. Thompson?

13 MR. THOMPSON: Thank you. We would call James
14 E. Bolding.

15 JUDGE DALE: Okay. Thank you. Mr. Bolding,
16 will you raise your right hand?

17 JAMES BOLDING,
18 being first duly sworn to testify the truth, the whole
19 truth, and nothing but the truth, testified as follows:

20 DIRECT EXAMINATION

21 BY MR. THOMPSON:

22 JUDGE DALE: Thank you. Please proceed.

23 MR BOLDING: Thank you.

24 JUDGE DALE: You may inquire.

25 MR. THOMPSON: Thank you, your Honor.

1 Q (By Mr. Thompson) Good morning, Mr. Bolding.
2 A Good morning, sir.
3 Q How are you employed, sir?
4 A I'm sorry?
5 Q How are you employed?
6 A I'm presently employed by Ameren Energy
7 Marketing.
8 Q In what capacity?
9 A Power Trader Dispatcher.
10 Q And how were you employed in December of 2005?
11 A I was with AmerenUE as a Power Dispatcher.
12 Q So you're with a different company now?
13 A I'm with the unregulated side of Ameren, yes,
14 sir.
15 Q And you were formerly with the regulated side?
16 A Yes, sir.
17 Q Okay. And does that mean you're working in a
18 different location?
19 A Yes, sir. I'm in --
20 Q And are you doing different things?
21 A A little different.
22 Q A little different?
23 A Primarily, the same, but a little different.
24 Q What exactly does a Power Dispatcher do?
25 A On a day-to-day basis, we communicate with the

1 individual plants as to loading, where the loads need to
2 be on the units. Some of the units are manually operated,
3 and we must communicate to operators any time there's a
4 change in the load.

5 Some of the units are automatically controlled,
6 so we monitor those and ensure that they're moving within
7 their designated ranges and communicate with the plants
8 when they need to -- excuse me -- change the ranges for
9 the automatic control.

10 We deal with the plants, work with the plants
11 issues, problems that they're having that might prevent
12 them from achieving the desired generation for the
13 particular unit at that time.

14 We also work with MISO, the Midwest Independent
15 System Operator. They send us dispatches every five
16 minutes. Occasionally, we have problems with the unit and
17 can't achieve the generation they require or request, so
18 we communicate with them the problem with the unit and why
19 we can't reach the particular load they've requested on
20 that unit and keep them informed on that situation.

21 Q Okay. Now, in December 2005 when you were
22 working on the regulated side, your particular physical
23 location was in St. Louis city; is that correct?

24 A That is correct.

25 Q And did you have gauges and printouts or

1 read-outs telling you what each unit that you were
2 dispatching was doing?

3 A Yes, sir.

4 Q But you did not actually control the units from
5 there?

6 A Well, sir, in -- in AGC, Automatic Generation
7 Control, I -- I did have certain control over those units.

8 Q Okay.

9 A Within a parameter, within ranges. The plant
10 would give me a certain range of maybe 50 to 75 megawatts,
11 which the unit would automatically move in that range.
12 And -- and I could bump that up or down with some limits
13 that I had.

14 So a little control, but -- but did I actually
15 push the buttons at the plant or cause the buttons to be
16 pushed at the plant? No.

17 Q Okay. And was Taum Sauk one of the automatic
18 generation control plants?

19 A No, sir.

20 Q Okay. So your job included dispatching the Taum
21 Sauk unit, did it not?

22 A That is correct, sir.

23 Q So what exactly -- what steps did you go through
24 to do that?

25 A When we had a start for Taum Sauk facility, one

1 of the generating units, being a large unit and come on
2 around 200 megawatts, I would usually start about 15, 20
3 minutes to the hour starting -- in my preparation for
4 starting the unit because, at that time, with MISO, we
5 would put in an offset to their system, which they saw as
6 a negative number -- say I'm bringing on 200 megawatts of
7 generation.

8 I would put in an offset in the MISO system of a
9 negative 200 so that -- to time -- to correspond in time
10 at the same time my 200 megawatts came on, that 200
11 negative I put into their system came into play and kept
12 my ACE from going haywire.

13 Q Okay.

14 A So I would start about 20 minutes till. I would
15 call MISO and let them know that I was putting in this
16 negative number.

17 Q How actually did you put it in?

18 A Through the computer.

19 Q Okay.

20 A Into MISO system. We have a page where we can
21 go in and put in an offset to their system. And it goes
22 into their calculator, which is calculating the generation
23 for their footprint. Has nothing to do with -- the -- the
24 plant has nothing to do with -- with actual megawatts
25 generated. It's just to protect my ACE from being knocked

1 off by 200 megawatts at one time.

2 Q When you say ACE, what --

3 A My area, control area.

4 Q Okay.

5 A We're required to maintain certain parameters.

6 And if I wouldn't do this, I wouldn't be able to maintain
7 those parameters.

8 Q Now, in December 2005, were you part of the MISO
9 system at that time?

10 A Yes, sir, we were.

11 Q Now, you understand what the term "native load"
12 means?

13 A Yes, sir.

14 Q And when you were working at that time on the
15 regulated side, you were primarily concerned with
16 AmerenUE's native load; is that correct?

17 A Well, sir, I was in the MISO grid, the MISO
18 footprint. And my instructions for generation came from
19 MISO. Now, they included our native load into that, but I
20 was given dispatch signals by MISO in control of those.

21 Q Okay. So, effectively, MISO was controlling
22 AmerenUE's generation?

23 A Yes, sir.

24 Q Okay. And part of that generation was serving
25 UE's native load; is that correct?

1 A I assume so, sir.

2 Q Okay. As far as you know?

3 A As far as I know.

4 Q And as far as you know, some other part of that
5 was -- was being used elsewhere?

6 A That is a possibility.

7 Q Okay. Now, at the -- in December of 2005, UE
8 was subject to a Joint Dispatch Agreement, was it not?

9 A Yes, sir, it was.

10 Q And did that have any effect on the way you
11 dispatched power?

12 A No, sir.

13 Q So how would you receive instructions from MISO?

14 A In the afternoons, anywhere from 3:30 till five
15 in the afternoon, we receive what we call day ahead awards
16 from MISO. And those day ahead awards tell us which units
17 they want us to continue operating the next 24 hours.

18 They tell us which units they want us to stop.
19 They tell us which units they want us to stop. They give
20 us a time schedule of starting a particular unit at this
21 time or shut this one down at this time.

22 And we also get what we call -- the day ahead
23 award also has the megawatt loading for the unit for the
24 day ahead award and the pricing per hour.

25 Q And would those day ahead instructions from

1 MISO, would they include the Taum Sauk facility?

2 A Yes, sir, they do.

3 Q So if the facility was operated at that time, it

4 was because of instructions from MISO?

5 A In most cases.

6 Q Was it sometimes operated where there were no

7 instructions from MISO?

8 A Yes, it was.

9 Q And what would those circumstances be?

10 A Well, sir, if our marketers determined that

11 there was a need for the units at a particular time, we

12 have put them on ourself as price takers in the market.

13 Q Now, you were operating, were you not, on the

14 night of December 14th, 2005?

15 A Yes, sir.

16 Q Or dispatching?

17 A Yes, sir.

18 Q Okay. And that's the -- the night when the

19 breach at Taum Sauk occurred; isn't that correct?

20 A Yes, sir.

21 Q And were you aware of anything unusual in your

22 dispatching function?

23 A No, sir.

24 Q So you didn't see anything on any gauges or any

25 reports that suggested that anything unusual was

1 occurring?

2 A No, sir.

3 Q Okay. Now, in the course of your dispatching
4 work, would you be actually aware of the level of the
5 water in the upper reservoir at Taum Sauk?

6 A At all times, sir.

7 Q Okay. And you had a gauge or meter that told
8 you that?

9 A I had a 3 foot by 5 foot plasma screen just to
10 my left about 8 feet from me that had the levels of the
11 upper reservoir, the lower reservoir and the graph of the
12 levels.

13 Q Okay. And at that time, would you agree with me
14 that the operating level was 1594?

15 A Yes, sir.

16 Q And that was a reduction of 2 feet from the
17 previous operating level; isn't that correct?

18 A That's correct, sir.

19 Q And if you remember, how long had that 2 foot
20 reduction been in effect?

21 A It started in October.

22 Q In October?

23 A Yes, sir.

24 Q And how was that communicated to you?

25 A Through an e-mail.

1 Q Through an e-mail. Do you remember who it was
2 from?

3 A The e-mail was forwarded to me from Steve --
4 Steve Schoolcraft, our Generation Coordinator.

5 Q Was he your supervisor?

6 A No, sir.

7 Q Who was your supervisor?

8 A Tim Lafser.

9 Q Now, when you gave instructions to the Taum Sauk
10 plant, you actually would communicate with someone at the
11 Osage plant; isn't that correct?

12 A That is correct, sir.

13 Q And the plant was operated from Osage?

14 A Yes, sir.

15 Q So would you do that by telephone call or --

16 A Yes, sir. Telephone.

17 Q Okay. I think you told us you would -- you
18 would prepare to operate the Taum Sauk plant about 20
19 minutes in advance. You would put a negative 200
20 megawatts into the MISO system, correct?

21 A That is correct, sir.

22 Q And then what did you do next?

23 A Okay. It takes -- once I put the negative
24 number in to MISO, it takes about 12 minutes for that to
25 become active. I would time that in about -- let's say I

1 needed the unit at 7:00. I would start like 20 till. And
2 I would put in my -- my negative number. I'd notify MISO.

3 And then about five minutes before the hour, I
4 would call the operator at Osage to start the unit. His
5 unit would start up just as if -- if everything timed out
6 correctly just as the negative number hit the MISO system.
7 And the 200 negative output and the 200 plus coming into
8 system just canceled each other out.

9 Q And did everything time correctly most of the
10 time?

11 A Most of the time, sir.

12 Q There were two units at Taum Sauk; is that
13 correct?

14 A That's correct, sir.

15 Q And as I understand, the first unit would
16 typically be stopped at 1592. Is that your memory?

17 A That is correct, sir. That is its upper level
18 cut-off.

19 Q And then the second unit, after October 2005,
20 would be stopped at 1594; is that correct?

21 A That is correct, sir.

22 Q Now, on the night of December 14th, 2005, in
23 fact, you stopped the second unit a little early; isn't
24 that correct?

25 A That is correct.

1 Q Do you remember the level you stopped it at?

2 A On the gauge, when I -- when it stopped, I was
3 showing like 1593.9. And then it settled to about 1593.6.

4 Q And that -- that settling was due to turbulence
5 from the pumps; is that correct?

6 A I believe that's what's causing it.

7 Q Okay. And why did you stop it early that night?

8 A There was a generation scheduled for, I believe,
9 6:00 that morning. It takes 20, 30 minutes to turn around
10 from a pumping mode to a generation mode.

11 I wanted to be sure and allow my relief enough
12 time that -- that preparations could be made to switch
13 from a pumping mode to a generation mode.

14 Q Okay. And you would overlap with your relief
15 for a certain period of time?

16 A Yes, sir.

17 Q How long, typically?

18 A I've -- I've done it in five, ten minutes.
19 Sometimes it's taken a half-hour, 45 minutes. It varies,
20 sir.

21 Q Okay. And you would just fill them in, him or
22 her in on what was going on?

23 A That is correct.

24 Q What about outages? Did you have anything to do
25 with scheduling outages?

1 A No, sir. I did not schedule outages.

2 Q So if an outage was scheduled, how would you
3 learn of it?

4 A The Generation Coordinator sends out a notice
5 for us each day -- well, excuse me. Let me rephrase that.
6 We have an outage scheduling program of which the
7 Generation Coordinator puts that data into the system.

8 And we pull it up every shift and look at the
9 outages that are scheduled for that day or that night. Or
10 we can look 30 days ahead or -- some of them are in there
11 a years or two, I guess.

12 Q Okay. Now, you were also dispatching, were you
13 not, in September of 2005, when an overtopping occurred at
14 Taum Sauk?

15 A That is correct, sir.

16 Q And tell us about that.

17 A Well, at the dispatch center, we received a call
18 from Taum Sauk that high winds in the area were causing
19 waves in the upper reservoir, and it was overlapping and
20 requested that we pull the level down a couple of feet.

21 We started up one of the generating units. I do
22 not recall how far down we pulled it. But we generated
23 for a little while and pulled a couple of feet out of the
24 upper reservoir. And that was all the situation.

25 Q Now, did you have to coordinate that with MISO?

1 A I did call MISO and tell them I was starting the
2 unit because it was 200 megawatts going into the system.

3 So, yes, sir, I did tell MISO I was starting the unit.

4 Q But you were able to start it quickly after the
5 request?

6 A Yes, sir.

7 Q Do you know how long?

8 A No, sir, not without going back and looking at
9 the chart. I always logged the start and stop times in
10 the operator log book or dispatcher's log. But I don't
11 remember exactly.

12 Q And so there is a record of that somewhere at
13 Ameren?

14 A Yes, sir, there is.

15 Q Okay. Do you know if those records are
16 maintained?

17 A Yes, sir.

18 Q Okay. Do you remember being interviewed by the
19 Missouri Highway Patrol?

20 A Yes, sir.

21 Q And I think you were interviewed the first time
22 on January 9th, 2006?

23 A Yes, sir.

24 Q Have you had an opportunity to review the
25 Highway Patrol notes of that interview?

1 A Yes, sir.

2 Q Have you reviewed it fairly recently?

3 A Yes, sir.

4 Q Do you have any changes you'd like to make?

5 A No, sir.

6 MR. THOMPSON: Okay. If I may approach, your

7 Honor.

8 JUDGE DALE: Yes, you may.

9 Q (By Mr. Thompson) I'm going to hand you a copy

10 of the Highway Patrol notes of that first interview. And

11 I have redacted from there your birthdate, home address

12 and telephone number, and I have no idea what exhibit

13 number we're on.

14 MS. PAKE: 45.

15 MR. THOMPSON: 45?

16 JUDGE DALE: Yes. That should be marked as

17 Exhibit 45. And, also, let me take a moment to say that

18 all of the exhibits from the previous portions of the

19 hearing are not available as they have been taken to the

20 Data Center to be entered into EFIS.

21 MR. THOMPSON: I think they are actually in EFIS

22 already, your Honor.

23 JUDGE DALE: Okay.

24 Q (By Mr. Thompson) Based on your review of the

25 notes of this interview, do you agree that the statements

1 here are true and correct to the best of your knowledge
2 and belief?

3 A I do, sir.

4 MR. THOMPSON: Okay. I would move that Exhibit
5 45 be received.

6 JUDGE DALE: Are there any objections?

7 MR. BYRNE: The -- the same continuing objection
8 we've had, your Honor. Hearsay, not a complete
9 transcript.

10 JUDGE DALE: Subject to that objection, it will
11 be admitted into evidence.

12 (Exhibit No. 45 was offered and admitted into
13 evidence.)

14 Q (By Mr. Thompson) And you were interviewed
15 again on January 19th, 2006; isn't that correct?

16 A That is correct, sir.

17 Q And do you remember that interview?

18 A Yes, sir, I do.

19 Q Have you had a chance to look over the notes of
20 that interview?

21 A Yes, sir.

22 Q Do you have any changes you'd like to make?

23 A No, sir.

24 Q Let me hand you a copy of that. Sorry about
25 that. This is 45.

1 MR. THOMPSON: And this would be Exhibit 46, I
2 assume?

3 JUDGE DALE: Yes.

4 Q (By Mr. Thompson) So based on your review of
5 that interview, would you agree that the contents of that
6 transcription or those notes are true and correct to the
7 best of your knowledge and belief?

8 A Yes, sir.

9 MR. THOMPSON: I move the admission of Exhibit
10 46.

11 MR. BYRNE: Subject to the same continuing
12 objection.

13 JUDGE DALE: Thanks. Then subject to that
14 objection, it will be admitted into evidence.

15 (Exhibit No. 46 was offered and admitted into
16 evidence)

17 MR. THOMPSON: Thank you, your Honor. I have no
18 further questions.

19 JUDGE DALE: Mr. Mills?

20 MR. MILLS: Just a few, your Honor. Thanks.

21 CROSS-EXAMINATION

22 BY MR. MILLS:

23 Q Mr. Bolding, my name is Lewis Mills. I'm the
24 Public Counsel from the Public Counsel's office. I just
25 have some general questions and then maybe some more

1 specific questions after that.

2 You -- you testified earlier that you've got a
3 large plasma screen that displays information from Taum
4 Sauk; is that correct?

5 A That is correct.

6 Q Is -- is it user selectable so that you can
7 decide what sort of information you want to -- to display
8 on that screen from Taum Sauk?

9 A No, sir.

10 Q Okay. So it's always the same information?

11 A Yes, sir.

12 Q And the only information that you see is the
13 level of the upper reservoir or the level of the lower
14 reservoir; is that correct?

15 A Yes, sir.

16 Q Is there any sort of a graph that shows the --
17 the -- the rate of fill or the rate of emptying?

18 A There's a graph that shows the filling -- as
19 you're filling the upper level, you see the graph going up
20 and the lower reservoir going down, and, vice versa,
21 generating.

22 Q Sort of a sloping line, one going up, one going
23 down?

24 A That is correct, sir.

25 Q And is that information captured at any

1 particular time, or is it displayed on the screen and then
2 gone forever?

3 A I can -- whenever I start or stop Taum Sauk, I
4 always record in the dispatcher's log the level -- the
5 time and the level. When I start it, I record the level
6 of the upper reservoir. When I stop a pump, I record the
7 level of the upper reservoir.

8 Q Okay. Now, how do you record that? Is that a
9 handwritten note?

10 A Electronic log.

11 Q Okay. So you type it in, and it's a note that's
12 electronically typed in and kept that way?

13 A That's correct. It's dated and timed.

14 Q So it's not captured directly from the screen.
15 You -- you -- you transfer the information from the screen
16 and you type it in somewhere else?

17 A That is correct, sir.

18 Q Now, on the -- the sloping lines that show the
19 fill rate or the empty rate, are those always nice, smooth
20 curves? Are they ever jagged?

21 A Always been nice, slow --

22 Q You've never seen any irregularities on those?

23 A No, sir. You could lay a ruler on it and have a
24 straight line.

25 Q And -- and how accurate -- how detailed is that

1 -- is that line? Does it -- does it show the rate of
2 movement by inches or yards or feet?

3 A We -- we see it -- it's measured in sea level,
4 feet above sea level.

5 Q Okay.

6 A And we see every tenth of a foot. I have a
7 display reading that may be like 1590.1, and then .2, .3
8 till --

9 Q Okay. And -- and does it ever jump around?
10 Does it always smoothly progress a tenth of a foot, a
11 tenth of a foot, a tenth of a foot and never drops back
12 down if there's waves or anything like that?

13 A The only time I've seen it drop back down is at
14 the end when we complete pumping. And like I said, it
15 will usually settle a couple of inches -- excuse me -- a
16 couple tenths of an inch.

17 Q During the fill, it's always a steady regression
18 up. Never drops back at all?

19 A That's all I've ever seen, sir.

20 Q Now, have you -- have you ever been to Taum
21 Sauk?

22 A No, sir.

23 Q Okay. On what do you base your understanding
24 that the -- the -- the settling -- once the pump stops, do
25 you do a search or a -- that's due to the turbulence from

1 the pump itself?

2 A Well, we're putting a tremendous amount of water
3 in there at one time. And then you shut those pumps down,
4 so that's surely got to make a little wave in the -- in
5 the pond. That's just my assumption.

6 Q So you never actually observed that?

7 A No, sir.

8 Q Now, in -- in terms of the call that you got on
9 that night in September when -- or was it October when --
10 when the overtopping -- do you recall what the date of
11 that was?

12 A Around the 25th of September.

13 Q And -- and you took the call from -- from
14 someone at -- at the plant personally?

15 A No, sir. The Power Supply Supervisor received
16 the call.

17 Q Okay. And who was that?

18 A John Poyser (ph.).

19 Q Okay. Now, that -- that would be your
20 supervisor at that time?

21 A We worked -- we worked together on shift
22 dispatching the unit. I'm the Dispatcher. He's the Power
23 Supply Supervisor.

24 Q Okay. And would detail -- would that person
25 also keep a log?

1 A Yes, sir. They have a -- a log, also.

2 Q Okay. Do you know whether details of that call
3 were entered into his log?

4 A No, sir, I do not.

5 Q Okay. Did you enter details of that call into
6 your log?

7 A I cannot recall at this time.

8 Q Is that the sort of call that you would normally
9 log?

10 A Yes, sir. Without looking at the log, I can't
11 say, but when I -- when I logged the start times, I -- I
12 don't recall if I made an entry as to why I started or
13 not.

14 Q So your log wouldn't necessarily show the -- the
15 amount of time that lapsed from when the call came in to
16 when generation started?

17 A No, sir. My log would not show that.

18 Q Okay. Now, do you frequently get calls from
19 operators of plants that -- to tell you something's amiss
20 and you need to do something quickly to address it?

21 A Yes, sir.

22 Q And do you typically log those calls?

23 A Yes, sir.

24 Q And what level of detail did you put in your
25 log?

1 A Enough that someone looking at the log and not
2 familiar with -- with the particular incident would have a
3 general idea of what was going on.

4 Q Okay. So if you had logged the call from Taum
5 Sauk, it would say something about -- it wouldn't just
6 say, Call came in, started generation. It would say, Call
7 came in and said some detail about the overtopping?

8 A That is correct.

9 Q Now, on the -- December 14th, the night of
10 December 14th, you manually shut down Pump 2 just a few
11 inches before it would have automatically shut down, or
12 should have automatically shut down; is that correct?

13 A That is correct.

14 Q Had you ever done that before?

15 A I don't recall.

16 Q Okay. The -- on -- on the night of December
17 14th, if -- what height above sea level should
18 automatically shut down Pump 2?

19 A That's the second pump?

20 Q Right.

21 A At 1594.

22 Q And you manually shut it down at 1593.9?

23 A That is correct, sir.

24 Q And if you had ever done that before, done that
25 -- first of all, would your logs show that you manually

1 shut it off at that point?

2 A I don't think so. It would have just shown a
3 stop time. I usually didn't note whether -- whether
4 automatic shut down or the operator at Osage shut it down.
5 Just stop time and level at the reservoir.

6 Q Okay. On the night of December 14, did you shut
7 it down, or did you call Osage and have them shut it down?

8 A I do not have control. I have to call Osage to
9 start and stop the equipment.

10 Q Okay. So you called Osage at -- would your logs
11 show that call to Osage?

12 A No, sir, I don't believe it would show the call
13 to Osage.

14 Q Okay. So at some point, approximately five in
15 the morning, you called Osage and asked them to shut it
16 down?

17 A That is correct, sir.

18 Q And the -- the -- the Taum Sauk plant was
19 scheduled to begin generation at 6 a.m, approximately an
20 hour from that, correct?

21 A That is correct, sir.

22 Q Is that -- is that a typical start time for
23 Osage that time of year -- I mean, for Taum Sauk that time
24 of year?

25 A It was my first year at -- excuse me -- power

1 dispatching. So I'm not sure if this was a September,
2 October or December run or not.

3 Q During -- during that -- say, the first part of
4 December up until the 14th, had it -- had it typically run
5 beginning at 6 a.m.?

6 A I don't recall, sir.

7 Q But your logs would show if it had?

8 A Yes, it would.

9 Q Now, in -- in -- how long had you been a
10 Dispatcher?

11 A I started in April of 2005.

12 Q And what were you -- were you with Ameren before
13 that?

14 A Yes, sir.

15 Q And what was your job duties then?

16 A Shift Supervisor at Rush Island, Rush Island
17 power plant.

18 Q Okay. And what were your duties there?

19 A On a 12-hour, rotating shift, I was in charge of
20 the safe, efficient operation of the plant and personnel.

21 Q So, really, more of the operating side rather
22 than dispatching?

23 A That is correct, sir.

24 MR. MILLS: I think that's all I have. Thank
25 you.

1 JUDGE DALE: DNR?

2 CROSS-EXAMINATION

3 BY MR. SCHAEFER:

4 Q Mr. Bolding, I believe you stated that your
5 normal shift end at about 5:00 in the morning?

6 A A little after five. Maybe, you know, 5:20.
7 Depends -- we relieve each other starting anywhere from
8 5:10 or 15 after.

9 Q Okay. And approximately what time did you
10 actually leave work on the morning of December 14th, 2005?

11 A I think around 20, 25 after.

12 Q After five?

13 A After five. Yes, sir.

14 Q Okay. When would have been the last time before
15 you left that morning that you actually looked at the
16 plasma screen that showed you information on the upper
17 reservoir?

18 A When my relief came in and we were discussing
19 shift turnover. Excuse me. Because I just told him I
20 just shut down the second Taum Sauk pump, that he had a
21 generation at 6:00.

22 We looked at -- excuse me. We looked at the
23 plasma screen at the level, and he commented at that time
24 that -- that I shorted him a little bit, didn't give him a
25 full pond because it was not to the 1594 normal level. It

1 was about -- well, it was -- it was 1593.6.

2 Q Okay. So approximately what time was that that
3 you and he looked at that screen?

4 A Approximately ten after five.

5 Q So when you actually left work, then, Pump 2 had
6 shut off, correct?

7 A That is correct, sir.

8 Q At the time that you actually shut off the first
9 pump that you shut off that morning, what time was that?

10 A I don't recall at this time, sir.

11 Q Okay. When you shut that pump off, were you
12 looking at the information on the screen?

13 A Yes, sir.

14 Q Was the water level still rising or was it
15 plained off at that point?

16 A Still rising.

17 Q When you turned off the second pump that
18 morning, were you looking at the information on the plasma
19 screen?

20 A Yes, sir.

21 Q And when you turned o the second pump, was the
22 information showing the water level still rising, or it
23 was plained off at that point?

24 A Still rising.

25 Q Are you familiar with the FERC Independent Panel

1 of Consultants that did an investigation into -- partial
2 investigation into why the breach occurred?

3 A Yes, sir.

4 Q Have you seen the report?

5 A Yes, sir.

6 Q Are you aware that they concluded that shortly
7 after you started the second -- the start sequence for the
8 second pump there was approximately a 12-minute period
9 where the water level was filling in the reservoir in the
10 same rate approximately that it was filling?

11 A Would you --

12 Q Let me -- let me restate the question. I got
13 that backwards. Are you aware that shortly after you
14 finished the start sequence, at least according to the
15 FERC Independent Panel, that the water was pumping in from
16 both pumps and, also, the gauges were showing that there
17 was no increase in the reservoir occurring? Are you aware
18 of that?

19 A No, sir.

20 Q You're not aware of that?

21 A No, sir.

22 Q When you were watching those gauges -- first of
23 all, let me ask you this: At the time that you finished
24 the completion of the start-up process for the second pump
25 that morning, were you watching the information on the

1 plasma screen?

2 A I occasionally glance at it. Not just focused
3 entirely on that.

4 Q Okay. And let me -- let me re-ask the question.
5 Are you aware that FERC determined that there was a
6 12-minute period when, if you would have been watching
7 that screen, you would have seen no increase in the rise
8 of the level in the reservoir even though both pumps were
9 on?

10 A I'm not aware of that much.

11 Q Okay. Is that possible?

12 A I don't know, sir.

13 Q Okay. But you don't recall ever seeing a period
14 where the gauges weren't showing an appropriate rise in
15 level with both pumps being on?

16 A No, sir, I don't.

17 Q Are you aware -- are you aware that according to
18 the FERC Independent Panel conclusion that the reservoir
19 was actually overtopping before -- for some period before
20 you turned off the final pump that morning on December
21 14th?

22 A That is my understanding.

23 Q Did you see anything on those gauges that you
24 were watching or you were supposed to be watching that
25 indicated that the reservoir was overtopping?

1 A No, sir.

2 Q Have you ever operated the upper reservoir in a
3 fashion where you turn off the final pump during the
4 pump-back sequence based upon your seeing the information
5 on the screen showing the rise level plain off?

6 A I have never seen -- to answer your question,
7 no, I've never seen the level plain off during filling
8 other than when I stop the pump.

9 Q I think you stated on September 25th when the
10 reservoir was overtopping that you had gotten a call from
11 somebody saying water is coming over the top; is that
12 correct?

13 A We received a call at the Dispatch Center that
14 wind was causing waves -- high winds in the area were
15 causing waves in the reservoir and tat it was splashing
16 over.

17 Q Okay. But regardless of why water may have been
18 coming over, you received a call on September 25th that
19 water was coming over the top, correct?

20 A Correct.

21 Q Do you have any personal knowledge that water
22 was coming over because of wind -- because of wind action?

23 A Only what we were told by the plant.

24 Q Somebody told you. But you don't know that
25 yourself, do you?

1 A No.

2 Q Okay. And who actually called you from the
3 plant?

4 A I don't recall, sir.

5 Q Would you have a record or log showing who
6 called you?

7 A There's a voice recording.

8 Q Okay. When was the last time you listened to
9 that voice recording?

10 A Right after my first interview with the Highway
11 Patrol.

12 Q Do you speak to people at the plant -- did you
13 speak to people at the plant on a fairly frequent basis?

14 A In all the plants or one specific --

15 Q No. In Taum Sauk. In Taum Sauk.

16 A I rarely talk to Taum Sauk.

17 Q So even after listening to the -- to the
18 recording of the phone conversation, you didn't recognize
19 whose voice that was?

20 A I don't recall, sir.

21 Q You don't know whose voice it was, or you don't
22 recall --

23 A I don't recall who it was.

24 Q Okay. Even after listening to the voice
25 recording?

1 MR. BYRNE: I'm going to object. The question's
2 been asked and answered.

3 JUDGE DALE: Sustained. It's been asked and
4 answered at least twice.

5 Q (By Mr. Schaefer) Mr. Bolding, are you aware of
6 the -- the devices that are used to measure the water
7 level in the upper reservoir, the actual pressure
8 transducers themselves? Are you aware of that system?

9 A I'm aware of that system, yes, sir.

10 Q Do you know how that system works?

11 A Not entirely, sir.

12 Q Okay. But you became aware at some point, I
13 believe in October, was it, that the pressure transducers
14 were malfunctioning at the upper reservoir?

15 A I became aware in October that the level
16 indicator stabilizer bracket -- that the tube come loose
17 from one of the brackets. Now, that's what I was aware
18 of.

19 Q Okay. What was your understanding what that
20 meant for the information that you were seeing on the
21 screen that you were monitoring?

22 A It meant that there might be a slight error in
23 the level indications.

24 Q Okay. You say slight. What is the basis for
25 you using the term there might be a "slight" difference?

1 A Well, I was -- at that time, it was unknown to
2 me how far error there was.

3 Q Okay. But you knew that there was some error in
4 the information that you were seeing on the -- on the
5 monitor that you were watching, correct?

6 A Only from the e-mail.

7 Q That would be from the October e-mail?

8 A Yes, sir.

9 Q What did you do, if anything, to satisfy
10 yourself that the information that you were looking at on
11 that screen was reasonably reliable enough for you to do
12 your job?

13 A I was comfortable with our level because we
14 dropped it 2 feet to give us a cushion, coupled with the
15 fact that knowing that there were people at the plant that
16 monitored the level there and if there were any various or
17 deviations in the level that they would notify us.

18 Q Was there some protocol that you were aware of
19 that would cause them to notify you of that if that were
20 the case?

21 A Well, they had called us once before when the
22 wind was -- was lapping the waves over. So they would
23 call us if water were running over and they observed it.

24 Q Now, you had no -- you had no knowledge, did
25 you, how far or how much in error those sensors may be,

1 did you?

2 A No.

3 Q What did you do, if anything, to satisfy
4 yourself that this 2-foot cushion was enough to compensate
5 for the problem of those transducers?

6 A As I said, I felt comfortable in our routine of
7 filling and lowering the level and not getting any calls
8 that water was coming over that it was well within the
9 boundaries.

10 Q Okay. But did you -- did you look at -- at how
11 that 2-foot cushion was arrived at?

12 A No, sir.

13 Q And you did get a call at least on the 25th of
14 September that water was coming over, correct?

15 A Yes.

16 Q Did you ever get any other calls, other than
17 that September 25th call, that there was water coming over
18 the top?

19 A No, sir.

20 Q Were you aware of the -- of the devices that
21 were used as the safety shut-offs on the upper reservoir?
22 They've been referred to as warrick probes.

23 A No, sir.

24 Q Do you -- were you aware that there actually was
25 a safety -- or there was supposed to be a safety shut-off

1 system to the upper reservoir?

2 A Yes, sir.

3 Q What was your understanding of what that was?

4 A Just that there were upper probes that would
5 shut off the pump before an overflow.

6 Q In operating the system as you did, knowing that
7 there was an error in the readings from the pressure
8 transducers, were you relying on the fact that there was
9 supposed to be a safety shut-off on the upper reservoir?

10 A Would you repeat that, please?

11 Q Yeah. In your operation of the upper reservoir,
12 knowing that there was an error in the information you
13 were seeing on your screen from the pressure transducers
14 -- and that is correct, right?

15 A That is correct.

16 Q And you're operating under those conditions.
17 Did you, in part, rely on the fact that you thought there
18 was a safety shut-off on the upper reservoir?

19 A I'm not sure what you're looking for here. Did
20 -- did I --

21 Q Let me -- I'm sorry. It's a bad question from
22 me, and I'll restate it. You've already said you
23 continued to operate the system. You knew that there was
24 an error in the information you were getting, correct?

25 A Correct.

1 Q And I'm just trying to ask you, were -- in your
2 decision to keep operating under those conditions, did you
3 in -- was part of your consideration to keep operating
4 that you knew that there was a safety shut-off on the
5 upper reservoir in case the error was greater that you
6 thought it might be in the information?

7 A In my day-to-day operations, I never thought
8 about those upper probes. I always controlled it below
9 those. I mean, I knew they were there and they would stop
10 it in case of an overfill, but I did not rely on those.

11 I did not let it get to those points. So they
12 -- they never really came into my determination and my
13 operation as to like, I don't have to worry about it, I've
14 got back-up trips.

15 Q How did you know that they would be there to
16 shut the system off if there were an overfill?

17 A Well, I knew they were there, sir. I had no
18 knowledge whether they would function or not, but I knew
19 that they were there.

20 Q Okay. Do you know now that they did not
21 function?

22 A Yes, sir.

23 Q So when you were operating the facility before
24 the failure on December 14th, did you know what level
25 those probes were set at in order to work properly?

1 A No, sir.

2 Q Were you aware that there was fluctuation in the
3 wall height on the top of the parapet wall around the
4 upper reservoir?

5 A No, sir.

6 Q Was there any procedure or protocol that you
7 were supposed to follow when you were refilling the upper
8 reservoir as to -- as to what information you were to
9 monitor while the refill was taking place?

10 A I can't think of a written protocol, sir.

11 Q Okay. And so you already said that you had this
12 plasma monitor and the reservoir levels and some other
13 things, correct?

14 A That's correct, sir.

15 Q What I'm trying to get at here is, did you --
16 did you look at that information just as much as you
17 thought you needed to, or was there some requirement that
18 you watched that information constantly while that refill
19 was taking place?

20 A There's nothing that states that I have to watch
21 it constantly. It's there. It's a visual indication.
22 It's in front of me. I'm aware of what's going on. We
23 used a timer, kind of like a -- you know, a baking timer
24 that we would set because we knew how fast the reservoir
25 would rise with one pump or two pumps.

1 We'd set the timer well ahead of that to be sure
2 that we had time to -- to make our all set to shut down
3 the pumps. It's -- excuse me. It's a large plasma screen
4 there practically in front of me that I'm constantly
5 looking it, and I'm constantly monitoring it, but I'm not
6 standing there the entire time I'm doing it.

7 Q Let me ask you this: The information that you
8 see on that screen, it shows -- does it show in graph form
9 the level of the reservoir as the water is being pumped
10 in?

11 A That is correct, sir.

12 Q Does it also have on that graph a time indicator
13 to show what time it is?

14 A I believe so, sir.

15 Q Okay. If that's the case, why did you have to
16 use a baking timer?

17 A To -- as I said earlier, sir, to put in our
18 offset, we had to time it about 20 minutes ahead of time.
19 It was just to ensure. And I've used this as just kind of
20 a back-up for me because there was other responsibilities
21 I had besides filling the Taum Sauk reservoir, and I
22 didn't want to forget about it. So it was just a reminder
23 for me.

24 Q So you didn't feel comfortable relying on the
25 information alone that you were seeing on the monitor in

1 front of you?

2 A I was concerned -- I was concerned I might get
3 busy doing other things and miss my 20 minutes in advance
4 to notify MISO, to put in my offset for MISO.

5 Q But wasn't there an alarm system on the -- on
6 the information you were getting on the monitor that if
7 you missed your time, it would have -- something would
8 have gone off to tell you that it's time to turn it off?

9 A No, sir. The pump just shuts down.

10 Q That is, if you watch the baking timer
11 correctly?

12 A No, sir.

13 MR. SCHAEFER: I don't have any further
14 questions.

15 JUDGE DALE: Thank you. Commissioner Gaw?

16 CROSS-EXAMINATION

17 BY COMMISSIONER GAW:

18 Q Good morning, Mr. Bolding.

19 A Good morning, sir.

20 Q Sorry. Over in this direction. Would you --
21 would you give me a short synopsis of what it is you do?

22 A Now or back at the time of the incident?

23 Q What do you do now?

24 A Today, I'm with Ameren Energy Marketing, Power
25 Trader Dispatcher. The only thing that changed in my job

1 since moving to Ameren Energy Marketing is now that I -- I
2 trained and do training as well as dispatching the units.

3 Q Okay. When did you -- when did you take that
4 position?

5 A December of last year.

6 Q And was that your -- your decision, or was it a
7 reorganization?

8 A It was my decision when the JDA was ending and
9 we were splitting. I made the decision to go with the
10 unregulated side.

11 Q Did you have a choice?

12 A Yes, sir. It was my choice. I requested it.

13 Q What was the other choice -- or what were the
14 other choices that you had?

15 A Oh, I could have stayed where I was with
16 AmerenUE.

17 Q Okay. And why did you -- why did you decide to
18 go with Ameren Energy Marketing?

19 A Because that -- at that time, I knew that on the
20 other side, Ameren Energy Marketing, I'd talked with the
21 supervisor over there and that things were going to be
22 different in the job.

23 I felt that I could help them with my experience
24 of operating those units because when we were under the
25 JDA, I dispatched all the units with AmerenUE.

1 The people that were presently on the Ameren
2 unregulated side had not dispatched some of the larger
3 coal-fired units. And I felt that I could help that group
4 by going over with there with my expertise from
5 dispatching units in the past.

6 I knew the responsibilities would be somewhat
7 different on the other side, and I looked forward to that
8 challenge and felt I could help Ameren.

9 Q Okay. So the -- the -- the work that you did
10 prior to the move included dispatch of which units within
11 AmerenUE?

12 A All of them.

13 Q All of them. Okay.

14 A Ex -- except when I was with AmerenUE,
15 dispatched all AmerenUE units except for the Silco -- the
16 Edwards unit, the Duck Creek unit.

17 Q Why would that be?

18 A They were under a separate control. They were
19 -- they were controlled by the Illinois side at that time.

20 Q Okay. And your -- your expertise that Ameren
21 Energy Marketing, as I understand you to say, did not have
22 -- why did they need it after the expiration of the JDA?

23 A They were going from dispatching four units to
24 dispatching maybe 20 units, quite a bit more dispatching.

25 Q What units were they dispatching?

1 A They were dispatching the Edwards and the Duck
2 Creek units.

3 Q And afterwards?

4 A Afterwards, they retained the Edwards and the
5 Duck Creek units, the two Coffine units, the two -- let's
6 see -- the two Newton units, the four units at Meramec,
7 some additional CTGs, the Grand Tower units.

8 Q Okay. What are the Grand Tower units?

9 A The Grand Towers are combined cycle combustion
10 gas turbines.

11 Q Okay. This is after you went to work for them?

12 A I'm sorry?

13 Q Is this after you went to work for them?

14 A Yes. I went over there in late December. And
15 at midnight, January 1st, the JDA ended, and those units
16 became Ameren Energy Marketing.

17 Q Okay. What coal units were you -- are you
18 dispatching currently?

19 A The Edwards unit.

20 Q All right. I don't know what all are the coal
21 units. You'll have to say that.

22 A Oh, okay. The Edwards unit, the Duck Creek,
23 Coffine, Newton. Maridocia has three coal-fired and one,
24 I believe, oil-fired.

25 Q Okay. All right. Now, you say you're also

1 doing trading now?

2 A Yes, sir.

3 Q What -- what are you doing in regard to trading?

4 A Well, we have the authority to buy and sell
5 power on our shift with -- with other utilities.

6 Q Okay. How do you do that?

7 A Well, sir, you have to work up a deal that both
8 parties agree to on buying and selling the power instead
9 of transmission to transmit the power from one entity to
10 other the other.

11 Q All right. Give me -- describe the transaction
12 for me without it being a specific transaction.

13 A We may get a call from NRG Energy that they need
14 50 megawatts for -- it's almost 10:00 now. They may need
15 it for 1:00 this afternoon. I'll get a call ahead of time
16 so we can get everything set up and approved because there
17 are deadline schedules.

18 So we'll agree on a price for this 50 megawatts
19 that I'm going to sell for Hour Ending 1, which would
20 start at noon. We would set up a transmission, both our
21 side to send it to them. They'd set up transmission to
22 receive it.

23 That's put into an Oasis tag which we send in
24 for submittal and has to be approved by both parties,
25 transmission providers, and MISO is ours.

1 Q Say that again, what you just said.

2 A It would have to be approved by the transmission
3 providers, both -- both parties, MISO being ours.

4 Q Okay.

5 A They would approve the tag. The counter party's
6 transmission people would see it and approve the tag. And
7 then with everything approved, then it's -- starting at
8 noon till 1:00 would be selling them 50 megawatts of power
9 at an agreed upon price.

10 Q Okay. Now, that sounds almost like a
11 transaction that might have occurred prior to the MISO Day
12 2 market.

13 A It still happens.

14 Q Those kind of transactions still go on, correct?

15 A Yes.

16 Q That is -- now, do you also deal with -- at all
17 with transactions that take place through the MISO Day 2
18 market?

19 A Yes, sir.

20 Q Okay. Describe how that is different.

21 A Well, that power is coming out of MISO. What I
22 just described, sir, is coming out of MISO 2 energy.

23 Q Right. But the specific -- but the specific
24 bilateral transaction, correct?

25 A Correct. Yeah.

1 Q I want to understand the difference between that
2 and the transaction that took place in regard to taking
3 the energy off the market itself. Is there a difference?

4 A I don't know, sir.

5 Q Do you deal with that?

6 A Very little.

7 Q All right. Now, that's fair. Now, when you get
8 to -- did you know how to deal with these trades prior to
9 going to Ameren Energy Market?

10 A No, sir.

11 Q Did you get training for that?

12 A Yes, sir.

13 Q What kind of training did you have?

14 A On-the-job trading with a trader.

15 Q How long did that last?

16 A Over about a six-month period.

17 Q Six months. And how much -- were there books or
18 other things for you to read or manuals or instructions?

19 A We've had some training on trading. There's the
20 risk management policy. And there are limitations on --
21 on how much we can trade and how we can trade and things
22 like that.

23 Q But are there -- are there training manuals or
24 other things that you were reading as part of your
25 training? Was there a -- a specific training program?

1 A No, sir.

2 Q Okay. So the trader that -- was there one

3 trader assigned to train you?

4 A The one I worked with on shift, yes, sir.

5 Q Okay. Did -- how did this training take place?

6 Describe it for me.

7 A Well, sir, over a six-month period --

8 Q Yes.

9 A -- it -- it happened on the job --

10 Q All right.

11 A -- as time permitted. If he was doing a trade,

12 we sat down -- I would move on over to his desk, and he

13 would go through the steps with me and requirements, show

14 how to set up the tags, how to set up the transmission,

15 how to set up the deals, how to enter the deals on the

16 blotter and design it, which is our trading tracking

17 system.

18 Q Okay. And in regard to that training that --

19 that you received, was -- did you have to pass any tests

20 or anything like that?

21 A No, sir.

22 Q All right. Were there any -- how did you know

23 when a trade was -- should be made? How did you know how

24 to price the electricity, for instance?

25 A You -- we have sheets that we look at and

1 programs set up that's showing us current prices and
2 predictive prices, hour by hour. It's just a best guess
3 when you're pricing. Sometimes you win. Sometimes you
4 lose.

5 Q Well, how do you know -- how do you know how to
6 judge, first of all, whether or not there would be a
7 profit in making the transaction?

8 A You don't, sir.

9 Q You don't know what -- you don't know if there's
10 a profit or not when you make a transaction?

11 A No, sir.

12 Q Why would you make it if there wasn't a profit?
13 Forgive my ignorance?

14 A Why would you make it when you don't know?

15 Q Yes.

16 A Because the information you have to go on, at
17 that time, you're not guaranteed if it's a profit.

18 Q I didn't ask you if you were guaranteed. I
19 asked you how do you determine whether to make a
20 transaction financial? What factors go into making that
21 decision?

22 A You looking at your five-minute power costs.
23 You're looking at --

24 Q Where are you seeing that?

25 A On the summary sheet that we have.

1 Q Where does that come --

2 A From MISO. We're getting a MISO five-minute
3 dispatch that gives the pricing.

4 Q That's a real-time price?

5 A That's real-time price.

6 Q Keep going. And --

7 A We're also looking at past data, was what was it
8 the same hour yesterday and the week before. We're
9 looking at the market, you know, did it shoot up sharply?
10 We look at MISO. We look at the ramp in and out of MISO
11 that can impact this.

12 We really don't -- they have a big impact on it.
13 You know, sometimes they're very small, and sometimes
14 they're large. And you don't know until they finally come
15 in whether you actually made money or not on the trade.

16 Q How do you gauge whether you made money or not?
17 How do you determine that after the fact?

18 A After the fact after all the charges are in.

19 Q How? Describe how you determine that after the
20 fact.

21 A Well, we run a P&L sheet. And we --

22 Q What's that mean?

23 A It's a pricing sheet that we list on there the
24 amount of megawatts we sold, the class we sold them at.
25 And then we can come back later and within that hour, we

1 put in the actual cost for that hour, and then we get the
2 RSD charges for MISO, and put them in. And, bam, then you
3 know if you made a profit or not.

4 Q What are you comparing -- what -- when you're
5 looking at your gross sales, what do you subtract off to
6 determine what your profit margin was? You described a
7 few things. You said RSD charges. What else?

8 A The cost of the energy for that hour.

9 Q The cost of the energy for that hour. How do
10 you determine that?

11 A By MISO pricing.

12 Q Is your objective to try to beat the -- the MISO
13 price at a particular node?

14 A Yes, sir.

15 Q Okay. I'm starting to get a little better
16 understanding, then. So you're not necessarily concerned,
17 or are you concerned, with the incremental cost or some
18 percentage of -- of fixed costs plus incremental costs of
19 running your units?

20 A Yes, sir. I'm concerned with that.

21 Q How does that fit into your analysis in regard
22 to whether or not you made a profit?

23 A Well, we always -- well, would you repeat the
24 question, please?

25 Q I can try.

1 A Okay.

2 Q I'm trying to understand how the -- the cost of
3 running the generation unit from which you're making the
4 sale, how that factors in to determining whether you've
5 made a profit or not.

6 A Particularly, which unit I'm running does not
7 factor in to me. It's the price of the MISO grid at the
8 time.

9 Q Well, okay, let's -- I think I'm following you,
10 but I -- I want to make sure. Your concern, then, is
11 beating that MISO market price with this bilateral
12 transaction price. Am I following that? Is that -- is
13 that your basic analysis when you're deciding when to make
14 a trade?

15 A Yes.

16 Q So you're trying to get a better price than what
17 the MISO set price was for that node for that period of
18 time?

19 A Yes, sir.

20 Q Is it your assumption that that price is going
21 to cover the incremental price of running that particular
22 generation unit that you're selling from?

23 A Yes, sir.

24 Q Why do you make that assumption?

25 A Well, I'm hoping to -- to beat the MISO node to

1 make a profit.

2 Q Let me make this clearer. Let's -- let's assume
3 we've got a gas peaking unit, but your MISO node price for
4 that unit is less than it costs to run that peaking unit
5 at the time plant. Would you make that transaction if you
6 thought you could get a little bit more than the MISO
7 price, but it still wouldn't cover the cost of running the
8 unit?

9 A I'm not basing any sales on that particular
10 high-priced -- that particular high-priced unit, sir.

11 Q Are you making a sale from a particular unit
12 when you make it?

13 A I'm making it from the MISO footprint.

14 Q And from your generation mix?

15 A From MISO.

16 Q Are you making a sale from a particular unit, or
17 are you making it from the units that are already running
18 that you have running in the MISO market? Or is it
19 related at all to your units?

20 A It's really -- it's really not related
21 specifically to my units. I'm buying the power out of the
22 MISO grid for whatever it settles at.

23 Q Okay. How, if at all, then, does that relate to
24 the dispatch of your units that you have control over?

25 A It doesn't.

1 Q It doesn't. Okay. All right. Now, from that
2 standpoint, when do you do your dispatch work now?

3 A Continuously. I mean, I'm continuously
4 dispatching -- my main priority is dispatching.

5 Q And then secondarily, you're doing some trading?

6 A If I have an opportunity. If I do, my primary
7 function is dispatching.

8 Q Okay. As a dispatcher, are you -- are you
9 monitoring all of the units while you're on duty?

10 A Yes, sir.

11 Q And while you're doing that, you have some free
12 time, you may be able to do some trading?

13 A Possibly.

14 Q Okay. Now, how similar is what you're doing now
15 in regard to dispatch to what you were doing prior to UE?

16 A When I was with UE, my function was dispatching.

17 Q I -- I -- I understand that. But in regard to
18 the amount that the -- the work load and what you have to
19 do to watch -- the units that you're dispatching, how much
20 difference is there?

21 A Very little.

22 Q Very little. Okay. Well, you -- you seem to
23 have more time currently to not be watching the units that
24 you're dispatching. Is that a bad assumption?

25 A That's a very bad assumption.

1 Q All right. Now, explain why.

2 A Because I have a -- a monitor right here. I --
3 it's virtually right here with the unit generation on it.

4 Q All right.

5 A Okay? Right beside it, I have another screen
6 that gives me the MISO five-minute dispatch that shows me
7 where the unit is supposed to be.

8 Q Okay.

9 A It's right here. It's never out of my face.
10 I'm constantly looking at that, constantly looking at the
11 unit, dispatching where it's supposed to be. I'm
12 constantly looking at the units where they should be in
13 relation to -- where they are in relation to where they
14 should be. Any discrepancies, I'm calling the plant to
15 find out why.

16 Q Okay.

17 A Then I'm relaying that information to MISO.

18 Q All right.

19 A I -- I'm not sure where you draw the assumption
20 that I have less time to dispatch the units.

21 Q Okay. So you would say that the amount of
22 attention that you pay currently to the dispatch of those
23 units is at -- is at least an equal level to what you were
24 doing prior to go AEM?

25 A That's correct.

1 Q Were you doing anything other than -- than
2 watching -- and dealing with the dispatch at the time
3 prior to going to AEM while you were with UE?

4 A No, sir. I was dispatching.

5 Q All right. So when you're doing trading
6 currently, does someone else watch the screens for you
7 while you're doing the trading?

8 A No, sir.

9 Q Can you watch the screens and do the trading at
10 the same time?

11 A Yes, sir.

12 Q Okay. What -- what else were you doing --
13 you've already answered that question. How do you -- how
14 do you -- describe for me what you would be doing while
15 you were with UE in dispatching units. Describe what
16 occurred there from your standpoint.

17 A Okay. I'm monitoring the generation of the
18 unit. I'm monitoring the five-minute MISO dispatches.
19 I'm ensuring that our units are within their tolerance
20 range for their dispatch points.

21 If they're not on their -- or within their range
22 or if they've having a problem, I contact the plant to
23 find out why they're not reaching the desired generation
24 or why they can't maintain the desired generation or why
25 they're generating more than the desired generation.

1 I take that information. I then talk to MISO.
2 If necessary, I can get some -- some -- I call them
3 Band-Aids from MISO. There's legitimate reasons sometimes
4 why the units aren't on their designated dispatch. I'll
5 discuss that with MISO. And they'll sometimes give me
6 deviation exemptions as to why the unit is not where it's
7 -- dispatch is requesting it to be.

8 I talk with the shift supervisors at the plants
9 about problems they're having about upcoming D rates,
10 outages. I talk to the operators about the D rates and
11 outages.

12 Q What is a D rate, for the record?

13 A A D rate, we've got a unit that maybe, you know,
14 once a week they want to come down and back wash the
15 condenser. So we consider that a D rate. They need to
16 lower the generation on the unit from full load maybe to
17 half load or for an hour or so to accomplish this. And we
18 refer to those as D rates.

19 Q Okay. Keep going. I'm sorry. I interrupted
20 you.

21 A Okay. I coordinate those with the plants. I'm
22 also reviewing the data that goes in for the day ahead
23 market. The Generation Coordinator establishes that. Oh,
24 wait a minute. I'm sorry. You wanted the UE side.

25 Q Yes. On the UE now.

1 A Dispatching units, I have on occasion helped the
2 Power Supply Supervisor. If he's on the line and a call
3 comes in, I'll take the call for him. I take a message.
4 Sometimes I can help them with what they need.

5 Q Who is that, by the way?

6 A On my shift?

7 Q Yes.

8 A At that time, it was Darin Ferguson.

9 Q All right. Now, how -- okay. Keep going. Did
10 you have anything else?

11 A No, sir. That's pretty much it.

12 Q Okay. Now, while you -- how many minutes would
13 you be watching this while you were on shift?

14 A Well, I haven't counted them. But there's --

15 Q Okay. Again, UE is what I'm asking about.

16 A Yeah. Well, the -- see, the -- the two Rush
17 Island plants, the four Labadie units, the -- Meramec,
18 four units. The Sioux units. Let's see. The Newton
19 units. The Coffine units. They're not -- they're not
20 coal-fired.

21 Q It's okay. I'm asking for all of the units that
22 you were --

23 A I'm trying to think of them, sir.

24 Q Okay. That's --

25 A You know, it's --

1 Q Well, there's a lot of units there.

2 A That's pretty much our base load units.

3 Q Are you -- are you looking at -- you were also

4 watching Taum Sauk?

5 A If they were operating, yes, sir.

6 Q Okay. If they were operating. The other

7 hydros, would you be watching them if they were operating,

8 also?

9 A I could see Osage, yes, sir.

10 Q How about Callaway?

11 A Yes, sir. I can see Callaway.

12 Q When you say you can see it, is that -- are you

13 able to draw a distinction in being able to see something

14 and control it?

15 A When I say see it, sir, it's on my screen. When

16 I see it, it's megawatt generation, and I see its -- its

17 MISO base point, which is where they're requesting that

18 the unit generation be.

19 So when I say I see it, I'm seeing the actual

20 generation of the units and the MISO base point, which is

21 the requested generation from MISO.

22 Q Okay. You compare those two?

23 A Constantly.

24 Q Yeah. Because you want them to be -- the ideal

25 is to be the same, I assume?

1 A Yes, sir.

2 Q So what is it, then -- are you the only one --
3 how many people are there that are doing what you're doing
4 and what you're describing at the -- at the same time on
5 duty.

6 A Actually, there's myself, the dispatcher and
7 there's the Power Supply Supervisor. Now, he also has the
8 same screens I have. And he's a second set of eyes. I
9 get busy at times, and he can catch things. I mean, he
10 looks at it, too.

11 Q Okay. Is that similar to AEM now?

12 A No, sir.

13 Q Do you have a second set of eyes there?

14 A Right now, no.

15 Q Okay. Now, in regard to -- to that question --
16 let's -- I'm trying to, without being able to see this,
17 visualize a little bit about what you've got in front of
18 you. You were talking about that plasma screen earlier.
19 Are there a number of those around where you're sitting?
20 Tell -- describe that for me.

21 A There was probably 16 of them.

22 Q Sixteen?

23 A Along the wall. Yes, sir. There are two rows
24 on the wall in front of us.

25 Q Okay. And on -- do you control what's on those

1 screens?

2 A Some of them.

3 Q Okay. Describe that for me.

4 A Well, we -- we can select what we pull up to a
5 certain extent. Now, the -- the plasma with the Taum Sauk
6 levels, that's the only thing it has. It's never changed.
7 It's constantly there.

8 Q Okay.

9 A That one will never change. A couple of other
10 plasmas we do change what we're looking at there. We can
11 go into some of the detail on the plants and -- and look
12 to see some of the detail of the -- of the units that are
13 operating.

14 If the plant's reporting a problem, we can go
15 into our pi (ph.) system and get a better look at -- at
16 what their problem is.

17 Q You can't do that with the Taum Sauk screen?

18 A No.

19 Q And when you say you can't, that means it's
20 physically not possible or it's just not something that's
21 done as a matter of practice?

22 A We don't do it. We keep it up there
23 continuously. We do not change that one. We never shut
24 that one down. We could change it, that plasma to a
25 different reading. We never did.

1 Q What other readings would be available? Do you
2 know?

3 A I can put about anything in our price system up
4 on that plasma. But we don't change that one. We keep
5 that there on the Taum Sauk readings all the time.

6 Q Okay. That's fine. But I'm -- I want to ask
7 you what else -- you say there are other pie readings. I
8 need you to tell me first what a pie reading is.

9 A Well, that's our system -- kind of a plant
10 monitoring system that gives us the ability to go into
11 some of the plants and look at further detail.

12 Q Okay.

13 A I could pull up a pulverizer, and I could look
14 at the temperature of the pulverizer, the bearing
15 pressure, the oil temperatures, the pressure. I could
16 look at the feed rates of how fast they're feeding coal
17 into their feeder. I could look at the turbine. I could
18 look at the bearings and then look at bearing temperatures
19 on some of the turbines, any vibration, oil temperatures,
20 control valve positions.

21 I mean, it just goes on and on and on, sir, the
22 things that we could possibly look at.

23 Q And with the operating units, you say sometimes
24 you do look at some other things?

25 A Yes, sir.

1 Q Why would you do that, first of all?

2 A I have 30 -- let's see. This October will be 35
3 years on plant experience.

4 Q Yes, sir.

5 A Some of the -- some of the people I work with --
6 some of the shift supervisors and operators, some have
7 more, some have less experience.

8 Q Okay.

9 A Possibly, if I can look at their problem, I
10 might be able to help the plant with suggestions about
11 what we need to do.

12 Q Okay.

13 A Suggestions only, not directives. But -- so
14 I'll go in and look. Maybe I can help them.

15 Q Is that -- what generates you doing that? Is
16 that somebody asking you for assistance or you noticing
17 something that seems to be awry and looking at some other
18 screen?

19 A Sometimes we notice it ourselves. Sometimes
20 it's from the plant saying, Hey, I'm having a problem,
21 I've got some turbine vibration on such and such a
22 turbine.

23 Q Okay.

24 A If I can, I'll go to that turbine generator
25 scene, and I'll pull it up, and I'll look. And maybe I'll

1 see if there's a difference in temperature problem, maybe
2 it's a different problem see. Maybe I can see something
3 or come to the conclusion as him that, yeah, there's some
4 vibration going on, but we're not sure why. The oil
5 temperature is too cold, too hot. I mean --

6 Q When that -- when that happens, are they -- who
7 would you be talking to, first of all? Somebody at the
8 plant? Would that be --

9 A Yes, sir. The Shift Supervisor more likely in
10 those situations.

11 Q All right. And would they have access to the
12 same screens that you were looking at?

13 A They have that and more.

14 Q And more. Okay.

15 A Yes, sir.

16 Q From the standpoint of -- of them looking
17 through those screens, you said that -- that kind of a
18 thing normally did not, you tell me, happen at -- with the
19 Taum Sauk plant?

20 A Did not.

21 Q Okay. Do you know why?

22 A I don't -- I've never accessed Taum Sauk. I'm
23 not even sure if it's in the system where I can access it.

24 Q Okay. Do you -- do you have any idea why that
25 is?

1 A No, sir.

2 Q Did you ever ask anybody?

3 A No, sir.

4 Q Is there any other plant that you would say was
5 handled in that fashion in regard to screens?

6 A We don't have the data on or the ability to --

7 Q That you -- that you normally, as a matter of
8 practice would only have one -- one picture up there, and
9 that would be all that would be normally looked at by you?

10 A Well, I -- I'm not really sure how to answer
11 your question, so I'll give you an answer. And if you
12 don't like it, you can make it different.

13 Q Well, it's --

14 A I had the data up there on Taum Sauk that I'm
15 comfortable with operating or giving instructions to the
16 operator at Osage to start and stop the facility.

17 Q In other words -- okay. So is it your decision
18 to not look at anything else except that screen, or is --
19 is that something that has been the practice? Or is it
20 something that has been directed? Give me -- can you put
21 it into one of those categories?

22 A That's the practice.

23 Q The practice. Okay. And you know it's the
24 practice because of what?

25 A The way they've been doing it since I got

1 there --

2 Q All right.

3 A -- in April of '05.

4 Q Okay. When you say they, who do you mean?

5 A The way I was trained by the other power

6 dispatchers --

7 Q Okay.

8 A -- as to what to monitor for Taum Sauk in

9 starting and stopping.

10 Q Okay. Let's touch a bit on the training. I

11 want to come back to what we're talking about. When you

12 were -- when you initially came on board, did you receive

13 specific training for the dispatch of these units?

14 A Yes, sir, I did.

15 Q All right. Describe that training for me.

16 A Excuse me. It was about six weeks of on-the-job

17 training with another qualified power dispatcher before I

18 was released on my own to dispatch.

19 Q Okay. And what did the training involve?

20 A The training was all hands-on. It started out

21 with I think the first shift observing the Power

22 Dispatcher, notifying the plants, going through their

23 daily functions and routines to observing to the next

24 shift starting to inject myself into that position with

25 the -- the qualified power dispatcher or trained power

1 dispatcher standing beside me, observing and watching
2 every step I make.

3 That went on for six weeks. And with each
4 additional shift, that person became more comfortable that
5 I could perform the duties and had less involvement until
6 I was deemed qualified and put on my own shift.

7 Q Okay. How long did that take for you?

8 A About six weeks.

9 Q I wanted to make sure I was -- that you -- you
10 said six weeks several times. I wanted to make sure that
11 was the same time frame. Now, when -- about when was
12 that?

13 A That was about late June of 2005.

14 Q Late June of 2005?

15 A Yes, sir.

16 Q Okay. What were you doing before that?

17 A Okay. I joined ESO, the dispatch group, in
18 April. First, I went through three weeks of training in
19 the NERC exam.

20 Q Okay.

21 A Completed that around the 13th of May and
22 immediately went into the training and completed that at
23 the end of June and started carrying my own shift.

24 Prior to that, I was a supervisor at the Rush
25 Island power plant.

1 Q And I heard you testifying a little bit about
2 that earlier, but what -- what did those duties involve?

3 A It's on a 12-hour shift, rotating shifts. We
4 directed the operation of the plant. Nights and weekends,
5 we were the only management people there.

6 Q Okay.

7 A And we basically ran the plant.

8 Q All right. And at some point in time, did you
9 -- did you apply to move into this new position?

10 A Yes, sir, I did.

11 Q Was it an advancement for you?

12 A Pretty much a -- pay-wise, a lateral move.

13 Q Was it -- was -- okay. Well, was -- how much of
14 what you knew in your previous job transferred over to the
15 dispatch side?

16 A A lot.

17 Q Okay. Tell me -- tell me how.

18 A My -- my knowledge of the operations of the
19 plant. It's -- one of the things Ameren looks for in --
20 in power dispatchers is knowledge of the plants and the
21 facilities. It makes our -- makes our -- having an
22 understanding of the plants and how they work makes it
23 much easier to understand what's going on with the -- with
24 the units.

25 Q Okay. Now, tell me why -- why and when that's

1 important when you're doing dispatch work.

2 A Because you're constantly dealing with the
3 plants. They call and tell you that they lost a feeder.
4 They had a roller disintegrate. Or they call and tell you
5 they had a exhauster bearing failure. You know exactly
6 what they're talking about. You don't have to try and --
7 well, what's that?

8 You know exactly what happened. You know how
9 it's going to impact you. Or the plant. Excuse me. The
10 unit. Sometimes you have a pretty good idea of how long
11 it's going to take to repair this and how long that unit
12 is going to be D rated or -- or delayed because of that.

13 When they're going through unit start-ups and
14 they call and tell you certain problems they're having,
15 didn't get a permissive on a boiler circulating water
16 pump, you know exactly what -- without that, they can't
17 continue or are in a turbine hold.

18 So having knowledge of the units and how they
19 operate is a tremendous advantage to me being a power
20 dispatcher.

21 Q Okay.

22 A If you look at the power dispatchers we had at
23 AmerenUE at that time, most of us were operators and shift
24 supervisors.

25 Q Okay. Do you know whether any of the -- of the

1 dispatchers had previous experience at a hydro plants?

2 A I do not.

3 Q Did you?

4 A No, sir.

5 Q Now, the training that you received, did it --
6 were you given documents to -- to study during this
7 training process?

8 A During the hands-on portion, sir?

9 Q Yes.

10 A Official Ameren documents? No.

11 Q Okay. Go ahead. You -- I'm trying to
12 understand big picture here, so --

13 A The other dispatchers are accumulated -- you
14 know, made notebooks of, Here's how you do this, and,
15 Here's how you do this, and -- and I was privy to that.

16 Q Okay. But they weren't official Ameren
17 documents. They were -- they were notes that had been
18 made by the dispatchers?

19 A Yes.

20 Q Okay. You said something about taking a test
21 with NERC.

22 A Yes.

23 Q That's N-E-R-C, right?

24 A Yes, sir.

25 Q Tell me what that was about.

1 A Well, we have to be certified by NERC to
2 dispatch the units. And -- and I have a Reliability
3 Coordinator certificate from NERC. I took the test and --
4 and completed that and certified.

5 Q Okay. But, generally, what did it involve? I
6 don't want you to go into a lot of detail here, but what
7 was it you -- you had to pass the test about?

8 A Well, there's operation of the unit, ATC control
9 on the units, transmission, some relaying.

10 Q Okay.

11 A Dispatching. Gosh, the NERC policies and
12 standards, understanding those policies and standards that
13 govern us.

14 Q Okay.

15 A It was on those.

16 Q Was there anything specific in that training
17 about particular units in AmerenUE?

18 A No, sir.

19 Q Okay. It was just generally about keeping the
20 system reliable, correct?

21 A Yes, sir.

22 Q All right. Now, let's -- I want to ask a --
23 about the screen that you're talking about -- describing
24 that Taum Sauk -- where Taum Sauk information was
25 displayed. Describe for me exactly, to the extent that

1 you can anyway, exactly what's on that screen that you're
2 looking at while you were there?

3 A There's the level indication for the upper
4 reservoir.

5 Q Is that a number, or is it a graph?

6 A Digital indication.

7 Q All right. So it has a number?

8 A Yes, sir.

9 Q And what else?

10 A There's also a graph that shows the -- visual
11 graph that shows the time and the level.

12 Q Okay.

13 A So as you're filling or lowering or stabilized,
14 it's drawing instantaneous or up to the moment graph of
15 where the level is at. It reads in tenths of a foot.

16 Q Okay.

17 A There's also --

18 Q Tenths of a foot. Okay. Keep going.

19 A Yes, sir. There's also the lower reservoir
20 which shows the level of the reservoir and a graph showing
21 its level as well.

22 Q All right. Does the graph cover any particular
23 time increments that's up on that screen? Do you know?

24 A Yes, sir.

25 Q Tell me what that is.

1 A I don't recall exactly when it is. It's several
2 hours of data.

3 Q Several -- that's -- that's helpful. Okay. So
4 if you're looking at that graph, does it show -- if you're
5 filling the upper reservoir, does the upper reservoir show
6 -- I'm doing this backwards. Sorry. Does it show an --
7 an inclining line --

8 A -- yes, sir.

9 Q Up to whatever level you're at currently?

10 A Yes, sir.

11 Q Okay. All right. That's helpful. And what was
12 the -- the number on the high level that you're supposed
13 to get to at the upper reservoir, Taum Sauk?

14 A 1594.

15 Q 1594?

16 A Yes, sir.

17 Q Was that -- and what time frame are you talking
18 about when you say 1594?

19 A At the time of the failure.

20 Q At the time of the failure. Okay. What -- had
21 there -- had that been changed prior to that?

22 A Yes, sir. That was changed in October.

23 Q Of that '05 year?

24 A Yes, sir. It was lowered 2 feet from 1596. Or
25 at the time I'd been there, that was the normal pool

1 level. And it was reduced to 1594.

2 Q Okay. And what's the earliest you would have
3 been dealing with this on dispatch again?

4 A May.

5 Q Of '05?

6 A Yes, sir.

7 Q So you wouldn't have seen anything or had any
8 knowledge about what it was before that?

9 A No, sir.

10 Q Okay.

11 COMMISSIONER GAW: Would someone hand him the --
12 the Independent Panel of Consultants report? FERC?

13 JUDGE DALE: Does anyone have it?

14 COMMISSIONER GAW: I can come back to it later.

15 JUDGE DALE: All the exhibits are gone today to
16 be put into EFIS.

17 COMMISSIONER GAW: Can they bring them back at
18 some point?

19 COMMISSIONER CLAYTON: No.

20 COMMISSIONER GAW: I mean, I've got my copy
21 here, but I can't look at it at the same time.

22 JUDGE DALE: I'll check on that.

23 MR. BYRNE: He's got it, Commissioner.

24 COMMISSIONER GAW: Oh, good. Thanks.

25 Q (By Commissioner Gaw) I want you to turn in a

1 minute here -- let's -- let's look first at Figure 7-9.
2 It's toward the back, Mr. Bolding. You can get into those
3 exhibits. They have figures at the bottom. Figure 7 dash
4 -- did you find any of those numbers?

5 A I found 7-1.

6 Q Just keep going back from there. You'll get to
7 it.

8 A Well, then it goes into Section 8. I mean, tell
9 me where to go and --

10 MR. BYRNE: Your Honor, we've been going for an
11 hour and a half. Could we take a break and find him the
12 doc -- make sure he has the right document and go on?

13 COMMISSIONER GAW: I don't mind.

14 JUDGE DALE: That's an excellent suggestion.
15 Off the record.

16 (Break in proceedings.)

17 JUDGE DALE: Go back on the record.

18 Commissioner Gaw?

19 Q (By Commissioner Gaw) Okay. I think we were
20 dealing with the Independent Panel of Consultants report
21 of December 14th, '05. And I was asking, Mr. Bolding, if
22 -- if you could turn to 79. Do you have that now in front
23 of you?

24 A Yes, sir, I do.

25 Q Can you tell me what that is?

1 A Well, it appears to be -- I mean, there's -- the
2 labeling is not there, but it appears to be the graph of
3 the Taum Sauk upper reservoir.

4 Q Is this similar to what you are seeing on the
5 portion of the plasma screen that you talked about that
6 shows the elevation? Or is it different than this?

7 A This is one part of it.

8 Q It's one part?

9 A Yes, sir.

10 Q Okay. Would you see more than this on the
11 screen at one time, generally?

12 A Yes, sir.

13 Q Okay. Now, this is labeled down there Hurricane
14 Rita Event. Of course, it wasn't a hurricane at the time
15 it passed through Missouri. I suppose you know that.

16 A Yes.

17 Q Now, is there anything -- tell me what we're
18 seeing here. Toward the left of the graph, we're seeing a
19 line going up. Can you tell me what that -- what that
20 line represents?

21 A Well, that line represents that they were at
22 that time filling the upper reservoir.

23 Q Okay. And then it levels off at some point in
24 time up there. Do you see that?

25 A Yes, sir.

1 Q Than -- that's -- leveling off is between 1590
2 and 1600. Do you see that?

3 A Yes, sir.

4 Q Okay. Can you -- is that -- do you have more
5 specific measurements than that on that graph?

6 A We have a digital indication of the level.

7 Q So in addition to this graph, you'd also have a
8 number up there that indicated what the level was?

9 A Yes, sir.

10 Q Okay. All right. And then -- then after it
11 levels off, then there's a drop down. Do you see that?

12 A Yes, sir.

13 Q Okay. Can you tell me what that represents?

14 A I can assume what that represents.

15 Q Okay.

16 A I mean, you know --

17 Q What do you think it represents?

18 A That looks like possibly where we pumped it down
19 a couple of feet where we were notified that the wind was
20 causing the water to lap over the top from the waves.

21 Q Okay. This date is on -- or the date of this --
22 this graph is what? Can you tell?

23 A 9/25.

24 Q All right. And is that the date that there was
25 an overtopping?

1 A Yes, sir.

2 Q And then there's -- then it holds steady for --

3 for a little while, and then it drops down again, correct?

4 A Yes, sir.

5 Q There's another leveling off point under 1560.

6 Do you see that?

7 A Yes, sir.

8 Q What does that represent?

9 A Well, to me, sir, it appears that for a period

10 of time, we stopped generating.

11 Q Okay. Is that unusual or usual?

12 A I can't say.

13 Q Okay. All right. Now, it's -- there's some

14 degree of jaggedness to the lines. Would you say that?

15 A It appears that way.

16 Q Is that an appearance that you were used to

17 seeing?

18 A Not on my screen.

19 Q Would your screen not reflect that? Or did --

20 do you just not recall?

21 A I never saw the jaggedness.

22 Q You never saw it?

23 A The little wavy kind of lines?

24 Q Yes.

25 A The plateaus where you stop generating and you

1 start generating, those changes. But this little wavy I'm
2 seeing here, I've never seen that on our graph.

3 Q Okay. Now, your shift was what time frame?

4 A Five in the afternoon till about five in the
5 morning.

6 Q Was that -- was that always the case?

7 A We worked rotating shifts, days and nights.

8 Q Okay. So sometimes you'd be on in the days?

9 A Yes, sir.

10 Q But you were on on the -- on the pump portion of
11 -- of the 9/25/05 date? You were on duty?

12 A I was not on the pump portion where they --
13 where they filled it. I was on the generation side.

14 Q You were on the generation side. Okay. About
15 what time did you come on? Do you know?

16 A Probably about five in the morning, a little
17 after five.

18 Q Okay. All right. So you wouldn't have been --
19 would you have seen on your screen the pumped up portion?

20 A Yes, sir.

21 Q Okay. But you don't recall seeing any
22 jaggedness on your screen?

23 A No, sir.

24 Q Look at Figure 17, if you would.

25 A I'm sorry. Excuse me.

1 Q No problem. Pull that -- pull that a little
2 closer to you. There you go.

3 A Thank you.

4 Q Do you see Figure 7-10?

5 A Yes, sir.

6 Q Do you know what that represents?

7 A Once again, I can draw an assumption. But --

8 Q What did you -- what does it appear to be?

9 A It appears that someone has honed in on a
10 portion -- blown up and shown me a portion of that seven
11 -- excuse me -- 7-9 graph that we were looking at.

12 Q Okay. Is that something that would have been --
13 would have appeared that -- in that fashion on your screen
14 at the time?

15 A Did not look like this on my screen.

16 Q Okay. Can you offer any explanation about why
17 there would be a difference, if you -- if you know?

18 A I don't know. I can make assumptions, but --

19 Q Well, if you have, you know --

20 Q If you have any kind of -- of a theory, I'd like
21 to hear about it.

22 A I -- sure. I've printed before with printers
23 and diagonal lines -- sometimes, you know, you don't get
24 that nice, smooth that you're trying to print off. It
25 comes a little jagged, you know.

1 Q So -- so you think this could be as a result of
2 -- of the printer, not as a result of what actually was
3 occurring?

4 A I'll state that I did not see this intensity on
5 my screen. My screen was nice and smooth. You know, how
6 this presented out this way, sir, I'm not sure.

7 Q Now, what portion of this would -- would you --
8 assuming that it -- that it's a representation of the
9 right times here, what portion of this would you have been
10 on duty?

11 A Well, approximately midway through the plateau,
12 the -- I know I was there because that's showing 9:36.
13 The other time mark was at 2400. I wasn't there. So, you
14 know, guesstimating, probably, you know, quarter inch or
15 so into the plateau maybe I was there. I'm, you know,
16 guessing.

17 Q Okay. Now, if you had seen those jagged
18 features at the time, what -- what, if anything, would
19 that have caused you to believe?

20 A I would be wondering why -- you know, what's
21 going on with the level because it would have -- had I
22 seen -- had I seen the -- my indicator, my digital
23 indicator more so than this -- the graph --

24 Q Yes.

25 A -- and I'd seen it jumping around, I would have

1 been concerned if we were having maybe a problem with the
2 level indicator.

3 Q Okay.

4 A I did not see that.

5 Q All right. And -- and what would have made you
6 think that there might have been a problem with the level
7 indicator?

8 A I said I didn't see a problem. I said --.

9 Q If --

10 A If I saw it moving around, then I would have
11 been concerned. I didn't see that, sir.

12 Q Okay. But if you would have seen it as it's
13 represented on Figure 10, that would have given you
14 concern?

15 A Yes.

16 Q Okay. Take a look at Figure 7-13 for me.

17 A Okay, sir.

18 Q What does that appear to be?

19 A It appears to be the upper reservoir level from
20 December 1st and 2nd.

21 Q Okay. And is it -- is it similar to what you
22 have on the plasma screen again?

23 A No, sir.

24 Q Okay. Tell me how it varies.

25 A I've never seen -- when you get up here to the

1 two pump operation --

2 Q Yes.

3 A -- I've never seen the up and down jagged like

4 that while running a pump.

5 Q Never seen it?

6 A No, sir.

7 Q If you would have seen that, what would that

8 have -- what would you have thought?

9 A I would have thought there was possibly a

10 problem with our level indicator, and I would have asked

11 the Power Supply Supervisor to contact the Transmission

12 Operations Supervisor to get Instrumentation to check it

13 out.

14 Q Okay.

15 A At any time, if I'd ever been pumping and saw a

16 drop in the level, I would be very concerned.

17 Q All right. And you could see, at least what --

18 according to this graph says 7-13 some drops going on as

19 it's filling, correct?

20 A I see that, sir, yes.

21 Q And, again, that's something that would have

22 caused you concern if you would have seen it?

23 A Yes, it would, sir.

24 Q Look at 7-14 for me. This appears to be

25 December the 2nd of '05. Again, does that appear to be

1 the -- the -- a representation of the pump-up and then the
2 generation portion of what happened on that date according
3 to this -- what it appears to be representing?

4 A Yes, sir. It appears to be a partial of the
5 filling and -- and the pumping in generation on that date.

6 Q Okay. And is this similar or dissimilar to what
7 you remember seeing on December 2nd, if you recall?

8 A First of all, sir, I don't even know if I was
9 working December 2nd. I don't recall.

10 Q That's fair.

11 A But I will tell you I've never seen -- never
12 seen this type of -- of -- of graphic on this screen
13 before, this erratic lines. Never.

14 Q Okay. Now, let's look at -- the next figure is
15 7-15. Do you see that? That appears to represent January
16 of '05, right?

17 A That's what it says. Yes, sir.

18 Q All right. Now, would it be fair to say that we
19 don't see the jaggedness that we saw in some of those
20 previous pictures in this picture?

21 A Yes. You could say that.

22 Q Does it look anywhere consistent or inconsistent
23 with what you normally would have seen on your screen? I
24 realize you weren't there on January of '05, right?

25 A Not dispatching. No, sir.

1 Q Yes.

2 A It looks different in the fact that the graph I
3 see has always been a nice, smooth, line. No jagged at
4 all.

5 Q Okay. Do you see much jaggedness to this line?

6 A Down toward the bottom, there appears to be a
7 little.

8 Q Okay.

9 A From -- from beginning to about, I don't know,
10 1550.

11 Q Okay.

12 A Then a little bit after that.

13 Q All right. Let -- let's scan forward here as
14 we're going. And we'll note the dates, okay? The next
15 figure is 7-16, and it's represented as April of '05. Do
16 you see that one?

17 A Yes, sir.

18 Q Okay. And then let's go to the text one, 7-17.
19 It appears to be June of '05, correct?

20 A Yes, sir.

21 Q All right. And then July of '05 is in 7-18,
22 according to the representation here, right?

23 A 7-1?

24 Q 7-18. Do you have 7-18?

25 A Yes. I have 7-18.

1 Q Yes. It's 7-1. I'm sorry. You're talking
2 about the date now, correct?

3 A Yes, sir.

4 Q Is that correct, sir?

5 A Yes, sir. It's the date.

6 Q You have to answer out loud so she can record it
7 is the only reason I'm asking.

8 A Okay.

9 Q Okay. And then go one more, August the 1st of
10 '05 in Figure 7-19, correct?

11 A Yes, sir.

12 Q And then August the 10th of '05, Figure 7-20.
13 Do you see that?

14 A Yes, sir, I do.

15 Q Do you notice the -- the distinction as you're
16 moving, or the differences as you're moving forward in
17 time in the -- in the amount of jaggedness that appears in
18 that line?

19 A Yes, sir. I see that.

20 Q It's progressively getting a little more jagged.
21 Wouldn't you agree?

22 A Yes, sir.

23 Q Okay. And go on to August the 17th in Figure
24 7-21. Do you see that?

25 A Yes, sir.

1 Q A little more jagged, right?

2 A In this graph. Yes, sir. Or this illustration.

3 Q Yes. That's -- that's what I'm referring to.

4 And then 7-22 is September 1st of '05, right?

5 A Yes, sir.

6 Q Little more jagged yet?

7 A Yes, sir.

8 Q Okay. And, of course, then we're getting into a

9 little bit of different -- kind of a -- of a thing there

10 on -- on Figure 7-23. Look at 7-24, which is the December

11 13th date. Do you see that?

12 A Yes, sir.

13 Q Again, you see that there's a significant amount

14 of -- of jaggedness on that date, correct?

15 A That's what this indicates.

16 Q Yeah. And what does that seem to show there?

17 We may have looked at this a little bit before -- someone

18 did with you. But do you see where it drops down

19 significantly on the Pump 2 start?

20 A Yes, sir.

21 Q All right. And were you on duty at that time?

22 A Yes, sir, I was.

23 Q Did you see anything that indicated that -- what

24 we're seeing on this graph when you were on duty?

25 A No, sir.

1 Q If you would have, what would you have done?

2 A I would have been very concerned. We would have
3 been trying to find out why we're showing a dropping level
4 while we're filling.

5 Q Okay. And what would you have done other than
6 be concerned? What would you have done?

7 A We would have called to have Instrumentation
8 check out the lower indicator level. I would have called
9 the Osage operator and asked him, you know, has he seen
10 anything unusual? Is he seeing the same thing? If it
11 continued, we would have shut pumping down.

12 Q Okay. Look at this Figure 7-23 for a moment.
13 Do you see that?

14 A Yes, sir. I see that.

15 Q Okay. Now, that is a -- that's -- that's blown
16 up somewhat compared to some of the others that we've
17 seen, isn't it?

18 A Yes, sir.

19 Q It's a shorter -- it's showing shorter
20 increments of distance on the levels, isn't it?

21 A Yes, sir.

22 Q Okay. But do -- do you see the -- can you tell
23 me what that appears to be saying to you?

24 A It appears the level is moving, the level
25 indication.

1 Q And -- and even with the -- with the units off,
2 it appears that the level jumps up significantly at some
3 point, doesn't it?

4 A Yes, sir.

5 Q Again, would that cause you concern if you had
6 seen that on a screen?

7 A Yes, sir. A sudden rise in the level and the
8 pumps off, yes, sir.

9 Q Okay. Are there -- are the records of these --
10 of these dates on the pump -- pump and generation mode,
11 the graphs showing rising levels, are those kept
12 historically by AmerenUE?

13 A I don't know, sir.

14 Q Okay. Can you think any other source for these
15 particular diagrams that we've been going through other
16 than AmerenUE?

17 A You mean someone else having them besides
18 Ameren?

19 Q Yes.

20 A I don't know, sir.

21 Q Do you normally share this information with any
22 other entity?

23 A No, sir.

24 Q Okay. You said -- stated a little earlier about
25 the high level on the upper reservoir. Was there a -- was

1 there a low level on the lower reservoir while you were
2 pumping up that you would watch?

3 A Yes, sir.

4 Q What was that, if you recall?

5 A I don't recall, sir.

6 Q Was there a figure, though, that you -- that you
7 would not take the lower reservoir below while you were
8 pumping up?

9 A Yes, sir.

10 Q Okay. How did that compare to the upper level
11 that -- that you were filling the reservoir up to? Was it
12 -- was there a consistency between the low point on the
13 lower reservoir during pump-up and the high point on the
14 upper reservoir during pump-up?

15 A Would you repeat that, please?

16 Q Yes. Well, you were pumping up to first 1596
17 and then to a level indicator of 1594, correct?

18 A Correct, sir.

19 Q All right. Now, what I'm -- what I'm interested
20 in is whether or not there was any change in what you were
21 doing in regard to the lower reservoir's low level while
22 you were pumping up.

23 A There was not a change that I'm aware of, sir.

24 Q When you say you're not aware of it, are you
25 saying that you don't recall or that -- that you don't --

1 I want to know whether you don't know now or whether you
2 just didn't know in the past.

3 A I never received any instructions, anything
4 telling me that the lower reservoir level had changed, the
5 low point.

6 Q Had changed.

7 A I never received anything saying that it had
8 changed.

9 Q Okay. Was it your understanding when the -- or
10 did you have an understanding when the level was changed
11 in the upper reservoir from 1596 to 1594 as to whether or
12 not that actually was intended to change the amount -- the
13 actual level of the water as it was compared to the -- to
14 the top of the reservoir wall, if you know?

15 A My understanding was it was to lower the level 2
16 feet below our normal operating level. Now --

17 Q Was it intended that the actual water level come
18 down or just that there be a compensation for a misreading
19 by the level indicators?

20 A No one ever sat me down and told me. But my
21 assumption was that it was an actual 2 foot drop in the
22 operating level.

23 Q Okay. But no one ever said that to you?

24 A No, sir.

25 Q Okay. Why did you think that?

1 A Because my indications told me that it was 2
2 feet lower than where it normally was.

3 Q So did anyone ever tell you that level
4 indicators were off?

5 A I saw it in an e-mail, sir.

6 Q Okay. What -- what did you think when you
7 received that e-mail?

8 A I knew they were having problems with the level
9 indicators. The -- I took it as we're going to -- as a
10 safety precaution to ensure that we have a cushion and
11 have room, we're going to lower the level, the actual
12 operating reservoir level 2 feet to give us some extra
13 room to compensate for a possible meter error. That's
14 what I took it as.

15 Q Okay. So you were under the belief, if I'm
16 following you, that the actual reservoir level was being
17 lowered by 2 feet?

18 A Yes, sir.

19 Q Were you able to, from your screens, have any
20 indication about the change in the amount of energy being
21 generated after you -- the level was lowered, quote,
22 unquote?

23 A Well, sir, we have a normal maximum pool level.
24 We can pump it down to a minimum level, and we can
25 generate between there. When that level is 2 feet less to

1 start with, yes, you have less energy to generate with, so
2 your run times will be shortened.

3 Q Okay. Did you -- were you able to see the
4 amount of power being generated at Taum Sauk?

5 A Yes, sir.

6 Q Okay. Did you notice a difference in the amount
7 of power being generated after you changed the level?

8 A No, sir.

9 Q Does that mean that there wasn't a change or
10 that you didn't notice it? I asked the question badly.

11 A Yes, you did.

12 Q I --

13 A I'm sorry, sir.

14 Q No. That's all right.

15 A I apologize.

16 COMMISSIONER CLAYTON: Yeah, yeah, yeah.

17 A That time of year is what we refer to as a
18 shoulder month --

19 Q (By Commissioner Gaw) Okay.

20 A -- where it gets warm sometimes during the day.

21 Q Yes.

22 A But, you know, we may not be running them every
23 day. Or it may not be cold enough that we have to run
24 them. The two -- I did not -- from the time we dropped
25 the level 2 feet until the breach, I never myself saw or

1 participated in a generation where we were limited in our
2 generation because we had lowered the level 2 feet.

3 The calls from MISO were not that long of a run
4 in duration that it was, you know, Oh, darn, if we'd have
5 had two more feet, we could have run longer. I did not at
6 any time during that situation see that situation on any
7 of my shifts. The runs from MISO were usually pretty
8 short in duration in this period.

9 Q Okay. So does that mean that the -- the lower
10 -- the upper reservoir was not being taken down to its
11 lower limits?

12 A That's -- not all the way down. We -- you know,
13 we may not -- we may not run them all the way down.

14 Q Do you know --

15 A Not always.

16 Q And there would be a record of how that was --
17 how that was done on a daily basis, right?

18 A Yes.

19 Q Have you gone -- have you seen the run time
20 that's -- that are contained in any of the FERC reports?

21 A No, sir.

22 Q So are you -- are you telling me what -- what
23 you think is generally the case, or do you specifically
24 recall what occurred in regard to run times in the fall
25 and early winter of '05?

1 A Okay. Once we lowered the level on our
2 reservoir --

3 Q Yes.

4 A -- in our daily offers to MISO --

5 Q Yes.

6 A -- the trader took into consideration that we
7 only have this much water, so we're not going to offer
8 Taum Sauk to MISO to run longer than we have energy to run
9 it.

10 So we're getting our daily awards from MISO.
11 They weren't exceeding our pond capacity. It wasn't like
12 we -- we'd pump down and say -- or generate down and then
13 say, Oh, my gosh, we've got to pump up for another couple
14 of hours so we can run another hour or two.

15 MISO was -- was honoring our day ahead awards
16 where we had reduced our offer to them equivalent to
17 dropping the 2 feet. Basically, we were telling MISO
18 there's only this much energy available here due to the
19 level change in our daily offer.

20 So they would in turn on their day ahead, based on
21 what we had offered, which was a reduced offer because of
22 the lowering of the level.

23 Q Now, do you know that to be the case, or you --
24 or you were thinking that would have been what they would
25 have done?

1 A I know that's what they did.

2 Q Who told you?

3 A I'm on the trade floor. I hear them. I have --
4 I have the Power Supply Supervisor sitting here. I have
5 the Trader sitting right here. I'm right in between the
6 two.

7 Q Okay.

8 A And when we lowered the level of Taum Sauk, that
9 impacted our offer to MISO of how much maximum generation
10 we could get out of the -- Taum Sauk at a given -- for a
11 given pond.

12 Q Who would have been -- who would have been in
13 charge of putting those bids in at the time to MISO?

14 A I believe it -- and I'm not actually sure
15 because it kind of -- the responsibility kind of moved a
16 little. I believe it was the Power Supply Supervisor at
17 that time that was setting up the day aheads.

18 The Traders then would review it before they
19 would submit it to MISO.

20 Q Who would that have been?

21 A Dan Ferguson was my Power Supply Supervisor.

22 Q Okay. So -- so you believed he was the one that
23 would have been putting in the -- the amount of energy
24 available?

25 A Yes, sir.

1 Q Now, you were testifying a little earlier about
2 MISO making decisions about dispatching units, correct,
3 just generally speaking?

4 A General. Giving day ahead awards.

5 Q Those -- those decisions by MISO in regard to
6 what units it dispatch, those -- are those in regard to
7 units that have been made available?

8 A Yes, sir. Through our day ahead awards.

9 Q All right. And it is Ameren's decision, is it
10 not, about what units to make available?

11 A Yes, sir.

12 Q And -- and Ameren bids in units for
13 availability, do they not?

14 A Yes, sir, we do.

15 Q So the selection of time to -- when these bids
16 are made for units to run, that's done by Ameren itself,
17 correct?

18 A Would you rephrase that, please, or repeat it?

19 Q When a -- when a decision -- the decision to bid
20 units for particular times is Ameren's decision, correct?

21 A I'm -- yes, sir.

22 Q Okay. And then within those bids, MISO -- if --
23 if units had been bid in, select orders of dispatch based
24 upon those units being on -- on a -- as -- as the -- as
25 the bid prices rise up until they meet their level of

1 generation need, correct?

2 A They start economically, load the cheapest units
3 first. Yes, sir.

4 Q Yeah. Then the market clearing price is what's
5 actually used for running those units?

6 A Yes, sir.

7 Q If you knew that there was a problem with the
8 transducers with the -- with the level gauges, why -- why
9 would you assume that the level indication that you had on
10 your screen was correct?

11 A I felt comfortable that the people at the
12 facility that were watching the facility and inspecting it
13 and looking at the actual reservoir level because they had
14 not reported a problem with the level we were filling the
15 reservoir to, that our 2-foot compensation was within the
16 allowed tolerances.

17 Q And you talked to them to verify that; is that
18 correct?

19 A No, sir.

20 Q You had no -- what -- what did you base that
21 assumption on?

22 A Refilling the reservoir to a certain level day
23 after day after day and not hearing that there was a
24 problem.

25 Q But you knew that the level that you were seeing

1 on your screen was not -- was not reliable, correct, after
2 that e-mail and -- that you received in September or
3 October?

4 A That is correct.

5 Q Did someone tell you that 2 feet was sufficient
6 to cover the error that you were seeing on your screen?

7 A In the e-mail that came out that said we were
8 lowering it 2 feet that that should be -- I think the term
9 was adequate cushion or sufficient cushion against the
10 meter error.

11 Q And you -- and you based all of your decisions
12 upon that?

13 A Yes, sir.

14 Q Did you have any discussion with anyone around
15 you about that issue, about the level indicator being off?

16 A Yes, sir.

17 Q Who?

18 A Steve Schoolcraft.

19 Q And tell me about that discussion.

20 A I heard Steve discussing one day about getting
21 divers in to repair the level indicator at Taum Sauk. And
22 he took the time to draw me a -- a rough picture of what
23 the level indicator looked like and how it had come loose
24 from its stabilizer support --

25 Q Okay.

1 A -- and how it had a slight bow in it.

2 Q Okay.

3 A And it -- I remember he talked about arranging
4 divers to come in and -- and repair it. And -- and I
5 heard him, you know, discussing with the traders about
6 possible dates and times. That was it.

7 Q All right. And did he give you any -- any
8 information in regard to the issue of the -- the level
9 adjustment of 2 feet?

10 A He forwarded me the e-mail --

11 Q Okay.

12 A -- that -- and I forget exactly who it was from
13 or who the originator was. But Steve forwarded that
14 e-mail discussing the -- the bow in the level indicator
15 and dropping the level 2 feet to all the Dispatchers and
16 Power Supply Supervisors.

17 Q Did you ask him any additional questions?

18 A No, sir.

19 Q Did he make any statements in regard to getting
20 it fixed?

21 A As I've said, sir, he -- I did hear him
22 discussing with the traders and the Power Supply
23 Supervisor, you know, looking at potential times when they
24 could get the divers in to make these repairs.

25 Q Okay. Can you tell me, to the nearest that you

1 can recall, what he -- what he said?

2 A No, sir.

3 Q You have no recollection of any of -- of any of
4 that?

5 A Sir, he was not directly talking to me about it.
6 He was talking to the Power Supply Supervisor who was on
7 my one side, and the Trader on my other side. Steve sits
8 directly behind me.

9 Q Okay.

10 A As I was conducting my duties, I could hear him
11 discussing it. I was not totally tuned in to it, so I do
12 not want to state what was said.

13 I -- I recall them having a discussion about
14 this. But details, I did not know, sir.

15 Q Well, I need you to clarify. You said you did
16 not want to say what was said. I'm asking you what you
17 heard. I understand you probably didn't mean it exactly
18 like it came out, but tell me what you recall him saying.

19 A I recall a discussion between the Power Supply
20 Supervisor, the Generation Coordinator and the Trader
21 about potential dates. Period.

22 Q Okay. Do you know -- and who else was in that
23 conversation besides Mr. Schoolcraft?

24 A The Power Supply Supervisor and one of the
25 Traders.

1 Q Names. I need names?.

2 A The Power Supply Supervisor I worked with was
3 Darin Ferguson. I'm not sure which Trader he was
4 discussing this with. There are several of them.

5 Q Okay. Do you know who would have been on duty
6 at the time?

7 A No, sir.

8 Q Okay. Let's talk about December the 14th a
9 little bit. I believe you testified earlier that there
10 was a -- that you manually shut down one of the pumps.
11 Tell me which one that was again. Was it -- if you
12 recall?

13 A It was the last one, I believe. The
14 documentation I've seen said that was Pump 2.

15 Q And -- and why, again, did you manually shut it
16 down?

17 A Because we were scheduled to generate that
18 morning at 6:00. I forget the specific time, but about a
19 20, 30 minute turnaround that it takes the plant to go
20 from pump mode to generation mode.

21 Q Okay.

22 A I wanted to allow adequate time, so I shut it
23 off a little -- 2 inches -- two-tenths of an inch -- or
24 excuse me -- a few tenths of a foot early to ensure that
25 there was an adequate time to make the turnaround.

1 Q Okay.

2 A So they would be ready to pump at six. Excuse
3 me . Generate at six.

4 Q And what was -- what, if you recall, was the
5 level indicator at the time you shut it down?

6 A 1593.9.

7 Q And you said something about that someone said
8 that you didn't give them a full pool?

9 A Yes, sir. That was my relief.

10 Q Who was that again?

11 A Keith Paulman.

12 Q All right. And can you describe -- flush that
13 conversation out any more than that?

14 A I believe he came in just as I was shutting down
15 the second pump, just as it achieved shutdown. And, of
16 course, it's a big plasma screen. You can't miss it.
17 Large digital numbers and the graph.

18 And I was just telling him that I had just shut
19 down the second pump. And he commented something of,
20 Yeah, you shorted me a little bit, you don't even have a
21 full pond because it settled at 1593.6, which is about 6
22 inches under our normal fill level.

23 Q Okay. Which had become your normal fill level
24 after it changed from 1596 to 1594 on the indicator?

25 A Yes, sir.

1 Q Now, what time was that, again, approximately?

2 A Probably five after five, ten after five in the

3 morning.

4 Q All right. Do you know in relation to -- to

5 that time, that conversation, what was happening at Taum

6 Sauk?

7 A I had no idea.

8 Q Do you know now in retrospect?

9 A Yeah.

10 Q Was -- was the -- was the reservoir being

11 overtopped at that point?

12 A Oh, I don't know.

13 Q Okay. Okay.

14 A Oh, I -- excuse me. I thought you were asking

15 me if I knew what had happened to the reservoir after we

16 filled it.

17 Q No. I'm trying to get a time -- time sequence

18 here between this conversation and when -- when the events

19 started becoming more obvious. So at what point in time

20 were you aware that the upper reservoir's level was

21 changing rapidly?

22 A I wasn't.

23 Q You left before that --

24 A Yes.

25 Q -- before that time, correct?

1 A Yes, sir. I was relieved and had gone before it
2 started dropping.

3 Q Do you remember what time you left?

4 A 5:20, 5:25. I'm not exactly sure. We don't
5 clock out.

6 Q Okay. And at some point in time, were you made
7 aware about -- of the problem?

8 A The next evening when I came in.

9 Q That was the first time that you were aware of
10 it?

11 A Yes, sir.

12 Q This was over 24 hours later or less than --

13 A Twelve hours.

14 Q Twelve hours. Okay. By that time, it was in
15 the news, right?

16 A Yes, sir.

17 Q But the first you heard of it was when you came
18 into work?

19 A Yes, sir.

20 Q And who told you?

21 A The Power Supply Supervisor and -- and the Power
22 Dispatcher.

23 Q And who were they, again?

24 A At that time, it was Keith Paulman, the Power
25 Dispatcher, and Rodney Hamblin, the Power Supply

1 Supervisor.

2 Q What did they say?

3 A I came on to the trade floor, and everything
4 looked so -- I mean, everyone was standing around -- well,
5 my reliefs were standing there and just looked like -- he
6 was just very -- I don't know how to describe it.

7 It looked like their best friend had just died.
8 And my question to them was, you know, what's going on,
9 guys? It looks like somebody died around here.

10 Q Right.

11 A And their answer was, Well, you know about Taum
12 Sauk, don't you? And I said, No, what? And that's the
13 first time I knew it had ruptured.

14 Q And what else -- what else occurred in that
15 conversation?

16 A Oh, we -- we -- they were showing me the level
17 indicators of how it just fell out. They were -- they
18 were telling me their actions that morning, you know,
19 after we left.

20 They were telling me I probably hadn't even made
21 it to the car when they hooked up and saw the level
22 indication had fallen out.

23 Q Okay. Did they say anything else?

24 A A lot. I mean, we talked about it for quite a
25 while. The Power Supply Supervisor showed me some

1 documentation that he had pulled up, you know, showing the
2 -- going back and looking at it for a period of time and
3 trying to find a discrepancy, something that would, you
4 know -- something abnormal, going back over a period of
5 time over filling it, trying to figure out, you know, what
6 happened?

7 You know, was there any -- we didn't see
8 anything that had gone -- we'd spent the day going back
9 and looking was there an indicator somewhere that we
10 missed that said, Hey, you've got a problem? And he
11 couldn't find anything.

12 Q And who is he again?

13 A Ronnie Hamblin.

14 Q If you'll look at Figure 7-25 there, it -- on
15 that -- consultant's report, it gives you an idea, does it
16 not, of when the water level started dropping rapidly?

17 A Yes, sir.

18 Q Do you see -- does that -- that corresponding
19 time down below have -- have any bearing on your memory in
20 regard to -- to when you would have left that morning?

21 A No, sir.

22 Q Okay. It appears to be somewhere between 5:09
23 and 5:16, doesn't it?

24 A Yes, sir, it does.

25 Q Okay. And your -- and your testimony is -- on

1 the screen did not show any dramatic fall before you left
2 that morning of December the 14th, '05?

3 A My statement is I did not see any direct fall.
4 When my relief came in, that screen is -- as I said sir,
5 that screen is approximately right here.

6 Q Yes.

7 A He was right here. We -- when he came in, we
8 talked about Taum Sauk. We talked about shutting the
9 second pump down. We looked at everything.

10 Then we turned over our attention to the other
11 unit. We were not pumping. We were not generating. We
12 did not sit there and focus on the reservoir levels. We
13 focused on the units that were operating and were
14 generating and what he had to start the day and what he
15 had to stop today and the abnormalities with the units
16 that I had encountered overnight that he may have to deal
17 with.

18 We talked about D rates on the units coming up
19 for the day that he had to contend with. And our
20 attention shifted, like I say, from the beginning of
21 focusing this way to the other screens -- excuse me, sir
22 -- for the remainder of our relief time.

23 Q Okay.

24 A I never saw the screen with the level falling
25 off until I came back that night.

1 Q Okay. It is possible that -- that the screen
2 was indicating a falling off but that you just were
3 focusing on some other things during the shift change. Is
4 that -- that possible?

5 A That is possible, sir.

6 Q Okay. Were you provided with the manual on Taum
7 Sauk at some point in time, the manual for operating that?

8 A I don't know of a manual for operating Taum
9 Sauk.

10 COMMISSIONER GAW: Okay. Would -- would someone
11 provide the witness with a copy of Data Request No. 5?
12 This is in evidence.

13 JUDGE DALE: Do you have --

14 COMMISSIONER GAW: We can just use mine for now.

15 MR. MILLS: I have the request but not the
16 response. You want the response, I take it?

17 COMMISSIONER GAW: Judge, will you make sure
18 that that does all go together? I want to make sure that
19 I'm on the right -- does it -- Mr. Mills, does your say
20 that it -- that the response is for -- for anything to do
21 with the manual and operating processes? I want to make
22 sure I'm on the right data request.

23 MR. MILLS: The one I've got for 5 is the
24 organizational chart of the employees and organizational
25 relationships.

1 JUDGE DALE: This is Data No. 5 here. But --

2 COMMISSIONER GAW: I think this is -- maybe it's
3 all together here. But I don't know -- I want to make
4 sure I'm on the right document. Mr. Byrne, what I'm
5 looking at is a -- has -- assuming that -- there's an
6 Exhibit 3 that's down at the bottom of this. Do you want
7 to look at it? And it has TS, and then the pages after
8 that are -- are in numerical order.

9 MR. BYRNE: Bates stamped.

10 COMMISSIONER GAW: But I don't know if I've got
11 this right or not. I -- that's why I want to make sure
12 that I'm not forgetting the document number.

13 JUDGE DALE: Let's go off the record for just a
14 few minutes.

15 (Break in proceedings.)

16 JUDGE DALE: Okay. Back on the record.

17 COMMISSIONER GAW: Okay. Judge, did -- is there
18 an exhibit number that we can attach to that document?

19 JUDGE DALE: The next number is 47.

20 COMMISSIONER GAW: 47.

21 Q (By Commissioner Gaw) And -- and this -- this
22 appears to be a copy of some documents that are, I think,
23 constituted an a operating manual. But I'm not positive.
24 I just want to ask you -- first of all, do you have that
25 in front of you, Mr. Bolding?

1 A Yes, sir.

2 Q Have you ever seen that before? And take some
3 time, if you need it, just to scan through it,

4 A Excuse me. I'm through reviewing it.

5 Q Mr. Bolding, have you ever seen that document?

6 A Pieces, parts of it.

7 Q Okay. Have you ever seen the document all
8 together in one piece?

9 A No, sir.

10 Q Okay. And the pieces that you have seen, where
11 would you have seen them?

12 A In the Dispatcher's -- at the Dispatcher's desk.
13 We had some of these graphs and levels as far as how much
14 generation you can get out of certain levels. We had
15 contact numbers for the plant for some of the people.
16 I've seen the one line diagram of Taum Sauk before. I've
17 seen parts of this.

18 Q Okay. And -- and when you were being trained,
19 were you trained from any of those documents that you're
20 mentioning that --

21 A Yes. The graphs did tell me, you know, how fast
22 we can spill it or the rate it's spilling and the level
23 and how to calculate on how long it's going to take to
24 fill it, the graph showing when we're generating, how fast
25 it pulls down and how long we can generate, hours, you

1 know, per -- depending on the different megawatt loads
2 that we might be running on the unit.

3 Q Okay. Any -- any particular training on safety
4 with the unit that you received?

5 A I'm not sure what you're looking for. We'd
6 always talk about safety and always concerned about the
7 safety.

8 Q I'm looking for specifics about what training
9 you may have trained on safety in regard to the Taum Sauk
10 unit.

11 A Well, if we see anything abnormal, contact Osage
12 and Taum Sauk. And sometimes, you know, we had three-way
13 conversations with Osage and Taum Sauk, all three of us on
14 the line discussing issues. You know, I was trained in
15 safety, any time there's anything abnormal to pursue it
16 and find out what's going on.

17 Q And what constitutes abnormal?

18 A If I'd have seen those drops as these graphs
19 showed --

20 Q Right.

21 A -- in the level while filling, that would have
22 been abnormal to me.

23 Q Okay. Was there anything that you know of in
24 the documents that you -- that you said that you saw and
25 might have seen as part of your training that discussed

1 those level indicators on the graphs?

2 A No, sir. Not that I trained on.

3 Q Okay. Anything else that you recall in the
4 training about particular abnormal things that you should
5 watch for?

6 A Not that I can recall, sir.

7 Q How about with the other units that you were
8 dispatching? Same kind of question.

9 A Well, we -- we -- one of the things in our
10 training is -- at times, a unit will get into a situation
11 where they're having problems. And the Shift Supervisor
12 may call and want to discuss, Hey, I'm having a little bit
13 of problem, it's impacting me this way. I need to drop a
14 few megawatts.

15 You know, depending on where things are at the
16 time, I might -- I might question him as to, well, you
17 know, Hey, prices are going to fall off after a while or
18 your generation demand is going to drop off after peak,
19 you know, do you think we can hold where we are until
20 after peak?

21 You know, we've -- we've had discussions like
22 that all the time.

23 Q Okay.

24 A But the moment the plant says -- and a lot of
25 times, I'll ask them, you know, is this a safety issue?

1 You know, this situation that you're experiencing that
2 you're requesting this dereg., is it a safety concern?
3 And if he says yes, that's the end of it right there.

4 Q I understand.

5 A We --

6 Q My -- you may have done -- done a good job of
7 helping me forget my -- my question, too.

8 A You're welcome.

9 Q Thank me for that. What I'm looking for here is
10 whether or not your -- you received any -- you received
11 any training during the training phase as a Dispatcher
12 about safety issues, things -- or things to watch out for
13 that were abnormal that you should be looking for? I'm
14 just asking you about your training?

15 A I don't recall any.

16 Q Okay. Now, you made a general statement about
17 -- I'm not sure exactly what you said. Something about
18 things -- things going wrong. I don't know what you were
19 talking about. What -- can you -- if you recall generally
20 what you were saying, can you say something more specific
21 so I'll -- so I'll have an idea about what you were
22 referring to?

23 A Yes, sir. We were talking about plant may call
24 in turbine -- turbine vibration problems and want to
25 change the load.

1 Q Okay.

2 A They may have a loss of a pulverizer, loss of a
3 fan, loss of a feed pump. I mean, any type situations
4 like that.

5 Q Okay. Now, you said if it's a safety issue and
6 they say it's a safety issue, that's -- that's the end of
7 the story. That was what you testified to a while ago,
8 correct?

9 A Yes, sir.

10 Q Do you know of any written documents within
11 Ameren that -- that define what constitutes a safety
12 issue?

13 A In the situations I'm referring to, sir, they're
14 judgment calls between the Shift Supervisor -- and it's
15 his judgment that this is a safety issue or safety concern
16 for his people --

17 Q Okay.

18 A -- his facility, his equipment. So he's basing
19 that on his knowledge of the exact situation at the plant.
20 If he says it's a safety concern or safety issue, I stop
21 right there.

22 Q I understand. What I'm asking you is -- you
23 were -- you were doing that job before, right?

24 A Yes, sir.

25 Q Did you -- was there any -- or were there any

1 documents that described and defined what constituted a
2 safety issue?

3 A Thirty-five years of power plants, I've had
4 safety beat at me so many times. It's drilled into your
5 head. It's -- there cannot be documents that are going to
6 define, declare operating situations as safety concerns.

7 You have to -- this is an instilled knowledge
8 learned from -- by the Shift Supervisors over the years of
9 doing their job. They know what situations are dangerous
10 and whatnot.

11 There's the Ameren Corporate Safety Manual. You
12 know, it defines safety -- you know, wearing your safety
13 equipment, personal protective equipment, you know, how to
14 lift, you how to work on equipment. They're trained in
15 safety.

16 Q Those are issues that involve worker safety that
17 you're describing.

18 A Yes, sir.

19 Q What I'm asking about has to do with whether or
20 not there existed within Ameren what constitutes a safety
21 issue such that a plant should be shut down immediately.
22 Is there anything in writing?

23 A I don't recall seeing anything.

24 Q Okay. And I don't think that's inconsistent
25 with what I've heard so far. It's -- this isn't -- this

1 isn't a new question just for you, Mr. Bolding. But I am
2 -- I am trying to understand how that's -- how that's
3 handled.

4 In your training as a Shift Supervisor, did -- I
5 assume you had someone who you came in at some point in
6 time, but I -- I didn't track back far enough to know
7 whether that was -- whether you moved up into that
8 position or whether -- or whether you came on board in
9 that position. You might help me out there.

10 A I came on board with Ameren as an Operations
11 Supervisor.

12 Q Okay. And then moved into what?

13 A Then I moved plants to Rush Island as a Shift
14 Supervisor.

15 Q Okay. And that's a promotion?

16 A Yes, sir.

17 Q Okay. In those two positions, when you received
18 your training, you said safety was drilled into your head,
19 if I recall.

20 A Yes, sir.

21 Q Be more specific for me. Where were the
22 documents that existed that -- that you were -- that you
23 were instructed off of? If they existed. And if they
24 didn't, I understand. You may have already kind of
25 answered that. But were there documents that had written

1 protocols breaking down different things in regard to
2 safety matters with different plants?

3 A The -- I do not recall seeing documents.

4 Q Okay.

5 A Safety concerns for the type of issues you're
6 looking for.

7 Q Okay.

8 A Okay?

9 Q The training that you -- that you got from --
10 from person -- from people who were trying to train you
11 for your job, was there a specific individual or
12 individuals -- were there individuals -- I'm back at the
13 plants now -- that were -- would talk to you about how --
14 how you should handle the plant and how -- how it should
15 be run? Just give me a sense of that.

16 A Okay. The Shift Supervisor's direct supervisor
17 is the Production Superintendent of the facilities.

18 Q Okay.

19 A In a lot of cases, there's -- there's policies
20 of how to handle certain situations.

21 Q Okay.

22 A Not all of them, but -- but some. You know, if
23 you get to a certain point, you need to do this,
24 procedures to follow.

25 Q Right.

1 A But not that covers every facet of safety that's
2 going to come up on the units during shift.

3 Q Okay.

4 A Just guidelines.

5 Q Okay.

6 A There's -- there's books of those. I've seen
7 them at each and every plant I've ever been at.

8 Q All right. Does the -- does the exhibit that
9 has -- that you were referring to earlier that you said
10 you'd seen some portions of before, does that look
11 anything like what you're describing, or is it something
12 different than that?

13 A What I'm seeing here appears to me to be the
14 Osage operators operating procedure for the Taum Sauk
15 unit.

16 Q Okay. So is that something different than what
17 you're describing about --

18 A Yes, sir.

19 Q -- these other plants?

20 A Yes, sir. This is -- appears to be kind of a
21 standard operating procedure.

22 Q Okay.

23 A This is how you start it. This is how you stop
24 it. This is what you monitor. This is what you're
25 looking for.

1 Q Okay.

2 A This is what you do if this situation comes up
3 kind of thing.

4 Q Right. So there would be something different
5 than what you're talking about at these plants. And --
6 and you don't know whether one existed for Taum Sauk?

7 A I'd never seen this before for Taum Sauk.

8 Q All right. Okay. Got that. And that's the one
9 that you've got in front of you, correct?

10 A That's correct. I've never seen their operating
11 procedures before.

12 Q What about -- what about the -- the manuals --
13 manuals may be a bad word -- the documents that you were
14 referring to in other plants that you had seen before that
15 are not like what you're talking about in front of you
16 there as an operating manual? Do you know whether
17 anything like that existed for Taum Sauk?

18 A I haven't been to Taum Sauk, so I don't know.

19 Q And I -- I figured that would be your answer.
20 What about the plants that you have been to?

21 A Yes. We have operating procedures.

22 Q I want to -- I'm moving to this other arena with
23 you, and I apologize. I'm -- you were describing some
24 things that the plant would be doing on safety matters
25 being written down. What did you call that? What would

1 your name for that be?

2 A It would be your -- your operating procedures.
3 Some places, I've seen had abnormal operating procedures.
4 When you get into abnormal situations, it's guidelines,
5 procedures what to do for abnormal situations.

6 Q Okay.

7 A How to handle normal start-up, shutdown.

8 Q All right.

9 A How to operate the equipment, instructions on
10 equipment operation.

11 Q Do those -- does every plant have one of those?
12 Or do you know?

13 A No, sir. Every plant does not have those. What
14 -- excuse me. Are you referring -- my 35 years of power
15 plant? Or are we talking about Ameren?

16 Q You tell me what you were talking about.

17 A I apologize. When you said do I always see that
18 -- the two Ameren facilities that I have worked in, I've
19 seen pretty darn good operating procedures. I've only
20 worked in two of them, so I can't comment on the others.
21 But -- but Rush Island, I know, was just outstanding
22 procedures.

23 Q Did they have specifics in regard to if certain
24 events occurred, the plant must be shut down?

25 A You know, certain -- you're make it too broad of

1 a statement, you know. There's -- there's times when
2 things are going to come up that that's the only thing you
3 can do is -- is shut the unit down.

4 Q Okay.

5 A Most of the time, it's a -- it's a component
6 malfunction that you've got to operate around. It's --
7 it's not crippling to take the unit down. But it's enough
8 to give you some headaches, and you have to operate a
9 little different due to this abnormality that happened to
10 you, but not necessarily shut it down.

11 Q Okay.

12 A You're -- in my opinion, you're just asking too
13 big of -- it's just too big of a hole you're asking me to
14 fill with a yes or no question.

15 Q Okay. When --

16 A There are certain situations, the procedures
17 tell you, you know, when this happens, you need to do
18 this, you need to do this. In some cases, you have no
19 choice but to take a component off or take a unit off.

20 Q I don't mean to stop you.

21 A Okay. As sophisticated as the units are today,
22 there's so many automatic shutdowns that it's totally out
23 of the operator's hands. Certain situation happens, bam,
24 it shuts itself down.

25 Q Okay.

1 A You don't have a choice.

2 Q Okay. Has that -- has that been the case as
3 newer plants have come on, there have been more automated
4 shutdowns?

5 A Yes, sir.

6 Q Okay. But what I'm asking has to do with these
7 written protocols and whether or not they're -- and I
8 don't -- I'm -- I'm only asking this territory again
9 because I want to make sure I'm following you after this
10 last dialogue we've had.

11 If you -- if you're looking at whether or not
12 there are certain things that, if they occur, the plant
13 must be shut down, would there be written protocols for
14 that for those plants?

15 A I have seen that. Yes.

16 Q Okay. Which plants?

17 A Oh, come on. I've worked at so many. It's --
18 there was some at Rush. There was some -- some operating
19 procedures if certain situations happened we had to drop
20 load and cut back and maybe take one of the units off.
21 Once again, I think you're asking me to fill a large hole
22 with a -- with a very small rock.

23 Q Would it be fair to say that -- that there is a
24 line between a must shut-down and an area -- let me -- let
25 me rephrase that. Is there a difference between something

1 that constitutes you must shut it down and something
2 where, this has got to be fixed, but it -- and we -- we
3 have perhaps some time it do so we can schedule around
4 some -- some of the economic or financial matters that --
5 that we have to deal with that you, I think, were
6 describing a earlier?

7 A Would you rephrase that? What are you looking
8 for exactly? I'm sorry.

9 Q Is there a -- is there a list for each plant
10 that specifically says X occurs or X, Y, Z, any of these
11 occur, and you must shut this plant down?

12 A I don't recall seeing a list like you're looking
13 for. No, sir.

14 Q Okay. And then there is a judgment call, would
15 you agree, in regard to whether or not a matter is in the
16 category of a must shut down or a, We need to fix this,
17 but it's not necessary that we shut the plant down
18 immediately. It just needs to be done fairly quickly?

19 A Are you asking if that's a judgment call?

20 Q Yes.

21 A It's made by -- you get into those situations,
22 and it's not just made by myself or the Shift Supervisor.

23 Q Okay.

24 A Unless it's something that's just so drastic --
25 dramatic, they rupture a tube and say, Hey, man, we've

1 blown a tube. We can't stay on.

2 Q Yes.

3 A What's to discuss?

4 Q Yeah.

5 A They can't stay on. Or blew the fire out in the

6 boiler and the boiler tripped. Well, they're down. When

7 we get into those situations, discussions with the Shift

8 Supervisor brings in, sometimes the Production

9 Superintendent brings in -- you know, they'll call

10 Engineering at home, bring them in to come look at this

11 situation, you know, help us determine can we run like

12 this? Do we need to shut down? What's the severity of

13 it? Is it a safety issue?

14 Like I said, if it's a safety issue, it's --

15 there's no discussion anymore. We have to do what we have

16 to do right there. If that means bring it down, we'll

17 bring it down.

18 Q But you've already testified that there's no

19 definition of what constitutes a safety issue that's in

20 writing.

21 A That's right.

22 COMMISSIONER GAW: Okay. I think that's all I

23 have, Mr. Bolding. Thank you very much.

24 MR. BOLDING: Okay, sir.

25 JUDGE DALE: Do you have much?

1 MR. BYRNE: No. I do have some, though. Ten --
2 ten minutes, fifteen minutes.

3 JUDGE DALE: Let's go ahead and do that, then,
4 before we break for lunch.

5 MR. BYRNE: Okay.

6 COMMISSIONER CLAYTON: I have no questions,
7 Judge.

8 JUDGE DALE: I'm sorry. That's -- I was
9 wondering about that.

10 MR. MILLS: Your Honor, before we go ahead, can
11 I ask a question about procedure? Is there an opportunity
12 to follow up from attorneys after questions from the
13 Bench?

14 JUDGE DALE: No.

15 MR. MILLS: Okay.

16 CROSS-EXAMINATION

17 BY MR. BYRNE:

18 Q Real quick, just a couple of clarifications,
19 Mr. Bolding. Earlier when Mr. Mills was asking you some
20 questions about the settling at the end of the pump-up, do
21 you remember that where it was the -- the -- before the
22 breach you pumped it up to, I think, .9?

23 A Yes, sir.

24 Q And then it settled down to .6?

25 A Yes, sir.

1 Q And you said those were tenths of an inch. But
2 aren't those, in fact, tenths of a foot -- tenths of a
3 foot that we were talking about?

4 A Yes, sir. Tenths of a foot.

5 Q Mr. Schaefer was asking you some questions about
6 receiving the call on September 25th about the
7 overtopping. Do you recall those questions?

8 A Yes, sir.

9 Q And -- and just to clarify, did you receive that
10 call on September 25th yourself?

11 A I -- initially, when I gave my first interview
12 with the Highway Patrol, I was thinking I received that
13 call. I went backwards and listened to the -- the
14 recorded call. And the Power Supply Supervisor received
15 that call. And I clarified that with the Highway Patrol
16 during the second interview.

17 Q Okay. So you never -- you heard what you heard
18 from the Power Supply Supervisor?

19 A Yes, sir.

20 Q Okay. Baking timer. Mr. Schaefer was asking
21 you about your baking timer. What did you use the baking
22 timer for?

23 A The baking timer was -- I'd set it like 20
24 minutes before I was going to shut down a Taum Sauk or
25 start a Taum Sauk so that I'd have time -- that was my key

1 that I needed to put my offsets in with MISO.

2 Q So -- so did you ever use the baking timer to

3 tell you to shut off the pumping?

4 A No, sir.

5 Q It was -- it was only used to tell you to notify

6 MISO?

7 A Absolutely.

8 Q Okay. In response to questions at the beginning

9 of Commissioner Gaw's questioning, I think you -- he was

10 asking you what units -- what specific units you'd

11 dispatch now that you're with AEM. And I think you said

12 you dispatch the four units at Meramec? Is that correct

13 or not?

14 A No, sir. It's Maridocia.

15 Q Meramec's a UE plant, right?

16 A Yes, sir.

17 Q When you worked for UE, did you do any trading

18 at all?

19 A No, sir.

20 Q Only just dispatching?

21 A Only dispatching.

22 Q Okay. And you had talked, again, in response to

23 questions from Commissioner Gaw about how, at least right

24 now, you're by yourself doing a job at AEM?

25 A Yes, sir.

1 Q Did -- have you done any trading while you're by
2 yourself?

3 A No, sir. No deals at all.

4 Q You were -- you were focused only on
5 dispatching?

6 A That's all I've had time for so far.

7 Q Okay. You hit some questions about NERC
8 training, I think, from Commissioner Gaw. Can you -- how
9 -- can you tell me, how much training did you have from --
10 for the NERC test?

11 A I spent three weeks studying for that myself and
12 -- I think it was four of us studying for the NERC exam.

13 Q And then how long was the test?

14 A The test was about -- took about three, three
15 and a half hours.

16 Q And are there different levels of NERC
17 certification?

18 A Yes, sir, there are.

19 Q And what level are you certified in?

20 A Liability coordinator, which is the highest NERC
21 certification.

22 Q Okay. So you could have -- other people take
23 less training and a shorter test and get certified at a
24 lower level?

25 A Yes, sir.

1 Q I think in response to one of Commissioner Gaw's
2 questions, you -- you said if you had seen a jagged line
3 on the graph, you would have talked to the Dispatcher at
4 Osage. Do you remember that question and answer?

5 A Yes, sir.

6 Q And I guess my question is, would you have also
7 spoken to the plant about that if you had noticed a jagged
8 line?

9 A My contact is Osage. A lot of times there's no
10 one at Taum Sauk.

11 Q Okay.

12 A My -- my first response when there's something
13 with Os -- with Taum Sauk, excuse me -- is to -- to notify
14 the Osage operator. He's the person that I deal with to
15 start and stop that, so --

16 Q Okay. Also, in response to Commissioner Gaw's
17 question, you said you didn't realize the Taum Sauk breach
18 had occurred until you came to work the next evening. I
19 assume you were asleep a lot of the time. Is that why you
20 didn't hear on the news?

21 A That's why.

22 Q Commissioner Gaw also asked you about training
23 for safe -- around safety issues when you were in your
24 Dispatcher position at UE. And I guess my question is --
25 and your testimony was you had hands-on training from

1 another -- from an experienced Dispatcher; is that right?

2 A Yes.

3 Q And to the extent that any safety issues arose,
4 I guess would you have hands-on training with those issues
5 as you went; is that correct?

6 A Yes.

7 MR. BYRNE: That's all I have. Thank you very
8 much, Mr. Bolding.

9 JUDGE DALE: Staff, would you like to offer --

10 MR. BYRNE: Your Honor, could I ask that the --
11 that the last exhibit that Commissioner Gaw marked --
12 could we mark that as a proprietary exhibit? The -- it's
13 the operating manual?

14 And I -- you know, it was -- it was marked
15 proprietary in previous investigation. And if the whole
16 thing is going to be put in, which is okay, I'd just like
17 it to be marked proprietary.

18 JUDGE DALE: Then we'll change the number and
19 have Exhibit 47 to 47-P and mark it as such. Would you
20 like to offer it?

21 MR. BYRNE: No, thank you. But I wanted to --

22 JUDGE DALE: I'm actually talking to Mr. Baker.

23 MR. BAKER: Yes.

24 JUDGE DALE: Are there any objections? Then
25 Exhibit 47-P will be admitted into evidence.

1 (Exhibit No. 47-P was offered and admitted into
2 evidence.)

3 JUDGE DALE: With that, we'll take a lunch break
4 and be back here at 1:30, please.

5 (Break in proceedings.)

6 JUDGE DALE: Okay. It's 1:30. Let me start
7 recording. Okay. Back on the record. We are ready for
8 your next witness, Mr. Reed.

9 MR. REED: Yes, Judge. Thank you. Keith
10 Mentel, please.

11 JUDGE DALE: Mr. Mentel, would you please raise
12 your right hand?

13 KEITH MENTEL,
14 being first duly sworn to testify the truth, the whole
15 truth, and nothing but the truth, testified as follows:

16 DIRECT EXAMINATION

17 BY MR. REED:

18 JUDGE DALE: Thank you. Please be seated. You
19 may inquire.

20 MR. REED: Thank you, Judge.

21 Q (By Mr. Reed) Mr. Mentel, state your name and
22 spell it for us, please.

23 A Keith, K-e-i-t-h, Mentel, M-e-n-t-e-l.

24 Q Thank you. Do you still work for Ameren?

25 A No.

1 Q You're retired now?

2 A Yes.

3 Q When did you retire?

4 A August 1st of this year.

5 Q While you were employed for Ameren, that was

6 AmerenUE, correct?

7 A Yes.

8 Q For how long?

9 A Approximately 37 years.

10 Q And all that time with AmerenUE?

11 A Union Electric, then AmerenUE, yes.

12 Q All right. Thirty-seven years. When you

13 retired August of this year, what position did you hold?

14 A Hydro Plant Technician.

15 Q Tell us how long you were a Hydro Plant

16 Technician.

17 A They changed it, and we were an HPO at first,

18 Hydro Plant Operator. Pretty much the same job. Went to

19 a technician's job. I was the Hydro Plant Operator or

20 Technician for approximately 15 years.

21 Q All right. As a Hydro Plant Technician, tell us

22 what you did day-to-day.

23 A Pretty well the running of the power plant.

24 Q Meaning, the Bagnell Dam facility?

25 A Bagnell, Kiakuck and Taum Sauk.

1 Q All right. All three. Those are hydro plants,
2 correct?

3 A Correct.

4 Q And you were responsible for operating, in some
5 fashion, all three?

6 A Yes.

7 Q Tell us what your responsibilities were with
8 Bagnell, specifically.

9 A Day-to-day running of generating on and off,
10 whatever the Power Dispatch wanted to. Any technical work
11 that had to be done, any workman's protection that had to
12 be wrote. Pretty well the complete running of the damn on
13 a day-to-day basis.

14 Q And what about Taum Sauk? What were your
15 responsibilities?

16 A Monitoring and also putting units on, taking
17 units off. Generating and pumping.

18 Q As a -- had you been working with Taum Sauk,
19 then, for 15 years?

20 A Correct.

21 Q What kind of training did you have to become a
22 Hydro Plant Technician?

23 A At first, we were Hydro Plant Operators, which
24 was just an operational phase. It takes a long time
25 on-the-job training and some formal training. To become a

1 Hydro Plant Tech, we also have electrical training and
2 general maintenance training. Probably 800 hours of
3 electrical and 800 hours of general maintenance training,
4 plus a lot of additional operator training.

5 Q We heard earlier -- some people we've talked to
6 before, we heard about some operating manuals for various
7 facilities, for instance, for the Bagnell facility or at
8 the Bagnell facility, which is where you were located,
9 correct?

10 A Yes.

11 Q Physically? Physically? There were some
12 operating manuals. Are you familiar with those?

13 A Yes.

14 Q Are there -- are there a set for each of the
15 three hydro plants?

16 A Yes.

17 Q And the Taum Sauk operating manual was described
18 as, I think, one volume; is that right?

19 A Yes.

20 Q And what about for the Bagnell facility?

21 A There was several volumes for Bagnell.

22 Q As part of your training, did you work with
23 those operating manuals for the hydro plants?

24 A At time to time, yes.

25 Q In other words, for the Taum Sauk facility, did

1 you need to become familiar with everything that was in
2 that operating manual for Taum Sauk?

3 A Yes.

4 Q One witness told us that there was -- oh, it's
5 probably been back in the fall of 2005, there was some
6 kind of a training course at the Taum Sauk facility that
7 took about a week to get through. Did you go through that
8 back in the fall of 2005?

9 A No.

10 Q Have you ever been to the Taum Sauk facility
11 before?

12 A Yes.

13 Q How many times?

14 A Twice.

15 Q And tell us about those two occasions. What
16 were -- what was it for?

17 A I was a tourist one time. And then right after
18 I became an HBT or HMO, at that time, they sent me down, I
19 believe, for one day to familiarize myself with the plant.

20 Q Other than those two one-day visits, you haven't
21 gone through any training course at Taum Sauk?

22 A No.

23 Q What about -- was there any formal sit-down
24 classroom training for -- in order to operate the Taum
25 Sauk facility?

1 A Not formal.

2 Q How did you learn how to operate Taum Sauk?

3 A On-the-job training and being an operator for

4 years and, also, through the manual.

5 Q At the -- can you describe -- at the Bagnell

6 facility where you would be located, can you describe for

7 us your -- your immediate environment, like where you

8 would be sitting? What's in that space that you occupy

9 from day-to-day?

10 A We sit in front of a -- approximately nine

11 computer screens and computers and different screens for

12 all three power plants. It's -- would be the control

13 room. It's an air-conditioned facility. We sit at a desk

14 in front of all these consoles.

15 Q Nine screens, I think you said?

16 A I believe so.

17 Q How many are dedicated specifically or

18 exclusively to Taum Sauk?

19 A At least two. Sometimes three if we need them.

20 Q What kind of read-out or information do you have

21 on this -- on the screens for Taum Sauk?

22 A We can just about get any information we need to

23 on -- on the units.

24 Q What do you mean by the units?

25 A One and two units at Taum Sauk, the generators.

1 Q Okay. The generator. You can get information
2 on the generators. What else can you get information
3 about?

4 A The upper and lower pools, tail water pool, any
5 -- any information we would need to operate, we can
6 ascertain from those screens.

7 Q So for the -- for -- let's take the upper
8 reservoir, for instance. What kind of information can you
9 get from the screens on the upper reservoir?

10 A We can get the upper reservoir level down to a
11 tenth at any time.

12 Q Would that be in elevation?

13 A Yes.

14 Q Okay. What else for the upper reservoir?

15 A We have some high alarms, high-high alarms, just
16 general knowledge. Basically, that's -- that's what we'd
17 be looking at.

18 Q What about total volume?

19 A Yes. We'd have total volume access.

20 Q Now, which -- what kind of information did you
21 generally work with day-to-day at -- for the Taum Sauk
22 facility? What was important to you, in other words?

23 A The upper elevation and the lower elevation.

24 Q What do you mean by lower elevation?

25 A That would be the lower reservoir elevation.

1 Q Okay. The -- is the water pumped from the lower
2 to the upper?

3 A Correct.

4 Q So, I guess, at any given time the lower
5 reservoir is dropping while the upper is increasing,
6 correct?

7 A Yes.

8 Q Over the 15 years that you've been working with
9 the Taum Sauk -- Taum Sauk facility, did you -- were you
10 familiar with, I guess, the correlations as the lower
11 reservoir was dropping and the upper was filling? I mean,
12 did you have a pretty good feel for where the numbers
13 should be as they were changing?

14 A Yes.

15 MR. REED: I have an exhibit I'd like to mark,
16 Judge. I think it will be 48.

17 A Yes.

18 MR. REED: There should be six here.

19 Q (By Mr. Reed) Mr. Mentel, I've handed you
20 what's been marked as Exhibit No. 48. It appears to be
21 some notes of an interview with Keith Mentel. Have you
22 seen this document before today?

23 A Yes.

24 Q Have you had a chance to go -- to look through
25 it before today?

1 A Yes.

2 Q Can we work through that document, Mr. Mentel,
3 and tell me if you see anything that you believe is
4 inaccurate in there?

5 A Yes.

6 Q Okay. How about the first paragraph?

7 A I believe that's correct.

8 Q Okay. The second? And you can see in the copy
9 I gave you, there is some information there that's edited
10 out, so --

11 A Uh-huh. That's correct.

12 Q All right. The third paragraph?

13 A Paragraph 3, lines 1 and 2.

14 Q Okay.

15 A Change two people were always at the Osage power
16 plant. Two people were normally assigned to the Osage
17 power plant. But on the off shift, weekends and holidays,
18 the second operator position was not always filled if one
19 of the operators was ill or on vacation.

20 Q Okay. So that's quite a bit that you would add?

21 A Yes.

22 Q All right. Okay. Anything else in paragraph 3?

23 A Yes.

24 Q Go ahead.

25 A Paragraph 3, lines 12 and 14.

1 Q Okay. Let me count. All right.

2 A Mr. Mentel stated he was not sure which pump

3 went to auto stop, but believed it to be No. 1 pump. I'd

4 like to change that to after reviewing his notes and the

5 logs from the date in question, Mr. Mentel knows that the

6 No. 2 pump went to auto stop.

7 Q Okay. At the time, you were interviewed, you

8 weren't sure?

9 A Correct.

10 Q But since then, you've gone back and you've

11 confirmed that it was No. 2, correct?

12 A Correct.

13 Q All right. What else in paragraph 3?

14 A Lines 15 to 17. I believe paragraph 3 based on

15 the change above, presumably No. 2 and No. 2 on these

16 lines should be changed to No. 1.

17 Q I see. All right. The No. 2 should be a No. 1?

18 A Yes.

19 Q All right. Okay. How about paragraph 4?

20 A There is some clarification on that.

21 Q Go ahead.

22 A I don't have this line for line. It was calling

23 procedure that morning.

24 Q Tell us where to look for that.

25 A Let me see.

1 Q Do you want to -- do you want to just explain, I
2 guess?

3 A That would be fine.

4 Q I guess as opposed to changing any of the
5 language in there, do you want to further explain how it's
6 done?

7 A Yes.

8 Q Okay. That's fine.

9 A That morning, I had called the -- when I noticed
10 there was a problem with the reservoir reading, my
11 permissives -- generating permissives that morning, I
12 called the Power Dispatch office, notified them of this
13 problem. Also, at that time, I verified their readings.
14 They have a load dispatch screen that they can check.
15 Their readings were the same as mine.

16 I then called Rick Cooper at Taum Sauk, and I
17 read all the readings that I had there at the plant. He
18 asked me what the upper was reading, what the lower
19 reservoir was reading. And I also noted that at the time
20 that the tail water had come up somewhat.

21 Right after that, I called the Power Dispatcher
22 back, told him that Rick had been notified and was on his
23 way to the power plant.

24 Q Okay. Thank you, Mr. Mentel. What -- what do
25 we mean by tail water?

1 A It's the water that is directly -- leaves the
2 generator. As it -- as it generates, it's -- it's the
3 immediate water discharge.

4 Q Where were -- where is it measured right after
5 the generators, I guess?

6 A Right after the gen -- right after the
7 generator.

8 Q Okay. Can we look at paragraph 5 now?

9 A Yes. Yes. Paragraph 5, lines 11 and 12, But
10 was aware of when it was placed there should be changed,
11 But he was unaware of the one that was placed there.

12 Q Okay. That will work. That relates to the high
13 and the high-high probes, I see. Okay. Do you know who
14 placed the note there?

15 A No.

16 Q Okay. Is that it?

17 A Yes.

18 Q All right. Thank you. Now, with regard to the
19 report itself, I just wanted to ask you a few questions.
20 The first pump that went off, I think you said, was No. 2?

21 A Correct.

22 Q And it -- it was in auto shut-off?

23 A Correct.

24 Q But then you were called by the Power Dispatch
25 who told you to shut off No. 1, correct?

1 A Correct.

2 Q Now, it -- normally, do both of the pumps shut
3 off automatically?

4 A Yes.

5 Q Is it -- is it unusual to have the Power
6 Dispatcher call to ask you to shut off one or more pumps?

7 A No.

8 Q Tell us the -- the type -- the -- the times that
9 that happens. What's usually the occasion for -- for
10 getting a call to turn off a pump?

11 A Sometimes they have loading problems on the
12 system, and they don't want to use the -- that much
13 electricity that time for pump-back is one -- one reason
14 they would do that.

15 Q All right. Can you think of any others?

16 A No. Normally, it would be a loading problem or
17 they'd just decide that they need it off for that -- for
18 that reason.

19 Q Okay. Do you remember -- other than the loading
20 problems in this specific instance, do you remember any
21 other occasions where the Power Dispatcher called and
22 said, Turn off Pump 1 or turn off Pump 2?

23 A Yes.

24 Q Tell us about that.

25 A It happened quite a bit. I mean, they would

1 call and -- and they had a short window, possibly, to
2 pump.

3 Q Okay.

4 A And we would pump for maybe two or three hour,
5 and they would -- they would direct that.

6 Q The -- the way Taum Sauk operated when it was
7 pumping back, if it reached a certain level, it would shut
8 off automatically, correct?

9 A Correct.

10 Q You -- in other words, you -- would you have to
11 monitor the -- the level gauges, the level on your screen
12 to decide when to shut the pumps off?

13 A We would always monitor. I was monitoring
14 constantly that morning.

15 Q Did you ever have an occasion where the pumps
16 kept running even though the elevation was above the --
17 the elevation it was supposed to shut off?

18 A Yes.

19 Q Tell us about that event.

20 A Normally, I -- particularly -- I can't speak for
21 the other operators. Sometimes that's not an exact
22 reading. If that first pump was to come off at, say,
23 1592, sometimes it will go two or three-tenths over.
24 Sometimes I'd recommend shutting it down instead of
25 waiting.

1 I'd call the Power Dispatcher and say, It seems
2 a couple of tenths over. If it's all right with you,
3 let's get it down.

4 Q Okay. So would there ever be an occasion where
5 you're one or two-tenths over -- where the auto stop
6 should -- should set in, but the Power Dispatcher called
7 you to say, Turn it off, that's plenty of water?

8 A I think so. Yes.

9 Q Can you think specifically of an instance that
10 happened?

11 A No.

12 Q All right. When you were sitting with the
13 screens in front of you and you have the elevation at Taum
14 Sauk before you, is there any particular time during your
15 shift that you'd pay closer attention to the levels than
16 other times?

17 A Yes.

18 Q When is that?

19 A Normally, it's when it gets close to pump-up, on
20 a pump-up cycle, when it gets close to our auto shutdowns
21 for the pump cycle.

22 Q Is that the same time every day?

23 A No.

24 Q I guess you just monitor it as, you know, it's
25 pumping back. You just continue to monitor over your

1 shift, correct?

2 A Continuous.

3 Q All right. Can -- can the Power Traders, the
4 Power Dispatcher in -- in St. Louis turn the pumps off?

5 A I believe the Power Dispatcher can turn the
6 pumps off. It's not normally done. If we would have a
7 problem at Osage, I believe they could -- they could do
8 that.

9 Q Do you ever remember an occasion where somebody
10 in St. Louis turned the pumps off?

11 A No.

12 Q Do you remember an event in September 25th,
13 2005, where there was water -- there was wind blowing
14 water off the walls at the Taum Sauk reservoir?

15 A Yes.

16 Q Are you familiar with that event?

17 A Somewhat.

18 Q Tell us what happened whenever you received
19 information that the water was blowing over the walls.

20 A I -- they had told us -- or I had heard that
21 they had a wind storm and a high wind and that it caused
22 some of the water to come over the parapet wall.

23 Q Were you working at the time the reservoir was
24 drained a couple of feet to prevent that water from going
25 over the wall?

1 A No.

2 Q You weren't part of that?

3 A I was working. I wasn't -- I don't know how to

4 say that. I was on shift, but not at that particular time

5 when that took place.

6 Q Okay. All right. Who -- who handled, I guess,

7 the phone calls, the -- that sort of thing that -- that

8 day?

9 A Like I said earlier, when that particular -- I

10 was not there that particular day.

11 Q Okay. You heard about it later?

12 A Yes.

13 Q Are you familiar with the usual operating level

14 at Taum Sauk?

15 A Yes.

16 Q What was it when you worked there at Osage?

17 A At that time?

18 Q Yes.

19 A First pump would auto stop at 1592.

20 Q Okay.

21 A The second pop -- pump would auto stop at 1594.

22 Q And that was in the fall of 2005?

23 A Correct.

24 Q Had that changed from a previous level?

25 A Yes.

1 Q What was the previous level?

2 A I believe the first pump auto stopped at 1594.

3 I believe the second pump auto stopped at 1596.

4 Q That would have been before -- are you familiar
5 with -- with the -- the occasion for the change in the
6 operating level in the fall of 2005?

7 A Would you rephrase that? I don't --

8 Q Do you know why the operating level was changed?

9 A I understood that it was because of the high
10 winds and the overlapping.

11 Q So before the high winds and the overlapping,
12 you think the operating level was 1596?

13 A Yes.

14 Q Was -- was there a period of time where the
15 operating level before the fall of 2005 was less than
16 1596?

17 A Yes. In the winter. They used to pump up to
18 1589.

19 Q 1589 in the winter. And how high in the summer?

20 A I believe 1596.

21 Q In the 15 years you've been a Hydro Plant
22 Technician and operating Taum Sauk, was there -- was there
23 a period of time where the operating level in the summer
24 was 1595 rather than 1596?

25 A I can't recall.

1 Q What does the operating manual tell us?

2 A I believe the operating manual until that time
3 stated, I believe it was, 1594 first pump, 1596 second
4 pump off in the summer. And I believe in the winter it
5 was 1589.

6 Q If -- if -- I want -- I want to give you a
7 hypothetical. Let's suppose that the operating level ten
8 years ago was really 1595, and then, at some point, it
9 changed to 1596 for the summer.

10 Who would make the change in the operating
11 manual so that the operators could see what -- what level
12 they were supposed to use?

13 A That would be supervision.

14 Q And who would -- who would your supervisor be?

15 A At that time, it was Tom Buhr.

16 Q Tom Burg?

17 A Tom Buhr.

18 Q Buhr?

19 A Yes.

20 Q Would you spell the last name for us?

21 A B-u-h-r.

22 Q How long had he been your supervisor?

23 A For several years.

24 Q Before 2005, correct?

25 A Correct.

1 Q Do you -- are you aware of the liner that was
2 installed at Taum Sauk in 2004?

3 A Yes.

4 Q Was there any change in the operating level at
5 the Taum Sauk reservoir from the pre-liner operating level
6 to the post-liner operating level?

7 A I can't recall.

8 Q What about -- are you familiar with the new
9 turbines that were installed at Taum Sauk back in 1999, I
10 think it was?

11 A Yes.

12 Q Was there any change in operating level after
13 those turbines were installed?

14 A Not that I know of.

15 Q Whenever the operating level was changed to 1594
16 in 2005, who told you, This is how we're going to do it
17 from now on?

18 A We usually get a fax or it came from Tom Buhr.
19 And I think it's -- it's hard written -- sometimes they'd
20 get a fax from Taum Sauk. Usually, it comes from Tom
21 Buhr, our supervisor. Gets posted.

22 Q Where is it posted?

23 A We usually post it directly by side -- beside
24 the Taum Sauk operating screen.

25 Q And does it go in the operating manual?

1 A We don't put it in the operating manual as
2 operators.

3 Q Who does that?

4 A That would be supervision.

5 Q Like Mr. Buhr, correct?

6 A Correct.

7 Q Are you familiar with the term "free board?"

8 A Somewhat. I don't quite understand. Free
9 board, I would think, would be excess -- I don't really
10 know.

11 Q Okay. Well, in the training that you had
12 received or -- or in the operating manual for Taum Sauk,
13 to you, was there -- was there anything you recall about
14 how much free board should be on the parapet wall at Taum
15 Sauk?

16 A I can't remember.

17 Q Okay. Whenever the operating level was changed
18 to 1594, do you know -- know whether or not that meant
19 that the level of water was raised only to 1594 feet, or
20 did it mean something else to you?

21 A It meant that it was a true reading to me, that
22 it was actually 1594.

23 Q At the time that the operating level was changed
24 to 1594, did you hear any discussion about 1594 actually
25 being full pool, in other words, all the way to the top of

1 the parapet wall?

2 A No.

3 Q What about since then?

4 A No.

5 Q All right. When you were operating Taum Sauk in
6 the fall of 2005, did you believe 1594 was -- was -- I
7 guess that it meant 1594, right? A true reading is
8 what you said.

9 A Correct.

10 Q Were you aware of the probe problems at Taum
11 Sauk back in the fall of 2005?

12 A No.

13 Q No? Nothing? You didn't know of any problems?

14 A No.

15 Q Did you know -- did you ask -- well, see, after
16 the operating level was changed to 1594, did you -- was
17 there any discussion with your supervisor about why that
18 was done?

19 A I understood it was done because of the
20 overlapping, because of the wind problem.

21 Q Who at -- who at Power Supply or Power Dispatch
22 did you generally talk to on the phone?

23 A The Power Dispatcher.

24 Q Who was that?

25 A There were some different dispatchers at

1 different times. We didn't work the same schedules.

2 Q Can you remember any names?

3 A I believe Tom Prine (ph.) was one of them. I
4 don't -- I don't know a lot of their names.

5 Q Did you discuss with any of them the operating
6 level of 1594 and what that meant for power generation?

7 A No.

8 Q Were you aware of any resistance to lowering the
9 operating level of the reservoir?

10 A I don't quite understand.

11 Q Did you hear anybody saying, We shouldn't drop
12 the operating level to 1594 because we can -- we produce
13 less power?

14 A No.

15 Q Were you -- were you ever aware of any requests
16 to operate Taum Sauk beyond prudent operational limits?

17 A One time, we had a lower reservoir that was
18 filling up, and I believe I had called and told them about
19 it.

20 And I had called Taum Sauk. Mr. Fitzgerald was
21 on. And he physically went down there and watched it.
22 And I think we -- we maybe exceeded the level at that time
23 only on the lower. But he was watching it so it wouldn't
24 top.

25 Q If -- if you -- if you received a request to, I

1 guess, run excess water over the -- what do you call it?

2 The spillway? Is that what happened?

3 A Correct.

4 Q If you received a request for that, how would
5 you clear that so that the excess water could be released
6 across the spillway?

7 A I would call the supervisor of the power plant.

8 Q Is this the only occasion you're aware of where
9 a request was made to go beyond the operational limits in
10 the operating manual?

11 A Yes.

12 Q Did you hear of any other instances?

13 A No.

14 Q Didn't hear anybody down at Bagnell facility
15 talking about, Somebody wants me to do this or that and I
16 shouldn't sure to do it?

17 A No.

18 MR. REED: That's all.

19 JUDGE DALE: Thank you. Mr. Mills?

20 MR. MILLS: Thank you.

21 CROSS-EXAMINATION

22 BY MR. MILLS:

23 Q Good afternoon, Mr. Mentel. My name is Lewis
24 Mills. I represent the Office of Public Counsel in this
25 proceeding. I just have a -- a handful of questions for

1 you.

2 On -- on your instrumentation at Bagnell, I
3 think you testified that you generally devoted two screens
4 to -- to Taum Sauk; is that correct?

5 A Correct.

6 Q And what was on each screen, generally?

7 A Generally, we had a level indicating screen on,
8 and we had a generating screen on.

9 Q Okay. So one screen would show the level at
10 both the upper and lower reservoirs; is that correct?

11 A Correct.

12 Q And the other screen would show in terms of
13 generation what kind of information?

14 A Our permissive to generate, our starts and
15 stops.

16 Q So would that be times?

17 A No. Just an ability to start and stop the
18 generator from that screen.

19 Q Okay. So how -- how big a screen is that?

20 A They're approximately -- I believe 20 to 22
21 inches.

22 Q Okay. And describe for me what the permissives
23 look like on the screen.

24 A The generating permissives are two little round,
25 red balls.

1 Q So you basically are trying to click on one or
2 click on the other?

3 A If we have those permissives, we can click on a
4 Gen. start.

5 Q Okay. And I think you said you had the ability
6 to show information on up to three screens for Taum Sauk;
7 is that correct?

8 A Yes. I believe at that time, we did.

9 Q Okay. And what other kinds of information do
10 you show?

11 A Not any extra information. Just if we needed an
12 additional screen for any reason.

13 Q Okay. Could you show, for example, oil pressure
14 at the turbines?

15 A I don't believe it went into that detail. But
16 it showed all -- showed our temperatures, our megawatts,
17 things like that. I don't remember the oil pressure.

18 Q And the turbines were where?

19 A At the generator.

20 Q Okay. Now, in terms of alarms, were there any
21 alarms associated with the Taum Sauk facility that would
22 go off at Bagnell?

23 A Yes.

24 Q What -- what alarms would go off?

25 A There were numerous alarms.

1 Q Vibration on the turbines? Would that generate
2 an alarm?

3 A Yes.

4 Q The high probe, the high warrick probe in the
5 upper reservoir, would that generate a lot?

6 A Yes.

7 Q The high-high probe, would that also generate an
8 alarm?

9 A Yes.

10 Q How about the low probes? Either of those?

11 A Yes.

12 Q Okay. Now, are all of those alarms the same
13 alarm? Does it sound the same to you in the control
14 facility at Bagnell?

15 A Yes.

16 Q Okay. And is it just sort of a loud buzzer or
17 something like that?

18 A There's three different systems. We know the
19 sound for each one. So there would be a sound for Osage,
20 a sound for Kiakuck and a sound for Taum Sauk.

21 Q Okay. But in any event, Taum Sauk would
22 generate the same noise?

23 A Correct.

24 Q Okay. And just -- I named -- I named a few
25 alarms. Are there a lot more alarms than the ones that

1 we've gone through already?

2 A Yes. I wouldn't even know right offhand -- I
3 mean, I know them. But, I mean, until we get them --
4 until we look at them, I mean, there's numerous alarms.

5 Q And how often would the alarms go off from Taum
6 Sauk?

7 A Not a lot.

8 Q Okay. Now, with respect to the -- to the low
9 and the low-low warrick probes, were there problems within
10 a few months after the -- after the probes were installed
11 on your shifts that those would generate false trips?

12 A I'm a little confused at this -- the question.

13 Q Okay. The -- the low-low -- the low and the
14 low-low probes were designed -- well, you tell me. Do you
15 know what they were designed for?

16 A Yes. There was a sign for -- to tell you when
17 the upper reservoir was low for any reason or that we
18 couldn't generate that there was -- we were out of water.

19 Q So they were set below the normal draw-down
20 level; is that correct?

21 A I believe right -- yeah. Right at it.

22 Q Okay. So if the -- the low -- is it your
23 understanding that the low-low probe was the lowest of the
24 two?

25 A Correct.

1 Q Okay. So if the low probe got out of the water,
2 what would happen?

3 A I assume it would alarm.

4 Q That never -- that never happened?

5 A Not for the low side, no.

6 Q So you never heard an alarm from the low-low
7 probe?

8 A No.

9 Q Or the low-low probe?

10 A No.

11 Q Would they also auto shut-off the pumps?

12 A Yes.

13 Q At the same time the alarm went off?

14 A Yes.

15 Q Okay. In your experience, that never happened?

16 A I need to clarify something.

17 Q Please.

18 A We're on the pump cycle, and we're looking at a
19 low probe instead of a high probe.

20 Q No. We're on the Gen. cycle.

21 A Okay. I'm sorry.

22 Q On the Gen. cycle, I'm talking about the low
23 probes. Did they ever false trip on the Gen. cycle?

24 A No.

25 Q Okay. Did they ever legitimately trip such that

1 you got an alarm from them and an automatic shut-off from
2 them?

3 A The generators?

4 Q The low-low probes when you're in the generating
5 cycle.

6 A No.

7 Q Okay. So in your experience, what -- over the
8 -- well, the -- those probes were installed when?

9 A I don't know.

10 Q But there was a time when the entire system was
11 based on relays rather than these probes; is that correct?

12 A Yes.

13 Q Okay.

14 A I mean, I think so.

15 Q Okay. And -- and -- are you aware that at the
16 time the liner was installed that the instrumentation
17 system was changed?

18 A Yes.

19 Q Okay. So from the -- from the time that the
20 liner was installed until the reservoir breached, never,
21 in your experience, did you ever get an alarm or an auto
22 shut-off from either of the low or the low-low probes?

23 A No.

24 Q Do you know if on the opposite shift from when
25 you weren't there, do you know whether that happened?

1 A It was never logged.

2 Q You've read all the logs?

3 A We -- we read the day before logs usually. I

4 mean, we don't sit down and read all the logs, but we keep

5 track of our logs.

6 Q Okay. Now, are you -- are you familiar with the

7 set up of the low and the low-low probes and the high and

8 the high-high probes as to whether they were -- they were

9 at one point set in series and at one point set at

10 parallel?

11 A No.

12 Q In your training as a Hydro Plant Operator or

13 Hydro Plant Technician, do you need to learn how the

14 instrumentation is set up and how it functions in order to

15 be able to operate the plants?

16 A No.

17 Q Okay. So from -- from your perspective sitting

18 in the control room at Bagnell, did you see a change in

19 the data reported to you when the liner was installed and

20 the instrumentation was changed?

21 A No.

22 Q So from your perspective, it all looked the

23 same?

24 A Correct.

25 Q And the alarms were the same?

1 A Yes.

2 Q Okay. Were you aware of a discussion in the
3 fall of 2005 about changing the software or changing the
4 instrumentation package so that you would be seeing
5 different screens?

6 A No.

7 Q What -- what is the software package that
8 reports the information to you at Bagnell from Taum Sauk?

9 A I believe now it's Wonder Ware.

10 Q You said now it's Wonder Ware. Was it something
11 else recently?

12 A No. It was recently Wonder Ware. I mean, that
13 morning, it was two different screens, an LDS, Load
14 Dispatch System, and, also, we were running Wonder Ware.

15 Q And how long have you been running Wonder Ware
16 -- had you been running Wonder Ware?

17 A Several months.

18 Q So it was relatively new at the time of the
19 breach?

20 A Yes.

21 Q All right. And -- and what -- from your
22 standpoint of running the plant from Bagnell, what
23 difference did it make when they changed to Wonder Ware?

24 A Just had a different look. It had the same
25 information.

1 Q So you still had two graphs, two numbers, two
2 buttons; is that correct?

3 A Correct.

4 Q Okay. And in what sense was it a different
5 look?

6 A The formatting was just a little different on
7 the screens. It had a gray background instead of black.
8 A little extra information possibly on there. Not much.
9 I think it was pretty much identical. It was just printed
10 different?

11 Q Okay. What was the little extra information?

12 A There was just some upgrade -- I shouldn't even
13 -- I don't know.

14 Q Okay. You cannot -- you don't recall exactly
15 what information was different?

16 A No, I don't.

17 Q Okay. And do you know what drove the change to
18 -- to move the system to Wonder Ware?

19 A No.

20 Q You weren't consulted before or after?

21 A No.

22 Q Were you trained on -- on how things would be
23 different using Wonder Ware?

24 A Yes. We were trained on Wonder Ware.

25 Q And what did that training involve?

1 A I can't remember exactly, but we went through
2 the training manual. It was a formal training.

3 Q Okay. Now, in terms of -- and I'm not sure I
4 understand your answer. The -- the night that there was
5 an overtopping in late September, I think your answer to
6 Mr. Reed was you were on shift, but you weren't working?
7 Is that -- is that what you told him?

8 A I wasn't working when that particular -- I
9 wasn't working on that shift. So, basically, I was not
10 present at the power plant.

11 Q Okay. So it was -- it happened during the shift
12 opposite from when you were working?

13 A Correct.

14 Q Okay. And so that was -- what's a normal shift
15 at Bagnell?

16 A Oh, seven to three, three to eleven, eleven to
17 seven.

18 Q Okay. So that call would have come in on the --
19 the -- the seven to three shift; is that correct?

20 A The September?

21 Q Yes.

22 A I don't know.

23 Q Okay. What shift were you working then?

24 A I don't know.

25 Q Okay. When -- did you -- did you hear anything

1 about that incident when you came to work following it?

2 A Yes.

3 Q What did you hear, and what did you have to do
4 in response?

5 A We just heard that they had a wind problem and
6 that it had overtopped -- had blown some water off the
7 top. That's all I've heard.

8 Q And at that point, were you told to not fill the
9 reservoir so full?

10 A Not at that point that I know of.

11 Q Okay. So -- so after that incident, you were
12 still operating -- routinely filling the reservoir to
13 1596?

14 A I don't know when it was changed. It could have
15 been changed immediately. I don't know if I had some days
16 off or not. They changed pretty quick. I don't know it
17 was exactly on that shift.

18 Q Okay. But shortly after that, it was changed
19 from 1594 to 1596?

20 A Correct.

21 Q Okay. Now, I believe you testified in response
22 to Mr. -- to Mr. Reed's question that you don't recall the
23 level to which you would normally fill before the liner,
24 correct?

25 A Not exactly, no.

1 Q Okay. Do you recall whether it was higher or
2 lower than the 1596 that you used after the liner?

3 A I believe the old level was -- I believe I
4 stated earlier it was 1589 in the winter and I believe
5 1596 in the summer. And I believe that was before the
6 liner, also.

7 Q And after the liner, was there any difference to
8 the levels that you would operate to in summer and winter?

9 A I believe they went to 1596 in the winter, also.

10 Q They got rid of the summer differential once the
11 liner was installed?

12 A As far as I can recall. Yes.

13 Q And do you recall why the level was lower in the
14 winter?

15 A They used to tell us because of the freezing.
16 They were worried about expansion on the upper parapet
17 wall.

18 Q Okay. So they -- they -- they dropped the level
19 of the water below the parapet wall in the middle of the
20 wintertime?

21 A Yes. I believe it was very close to -- to that.

22 Q Okay. Now, as you're watching the -- either the
23 glass or the -- the digital read-out of the water level on
24 the upper reservoir from Bagnell, if you follow it to
25 whatever level and then the pumps are shut off, does the

1 level fluctuate at all once it's set and you're not
2 pumping either in or out?

3 A It takes a little time for the pumps to settle
4 down after a stop. So you could gain slightly after a
5 stop one or two-tenths.

6 Q So it would go up?

7 A After the initial stop. But it took several
8 minutes for the generator actually to stop pumping.

9 Q Okay. And -- and once that settles out after a
10 few minutes, does the level just stay the same for -- for
11 hours?

12 A It was pretty steady. Yes.

13 Q How -- how big is a tenth of a foot in inches?

14 A Well, let me see. A twelfth would be an inch,
15 so it would be a little over an inch.

16 Q 1.2 inches; is that correct?

17 A Yes.

18 Q That's not much of a ripple, is it?

19 A No.

20 Q So if your instrumentation reads down to a tenth
21 of a foot, wouldn't you like to see it fluctuate if
22 there's any kind of wave action or wind action at all?

23 A It did fluctuate a time or two, but not over a
24 time or two.

25 Q So two-tenths would be not even quite 2 and a

1 half inches. Never fluctuated more than two-tenths?

2 A No. Not that I can remember.

3 Q But you would see it fluctuate up to two-tenths,
4 correct?

5 A Correct.

6 Q Okay. Did it drop over time?

7 A Before the -- before the lining or after the
8 lining?

9 Q Well, both. Before the lining?

10 A Yes.

11 Q Okay. And how much would it drop in that
12 particular period of time?

13 A I can't recall.

14 Q Okay. How about after the liner?

15 A Pretty steady.

16 Q Okay. Much less of a drop?

17 A Correct.

18 Q Now, if, for example, you would routinely fill
19 the upper reservoir, say, to -- say, to 1594, would the --
20 would every time you filled the upper reservoir to 1594,
21 would the lower reservoir be at exactly the same level?

22 A Not all the time.

23 Q And why is that?

24 A Well, because there would could be a flood on
25 the Black River which would put excess water in the lower.

1 Q So depending on the level of the Black River,
2 the lower reservoir doesn't march in lock -- lock-step
3 with the upper reservoir; is that correct?

4 A Correct.

5 Q Okay. Now, in terms of the call logs that you
6 keep as a Hydro Plant Operator, do you log all the calls
7 you get from Dispatchers?

8 A No.

9 Q Which ones do you log?

10 A We don't routinely log calls from the
11 Dispatcher. We routinely log had -- let me rephrase that.
12 We -- we log every start and stop.

13 Q Okay.

14 A So I guess we do log them from the Dispatcher.
15 I didn't quite understand that.

16 Q Okay. So if you get a call from the Dispatcher
17 that says, Go ahead and start up Taum Sauk two pumps, then
18 you would log that?

19 A Yes. We would call -- we would put down the
20 time that they requested it and the time the generator
21 actually started generating.

22 Q Okay. And how -- how closely do you log the
23 time? I mean, are you within a minute? Or does it --
24 have you got that accurate?

25 A I'd say within a minute or two.

1 Q Okay. So, for example, in your Highway Patrol
2 interview, when you said at approximately 05:12 hours, the
3 Power Dispatcher in St. Louis requested another pump to be
4 shut off, that's very close to the actual time, within a
5 minute or two?

6 A Yes.

7 Q Okay. Now, in terms of the way -- well, I'll ask
8 this -- if you know, the way the instrumentation is set
9 up. Is the instrumentation set up so that it shuts off
10 either Pump 1 or Pump 2 first when you're filling? Is it
11 always one and then the other?

12 A No. It can be changed.

13 Q Okay. Does it have to be manually changed, or
14 is it random?

15 A No. It's manually changed.

16 Q Okay. And which one -- at the time of the
17 breach, which one was set to -- to shut off first?

18 A No. 2.

19 Q And why is that as opposed to No. 1?

20 A No particular reason.

21 Q Was there a time before the breach that -- that
22 Pump 1 was set to shut off first?

23 A Yes.

24 Q And when was that changed?

25 A I don't recall.

1 Q Okay. Were they changed regularly?

2 A At one time, they tried to keep hours the same
3 on both pumps so we would change it.

4 Q Okay. So it's to try and balance the run time
5 so you don't have one that runs an extra half an hour or
6 hour a day and it accumulates; is that correct?

7 A Correct.

8 Q Now, in terms of the -- the morning of the
9 breach when you got a call to -- to shut down the second
10 pump, what was the level that you were reading when you
11 got that call in the upper reservoir?

12 A I believe it was if 1593.7.

13 Q Okay. And is there -- is the screen at
14 st. Louis always the same as the screen at Bagnell?

15 A I don't know that.

16 Q Are you aware of any discrepancies?

17 A No.

18 Q Is it your understanding that they should read
19 the same?

20 A Yes.

21 Q Okay. So if Mr. Bolding testified that his
22 screen said 1593.9 and yours said 1593.7, what would --
23 how would you account for that discrepancy?

24 A It could have been -- I don't know. I assume
25 they read the same. Depends -- you know, I believe it was

1 around 1593.7.

2 Q So you --

3 A That was my understanding. I mean, that's what
4 I put down that morning.

5 Q Okay. You're not -- you're not confident that
6 you remember that correctly?

7 A No.

8 Q Okay. Regardless of when it was 1593.7 or
9 1593.9, have you ever gotten a call to -- to manually stop
10 that close to the auto stop level?

11 A Yes.

12 Q And how often?

13 A Rare occasions.

14 Q Okay. How rare?

15 A I can't tell you. I wouldn't know that. I
16 mean, it wasn't an every-day occurrence.

17 Q Would that show up in your -- in your logs?

18 A Yes.

19 Q And are those logs maintained for years at a
20 time that you know of?

21 A As far as I know, yes. We date them and we keep
22 them.

23 Q Okay. Now, the dispatcher's log in St. Louis is
24 an electronic log. For your log, did you type that in
25 electronically in the computer system, or did you enter it

1 manually on paper?

2 A On paper.

3 MR. MILLS: That's all the questions I have.

4 Thank you.

5 JUDGE DALE: DNR?

6 MR. SCHAEFER: Thank you, Judge.

7 CROSS-EXAMINATION

8 BY MR. SCHAEFER:

9 Q Mr. Mentel, are you familiar that there are
10 three pressure transducers in the upper reservoir that
11 actually supply the information to the water level
12 indicators that you're reading on your screen?

13 A No.

14 Q And is that because you don't have any
15 understanding of what it is that provides that level
16 information?

17 A Not mech -- not mechanically, no.

18 Q Okay. Were you ever told in approximately
19 October of 2005 that the pressure transducers that
20 actually worked to supply that information to your screen
21 regarding water levels, that those were malfunctioning?

22 A No.

23 Q As you sit here today, do you now know that that
24 was the case?

25 A Yes.

1 Q How did you find that out?

2 A I think it was discussed later.

3 Q And I don't want any conversations that you may
4 have with an attorney, but, specifically, who did you
5 discuss that with?

6 A Probably the other operators.

7 Q Okay. Did any of those other operators indicate
8 to you that they knew that those pressure transducers were
9 malfunctioning?

10 A No.

11 Q Now, you were the person, were you not, that
12 actually flipped the switch, for lack of a better term, to
13 turn the pumps on and off for the upper reservoir,
14 correct?

15 A Yes. That morning.

16 Q Okay. Whenever you were on duty, that was the
17 case, correct?

18 A Yes.

19 Q In doing your job, would it be important for you
20 to know the devices that provide the information that
21 you're relying on in determining what the water level is,
22 would it be important for you to know doing your job that
23 these devices were malfunctioning?

24 A I don't know how to answer that. No, it
25 wouldn't have -- it wouldn't to me.

1 Q So it made no difference to you if the
2 information you were seeing on the water level indicating
3 gauges was accurate or not?

4 A No. Oh, no. I definitely want them to be
5 accurate. But I wasn't aware of any malfunction, so --

6 Q Okay. And that wasn't my question. I
7 understand that you testified you were not aware of the
8 malfunction. My question was a little bit different.

9 My question was, would it be important for you
10 to know that those devices were malfunctioning?

11 A I wouldn't have changed my operational procedure
12 that morning.

13 Q And, again, that's not my question.

14 A Okay. I'm sorry.

15 Q My question to you is, in performing your job
16 for Ameren -- and -- and let me step back a little bit.
17 In doing your job, you had to look at the water level
18 indication information, didn't you?

19 A Yes.

20 Q And was it important to you that that
21 information was correct?

22 A Yes.

23 Q So would it have been important to you to know
24 that the devices that provide that information were
25 malfunctioning?

1 A Yes.

2 Q Why?

3 A I -- I don't know how to answer that question.
4 My procedures wouldn't have changed that morning because I
5 -- I understood that they were -- they were, in fact, true
6 readings.

7 Q Okay. Let's say that the information that you
8 had, for example, in the fall of 2005 was that the devices
9 were not operating correctly and were off by a number of
10 feet, but that number of feet was unknown.

11 Would that affect -- would that have affected
12 how you operated the system?

13 A Yes.

14 Q How?

15 A I probably would -- I probably would have went
16 to supervision and then stated that I would not operate
17 under those conditions.

18 Q Are you also aware of the -- the safety shut-off
19 devices that are on the upper reservoir?

20 A Yes.

21 Q And do you understand those to be warrick
22 probes?

23 A Yes.

24 Q And you understand that there's a high and
25 high-high probe?

1 A Yes.

2 Q Did you understand that up until December 14th
3 of 2005? Let me restate the question. Did you know that
4 before December 14, 2005?

5 A Yes.

6 Q What was your understanding of how those probes
7 worked?

8 A My understanding was we'd get a high and a
9 high-high and then a shut-down.

10 Q Okay. And would that actually result in an --
11 if one of those probes, the high or the high-high, was
12 actually triggered, would that result in -- in an alarm
13 that you would see on your monitor?

14 A Yes.

15 Q Before December 14th, 2005, were you aware that
16 the high and the high-high probes were moved in such a
17 manner that they were no longer effective or operative?

18 A No.

19 Q As you sit here today, do you know that to be
20 the case?

21 A No.

22 Q You don't know that?

23 A No.

24 Q Let me ask you this: There's been a series of
25 -- of reports that have been put out by various entities.

1 One of them was a report that was put out by Mr. Rizzo and
2 his group. It's commonly referred to as the Rizzo report.
3 Have you seen that report?

4 A No.

5 Q And how about -- FERC staff put out a report.
6 Have you seen that report?

7 A No.

8 Q And there was a FERC Independent Panel that was
9 put together that put out their own report. Have you ever
10 seen that report?

11 A No.

12 Q Did you have an understanding of where in
13 relation to the operating level for the upper reservoir in
14 relation to that where those warrick probes were actually
15 set so that they would trigger?

16 A The operating manual said 1597.

17 Q And I believe -- didn't you actually tell the
18 Highway Patrol that there was a note taped to the console
19 at the Osage plant where you worked that the high,
20 high-high probe was set at 1596?

21 A I believe that was the high-high.

22 Q High-high. Excuse me.

23 A Oh, I'm -- I believe that was the high. The
24 high-high was 1596.5, possibly.

25 Q So the high was 1596, and the high-high was

1 1596.5?

2 A As much as I can recollect.

3 Q Okay. Prior to December 14th, 2005, did you
4 have any reason to believe that that was not the case?

5 A No.

6 Q In performing your functions as the -- as the
7 guy turning the switch on and off, did you rely on that
8 information?

9 A Yes.

10 Q And prior to December 14th, did anyone with
11 Ameren or any entity of Ameren ever tell you that that was
12 not the case?

13 A No.

14 Q Would it have been important to you in your job
15 to know that the high and the high-high probe had been
16 moved to a level where they would not trigger?

17 A Yes.

18 Q Why?

19 A Because that was the last and final auto
20 shutdown.

21 Q Mr. Mentel, could you take a look at Exhibit 48?
22 I think you still have it in front of you. I hope you do.
23 That's -- that's your interview notes from the Highway
24 Patrol. Do you have that with you?

25 A Yes.

1 Q I don't know if yours is the same as mine. Mine
2 actually has three pages. The -- my first page ends with
3 paragraph 4, which carries over onto the second page. Is
4 that the case with yours?

5 A Yes.

6 Q Okay. If you go to that second page and you go
7 about halfway down on that -- what's left of paragraph 4
8 there, there's a sentence that says, The skate alarm that
9 used to be connected to the float went off. Do you see
10 that?

11 A Yes.

12 Q Can you tell me -- what are you referring to
13 there, that the skate alarm that used to be connected to
14 the float went off?

15 A It came on the LDS screen, the Load Dispatch
16 Screen. It was a -- I believe it was an alarm from the
17 old skate before the liner was installed.

18 Q Okay. Let's step back a little bit. And I
19 think you testified previously a little bit about this.
20 Was there a separate control system that existed -- let me
21 restate that.

22 Was there a different type of control system
23 that existed before the liner was put in in 2004 as
24 opposed to after 2004?

25 A I'm not quite sure I understand the question.

1 Q Okay. Are you aware that when they put the
2 liner in in 2004, they actually put in a different type of
3 control system? They put in the piezometers and the
4 warrick probes?

5 A At -- at the line -- time the liner was
6 installed? Is that what you're asking?

7 Q Yes.

8 A I believe I knew that they had got rid of the
9 skate system and gone on to a different type.

10 Q What did you think the skating arm was?

11 A I thought it was possibly an alarm that they
12 didn't take out of the LDS. Sometimes things like that
13 might get overlooked. I don't know.

14 Q Okay. What do you mean an alarm that they
15 didn't take out of the LDS?

16 A A possible alarm that wasn't changed, but it was
17 only on the LDS screen. I didn't know why that particular
18 alarm came in on that morning.

19 Q Okay. What did that alarm mean to you?

20 A It meant that the skate was low, that the upper
21 -- in the upper reservoir on the LDS -- I believe -- I
22 can't remember exactly what the alarm stated because we
23 hadn't used that for a while.

24 It wasn't an alarm that came in at all. I mean,
25 I -- it was just a -- another alarm that came in that

1 possibly showed me that we had problems.

2 Q Okay. But it -- first of all, what did you
3 actually see on the screen that morning on the 14th in
4 regard to that alarm? How did you know there was an alarm
5 going off?

6 A We get an audible, and then we look at the
7 screen to see what alarms came in.

8 Q Okay. So were you -- so that first came to your
9 attention because you heard a sound?

10 A Yes.

11 Q Okay. And then that caused you to look at the
12 screen, correct?

13 A Correct.

14 Q And -- and what was the information that you saw
15 on the screen that you thought was related to the audible
16 sound?

17 A I believe on that particular alarm, I -- I can't
18 remember the exact nomenclature. It was something skate
19 -- I'm going truthful. I can't remember the exact
20 nomenclature.

21 Q Okay. And by nomenclature, you mean the words
22 that you're actually seeing on the screen, correct?

23 A Exactly.

24 Q But you think the word "skate" was somewhere in
25 there?

1 A I believe that to be true, yes.

2 Q Okay. Let me ask you this. When an alarm like
3 that goes off, is there -- is there a way to go back into
4 the system and actually see what you were seeing on the
5 liner?

6 A I'm not too sure. That alarm probably stayed
7 there. I'm not too sure on the load dispatch system if
8 there is.

9 Q Okay. Now, when you saw this -- and I
10 understand you can't remember exactly what it said. But
11 what did that mean to you? Did you think there was too
12 much water in the reservoir? Did you think there was too
13 little water in the reservoir? What did that mean to you?

14 A That particular alarm came in after I knew that
15 there was a -- a problem with the reading of the upper
16 reservoir.

17 Q And how did -- how did you know that there was
18 already a problem with the reading?

19 A My generate -- we lost generate permissives.

20 Q Okay. You talked a little bit about what
21 permissives were. But, specifically, what was it that you
22 were seeing or not seeing on that screen that caused you
23 to conclude that you had lost generating permissives?

24 A First, you get an audible. Then there's two
25 little round balls on a screen on each generator. They

1 have to be lit to let you know that you have Gen.

2 permissives, that you have -- that you can go ahead and
3 start that generator with that screen.

4 Q Okay. So if I understand correctly, you -- you
5 first received an alarm on losing the permissive. And
6 then you heard the alarm for something that was related to
7 the skate; is that correct?

8 A Correct.

9 Q Okay. Now, when you heard the alarm on losing
10 permissives, at that point, did you have an understanding
11 if there was too much water in the reservoir or too little
12 water in the reservoir?

13 A Yes.

14 Q And what was your understanding?

15 A That I had a low reading.

16 Q And did you, in fact, look at the level water
17 indicators to see what the reading was?

18 A Yes.

19 Q And what was it telling you?

20 A I can't remember the exact. But it was low.

21 Q Okay. Is -- is that the first point that you
22 realized from the water indicator level that there was too
23 low of water in the reservoir?

24 A Yes.

25 Q Had you been following -- as you were pumping

1 the facility up, had you been following -- let me step
2 back. Is there a graph that you looked at to actually
3 watch the graph go up in a linear fashion as the water was
4 filling the reservoir?

5 A I wasn't watching the graph that morning.

6 Q Okay. Was somebody else watching the graph that
7 morning?

8 A No. I was watching the upper level indications.

9 Q I believe you testified that sometimes there are
10 two people actually working in the Operations Center, and
11 sometimes there's only one; is that correct?

12 A Correct.

13 Q On the morning of December 14th, 2005, when it
14 failed, were there two people working, or was there just
15 one?

16 A One.

17 Q And that was one was -- was you, correct?

18 A Correct.

19 Q Okay. When you're looking at your monitor and
20 you're watching the reservoir fill up, can you watch the
21 graph and watch the water level at the same time, or do
22 you have to choose one or the other?

23 A We can watch them both at the same time.

24 Q Okay. So when you say that you weren't watching
25 the graph, is it you just weren't paying attention to it,

1 or you didn't have it pulled up on the screen?

2 A It was pulled up. But it wasn't my main
3 concern.

4 Q Okay. Were you watching the water level --
5 aside from the graph, were you watching the water level
6 indicators numbers as the reservoir was going up?

7 A Yes.

8 Q Prior to getting the alarm that you did not have
9 the permissive, generating permissive, did you see
10 anything in the numbers that you were looking at that
11 indicated to you there was a problem?

12 A No.

13 Q So when you received the alarm on the
14 permissives, did you check the level numbers?

15 A Yes.

16 Q And at that point -- and I may have asked you
17 this. Do you recall at that point what they read?

18 A I can't remember exactly what -- what the upper
19 read. I know it was low.

20 Q That's right. It was lower than you expected it
21 to be?

22 A Yes.

23 Q Is it possible that the skate alarm that you
24 heard and then saw the information that that was actually
25 attached to the low or the low-low probe?

1 A To be truthfully (sic), I don't know what it was
2 attached to.

3 Q Okay. Prior to December 14th, 2005, were you
4 aware that the top of the parapet wall around the upper
5 reservoir was -- that -- that the top points of the wall
6 were not level?

7 A No.

8 Q Would that have been important information to
9 you to know?

10 A I don't -- I don't really know. Yes, I guess.
11 But I -- I don't -- I don't think so. No.

12 Q Okay. If there was a disparity or a difference
13 between where the gauges were that were providing you
14 information and other parts of the wall which may have
15 been much lower than that, that wouldn't have been
16 important information to you?

17 A Yes, it would.

18 Q And why?

19 A Because then the upper probes possibly weren't
20 at the right place.

21 Q When you got the call from the dispatcher on the
22 morning of December 14th -- and I believe that was
23 Mr. Bolding, correct, who was the Dispatcher at the time?

24 A I don't know that for sure.

25 Q Okay. But you did get a call from Dispatcher

1 that morning to manually shut off the last remaining pump
2 prior to it going off automatically, correct?

3 A Correct.

4 Q Did that person tell you why they wanted you to
5 manually shut that off?

6 A No.

7 Q Prior to December 14th, 2005, was there ever a
8 time when you were filling up the upper reservoir when the
9 information that you knew from water being pumped into the
10 facility and the information you were getting on an actual
11 water level readings that -- that those two things just
12 didn't seem to go together?

13 A No.

14 Q I can't remember if you were asked this. You
15 were asked some questions about the overtopping on
16 September 25th. Other than September 25th, are you aware
17 of any time that water came over the top of the parapet
18 wall on the upper reservoir?

19 A No.

20 Q How often did you have communications with --
21 with the Taum Sauk either Manager or Superintendent?

22 A Sometimes, not at all. Only when we needed him,
23 we'd call him.

24 Q Okay. And --

25 A Or if he had anything to fax us to tell us.

1 Q What would be the circumstances where you'd need
2 to tell him something?

3 A Well, that morning, definitely.

4 Q Okay. Where you knew that something --
5 something big had happened?

6 A It was definitely something that I would
7 immediately look into.

8 Q Other than that, what are some of the other
9 things that would talk to the Plant Superintendent or
10 Manager about? And I use those terms interchangeably
11 because it's my understanding at some point there was a
12 Manager at some point.

13 A Correct. If we had any problems with the
14 generating, once we get the generator to start, if we had
15 a problem with the sequence where the generator wasn't
16 coming on right, taking longer than normal, something on
17 the screen didn't look right as far as the generator or
18 the pump was concerned.

19 Q Okay. Did that happen very often?

20 A No.

21 MR. SCHAEFER: I don't have any further
22 questions, Judge.

23 JUDGE DALE: Thank you. Before we begin the
24 questions from the Bench, let's take a ten-minute break.
25 Off the record, please.

1 (Break in proceedings.)

2 JUDGE DALE: Let's go back on the record.

3 COMMISSIONER APPLING: Yeah. Still out to
4 lunch.

5 JUDGE DALE: Commissioner Gaw isn't back yet,
6 but Commissioner Appling says he just has a few questions,
7 so we're going to let him go ahead and ask his questions.

8 CROSS-EXAMINATION

9 BY COMMISSIONER APPLING:

10 Q Keith, how are you doing?

11 A Fine.

12 Q Are you holding up?

13 A Yes.

14 Q Okay. A couple of questions. I don't --
15 usually, I do a lot of reading. This is your statement,
16 the interview or whatever you want it call it from the
17 Highway Patrol, the statement that you made to the Highway
18 Patrol sometime ago when they -- when they talked to you.

19 Is there anything on this here that you're
20 saying today that you're thinking is different from this
21 piece of paper here from your questions from the Highway
22 Patrol?

23 A Not after I made the changes, no.

24 Q The last question, the only question I'm going
25 to ask you, but I just want you to kind of sit back in

1 your chair and think about it because there's one question
2 and one question only.

3 But I want to tell you a little bitty one-minute
4 story before I -- before I ask you the question. I was in
5 combat and used to have incidents. And then for a little
6 while after that, I would run that through my mind and try
7 to determine if I lost men in the battle, just for my own
8 clarification, mainly for the fact of not making the
9 mistake again, if I could prevent it.

10 So my question to you, since you've had a chance
11 to think about this, what, in your mind, caused this
12 incident? Was it multiple? One thing? Was it A not
13 talking to B? In your, in your own mind, how about
14 helping me out, try to help me understand? What was the
15 one thing in your mind that caused this incident?

16 A That's -- that's hard for me to come up with.

17 Q Was it a multiple --

18 A I think it was a multiple. I -- I don't know
19 that for sure. Basically, I had false indication that
20 morning. I didn't know I had false indication. If I
21 wouldn't have had false indication, regardless of what
22 happened, it would have never happened that morning.

23 Q Right.

24 A Because me, as eyes and operator, would have
25 taken care of it long before it went any further. I have

1 mulled it over in my mind. I can't think of anything that
2 I would have done different that morning.

3 Q I believe that. And I would like to also add
4 one other thing. What -- in looking at all of this, what
5 this incident is causing Ameren all the time, all the
6 energy and everything, what do you take away from this
7 incident that will be helpful to you -- you and Ameren in
8 the future?

9 A I don't know about Ameren. I'm retired.

10 Q Well --

11 A What I'm going to take away from it is that --
12 that I'm sure glad that morning that we didn't hurt
13 anybody.

14 Q Well, thank you for saying that because I -- I
15 have said the same thing to the CEO of Ameren, that it's
16 -- it's a miracle that -- that no one -- that this
17 incident didn't cause any deaths.

18 But thank you very much for being here and
19 appreciate your time. And happy hunting in retirement.
20 Okay?

21 A Thank you.

22 JUDGE DALE: Commissioner Gaw?

23 COMMISSIONER GAW: Thank you.

24 CROSS-EXAMINATION

25 BY COMMISSIONER GAW:

1 Q Good afternoon, sir. Do you want to take a
2 minute?
3 A I'm fine.
4 Q Well, I want to -- I want to make sure I got --
5 tell me how to pronounce your last name.
6 A Mentel. Mentel. Either one.
7 Q Which do you prefer?
8 A Mentel.
9 Q Mentel?
10 A Yeah.
11 Q Okay. All right. Well, have you got some --
12 some people that are in the family call it one thing and
13 some people another?
14 A Yes.
15 Q That's -- that's -- that sounds familiar. My
16 name just gets mispronounced. It doesn't -- and even by
17 -- even by our family, so it doesn't make any difference.
18 So let me ask -- let me ask you, generally, I
19 want to go through a little bit with you on just general
20 processes, procedures that were in writing in the
21 operator's manual. Do you -- you're familiar with that,
22 I'm sure, right?
23 A Yes.
24 Q There was one kept down there in your all's
25 offices at Bagnell?

1 A Correct.

2 COMMISSIONER GAW: Judge, did we still have that
3 copy we were using earlier sitting somewhere over there?

4 JUDGE DALE: Should be.

5 COMMISSIONER GAW: There we go. Is that the
6 whole thing or --

7 JUDGE DALE: It's both sections. We clipped
8 them together.

9 Q (By Commissioner Gaw) Mr. Mentel, would you
10 look at that and tell me if that looks like that
11 operator's manual?

12 A Yes. I believe that's it.

13 Q All right. Now, is that usually kept in some
14 sort of a binder? This is just a copy that I've got here
15 that was supplied to us. But is that -- is that usually
16 kept in a binder or what kind of a form?

17 A It's in a binder.

18 Q Okay. And -- and does it sit somewhere -- I've
19 never been inside the operating room where you were. Is
20 that a big room? Small room?

21 A Pretty big.

22 Q Okay.

23 A Not quite as big as this. Half as big as this.

24 Q Okay. And how many people are generally in it?
25 Depends, I suppose, on what time of day?

1 A Yes. Correct.

2 Q Give me an idea.

3 A During the day watch, there could be several

4 people in and out. On the off hours, three to eleven,

5 eleven to seven, weekends, holidays, could be one,

6 possibly two operators in there.

7 Q Okay. Where does this -- this room sit? Is it

8 -- is it close to the dam? Or where is it?

9 A It's inside the dam.

10 Q Inside. Okay. At Bagnell, right?

11 A Correct.

12 Q What -- what do you all call that place?

13 A Control room.

14 Q And is it -- the control room at Bagnell or at

15 Osage?

16 A We call it the Osage -- or Osage control room.

17 Q Osage control room. Okay. I -- I've been

18 calling it different things, and I wasn't sure which was

19 the right one according to your all's normal language.

20 Now, in this -- in this operating manual for

21 Taum Sauk, I want to go through a few of the places in

22 here that I -- that I read through and just mostly for

23 clarification's sake.

24 And, unfortunately, you have the only copy that

25 I have. And I've probably written on that one. The Judge

1 hopefully will straighten that out before we get done.

2 JUDGE DALE: We were hoping to find a clean
3 copy, but haven't yet.

4 Q (By Commissioner Gaw) But on -- down at the
5 bottom, there's a TS and then a -- a number on the pages,
6 right?

7 A Correct.

8 Q Does that sound -- stand for Taum Sauk and then
9 a page number in the operator's manual?

10 A Correct.

11 Q Okay. Look at 19 for me. And I hope I can find
12 the place I was without my copy.

13 COMMISSIONER GAW: Judge, this would be a lot
14 easier if I had my copy back.

15 Q (By Commissioner Gaw) Do you see anything on
16 there that -- that -- on 19 that talks about auto stop
17 could fail and keep pumping?

18 A Yes.

19 Q Okay. Tell me -- tell me what that's referring
20 to.

21 A Do you want me to read it?

22 Q If you want to. That would probably be clearer.

23 A Never let upper pool pump over 1596. Auto pump
24 could fail and keep on pumping.

25 Q Okay. And can you tell me generally -- first of

1 all, do you know when this particular page was last
2 updated?

3 A No, I don't.

4 Q Some of these pages seem to have a date on them,
5 and some of them don't. And this one, I don't see a -- a
6 date on either. So do you know or have any idea whether
7 or not this page was updated after the warrick probes were
8 placed in -- in the late fall, early winter of '04?

9 A I wouldn't know.

10 Q Were you -- are you told when the manual is
11 updated, generally?

12 A Yes.

13 Q Okay. Do you recall whether there were updates
14 made to this manual? And I'm talking about while you were
15 there, subsequent to the liner and the other improvements
16 being done in '04.

17 A I don't remember.

18 Q Okay. Well, in your perception of what that
19 sentence means that you just read -- and it sounds pretty
20 clear. But there is an assumption there that you
21 shouldn't just assume that those top probes are going to
22 do a shut-off, correct?

23 A Correct.

24 Q All right. And -- and maybe for -- so I don't
25 get away from this too far, there is a -- the concept that

1 -- that those -- those probes might fail, if it applied
2 prior to the liner being inserted, you're talking about
3 different probes than subsequent to the liner being put
4 in. Can you describe what those probes were again prior
5 to the liner?

6 A I understood that the warrick probes were
7 approximately the same type probes after the liner.

8 Q As they were before?

9 A Correct.

10 Q Okay. Did you have any information on -- on
11 where they were placed prior to the liner being installed?

12 A I believe so. I can't recall exactly when the
13 -- when the last shut-off -- that was -- would be a both
14 pump shut-off.

15 Q Okay.

16 A Exactly where they were set prior to that, I --
17 I can't recall right now.

18 Q And did those particular probes have an alarm
19 system and a shut-off on them?

20 A I believe we had a high and a high-high alarm,
21 and then the shut-off.

22 Q Okay. Did you ever see those go off?

23 A No.

24 Q Okay. Subsequent to the liner being installed,
25 did you have those high or high-high probes ever go off?

1 A No.

2 Q Okay. Not while you were on shift anyway; is

3 that -- is that what you were saying?

4 A Correct. Correct.

5 Q Okay. There are some references in here to a --

6 I think it's a Mr. Wallen in this operating manual from

7 time to time.

8 A Yes.

9 Q Do you -- who is that?

10 A I believe he was the -- he was -- he was the

11 Maintenance Supervisor at Taum Sauk.

12 Q Okay. Do you know when he left?

13 A I sure don't.

14 Q Okay. Would it have been -- who was Maintenance

15 Supervisor when you left your position?

16 A When I left my position, I believe Rick Cooper

17 was the only supervisor down there.

18 Q Okay. What about when -- just prior to the

19 breach? Would that have been the same answer?

20 A That would be Jeff Scott.

21 Q Jeff Scott. Okay. All right. So do you know

22 whether or not Jeff Scott's name was ever -- ever

23 substituted for Mr. Wallen's in this operating manual?

24 A I don't believe.

25 Q Okay. On page 20, TS-20, there's some reference

1 to station alarm. And it says, If urgent station alarm,
2 plant fire or plant flooding, alarm is received. Do you
3 see that?

4 A I haven't yet. But I'll --

5 Q It's right at the very top. Are you on 20 or
6 21?

7 A Oh, wait a minute. I'm sorry. I'm on 21. This
8 is back to back.

9 Q Yeah. I -- I did that, too, a while ago. If
10 you look at the top of 20 --

11 A Yes. I see it.

12 Q Okay. Tell me what that -- what that station
13 alarm is.

14 A Urgent station alarm would be something of a
15 type priority alarm in the power plant.

16 Q Okay. When it says plant flooding, is that --
17 do you know what that's -- what that's referring to?

18 A Yes.

19 Q Tell me what that means.

20 A If there would be any flooding inside the power
21 station itself.

22 Q Itself. Okay. Would a station alarm apply as a
23 designation for the -- for the upper high or high-high
24 warrick probes going off?

25 A I don't believe we'd get an urgent station

1 alarm. I believe we'd just get a high-high alarm.

2 Q Okay. And in that regard, on the high or
3 high-high warrick probes going off, are you certain that
4 there were alarms after the liner was in -- installed?

5 A I understood there were.

6 Q Who -- tell -- tell me why you had that
7 understanding.

8 A I was never told anything different.

9 Q Was that the case prior to the liner being
10 installed, that there were alarms?

11 A Yes.

12 Q Okay. And would it be fair to say -- I don't
13 want to characterize this incorrectly, but you tell me if
14 this is right or wrong or otherwise, that you assumed that
15 when they put in the liner that the alarms in regard to
16 how they operated would be the same?

17 A Correct.

18 Q Okay. So if that -- if that had not been the
19 case, do you -- would it be your understanding that
20 someone should have told you that?

21 A Yes.

22 Q Would that have been important to know?

23 A Yes.

24 Q Okay. And I -- this is probably a very basic
25 question, but why would that have been important to you?

1 A Because that's our last defense.

2 Q Okay.

3 A Other than the operator being there physically

4 taking the unit down.

5 Q Okay. And if the -- just in regard to your

6 practice in watching these things, how much do you depend

7 on those alarm systems as a -- as a safety net to what

8 you're doing?

9 A Not as much as you might think.

10 Q Okay.

11 A Because we watch it -- we watch that pump

12 continuously on pump-up.

13 Q Okay?

14 A And it would never -- if I would be at that

15 desk, it would never get that high.

16 Q Okay. And, of course, your information that you

17 have on your screen that you're referring to is entirely

18 off of those pressure gauges, right?

19 A Correct.

20 Q Okay. And -- and that you have to make an

21 assumption in regard to watching that that those numbers

22 are correct?

23 A Yes.

24 Q If, for some reason, this was a malfunction in

25 regard to that reading, how important would those alarms

1 then become on the warrick probes, the high and the
2 high-high?

3 A More important.

4 Q Okay. Would it be important that -- that those
5 alarms be audible?

6 A Yes.

7 Q Okay. You've mentioned -- you've talked about
8 the LDS terminal before, and there's a reference to it on
9 page 20. What -- what is that again?

10 A Load Dispatch System.

11 Q Okay. And just generally, what does that mean?

12 A It shows different screens. It shows that the
13 load dispatch system and the Power Dispatcher can also
14 look at that screen and they -- from downtown.

15 Q Okay. Now, that is -- is that on a different
16 screen than your -- the information that indicates what
17 the level of the reservoir is?

18 A It can be. There's also level indication on the
19 LDS.

20 Q There is?

21 A Yes.

22 Q Does it come from the same information source?
23 Do you know?

24 A I don't know.

25 Q Okay. Do the numbers always match on the two

1 screens?

2 A Not always. But always very close.

3 Q Okay. Do you know -- do you have any idea of
4 why they wouldn't match?

5 A Possibly, the software or something. I don't
6 know.

7 Q Did you observe them not matching prior to the
8 installation of the liner?

9 A Yes.

10 Q Okay. And afterwards?

11 A At times. Very, very slight difference.

12 Q Okay. Did you have permissives in regard to the
13 pump-up procedure as well as the generation procedure?

14 A At one time.

15 Q Just generally. I'm not talking about any
16 particular time. Were there such things in regard to
17 pumping up as there were on generation?

18 A Yes.

19 Q Okay. And did you ever see those permissives go
20 off?

21 A Yes.

22 Q Okay. And do you know, generally, what might
23 cause that to occur?

24 A It could be anything in the power plant, a
25 switch that wasn't making up. They had lost a --

1 something, possibly, in the -- in the power plant itself
2 that would cause that, that would state that it was not
3 ready to generate.

4 Q Okay. What would your procedure be if that
5 occurred?

6 A Normally, we'd observe it. If everything looked
7 fine on the screen, we'd observe it for another ten
8 minutes, and then we'd contact Taum Sauk power plant.

9 Q And then there would be a discussion about what
10 the issue was or problem?

11 A Yes. Usually, we'd -- we would call the Power
12 Dispatch downtown. Then I would also call Taum Sauk to
13 let them know. And they would usually look into it
14 immediately.

15 Q Okay. Did that occur during the time frame
16 subsequent to the liner being installed?

17 A Yes.

18 Q Okay. Frequently? Infrequently?

19 A While I was on watch, a few times. Not real
20 frequent.

21 Q Okay.

22 A I guess with the other guys on watch, it would
23 be different. But just me, not -- not real frequent.

24 Q Okay. Were any of those accidents that you're
25 aware of affiliated in any way with -- with matters that

1 now, looking back, you might say were -- were affiliated
2 with the problems that ended up causing the breach?

3 A No.

4 Q Okay. I'm -- look on the -- 22 -- TS-22 page,
5 if you would, on the subnote 3. I just need an
6 explanation about what that means there. When you get to
7 it, I'll ask you.

8 A 23?

9 Q Yes. There's -- there's a bolded area down
10 there that talks about following the operating curves, and
11 I just wanted -- wanted to know what that was.

12 A I've got a blank TS-23.

13 Q Oh, I'm sorry. 22. I read the wrong number.

14 A Oh, yes. I see it.

15 Q What -- do you know what that's referring to?

16 A That occurs to megabolt amps.

17 Q Right.

18 A And also generator AC amperage.

19 Q Yes. And it also makes a reference that this
20 alarm does not identify which unit is high, right? You
21 must look at the megawatt and -- is that megabars?

22 A Let me see what it says here. Correct.

23 Q Okay. Now, the -- what I wanted to ask you is
24 whether or not you're aware of anything this document,
25 this operating manual, that has some similar caution in

1 regard to the -- the level of the reservoir. And this has
2 to do with the operation of the generating units, I think.

3 But in regard to the -- the level of the
4 reservoir and ensuring that -- that there is not -- well,
5 just -- just giving instruction in regard to -- to not
6 relying on the alarms?

7 A I believe so.

8 Q Is that possible for you to find that for me
9 very quickly? And if not, don't take the time right now.
10 I'll give you a little bit of time later on, and you can
11 point it out to me.

12 A I can -- I can tell you about what it said. I
13 don't have it right here in front of me.

14 Q All right.

15 A I believe it -- if it reached 1596, we were to
16 take the unit down --

17 Q Okay.

18 A -- and not rely on the -- the emergency
19 shut-off.

20 Q Okay. Got it. If you find that while we're
21 going through this, would you point it out to me?

22 A Yeah. I just seen it a minute ago here.

23 Q Did you? Look for it -- we can come back to
24 that if you want to.

25 A It's the top of one of the pages. I can't find

1 it right now.

2 Q Sure. You can -- if you run across it in a
3 little bit -- or I'll give you some time toward the end
4 here, if you want. If you'd take a look at TS-26 for me,
5 it's talking about LDS alarms.

6 A Okay. I've got 26.

7 Q Okay. First of all, what are those alarms that
8 would fall into that category?

9 A I don't see LDS alarms right now.

10 Q On 26.

11 A Is it top or bottom or --

12 Q Oh, at the very top, it says LDS on my copy.

13 A Oh, I'm sorry. I didn't see it was under the
14 staple.

15 Q Yeah.

16 A That would re -- refer to the load dispatch
17 system alarms.

18 Q Okay. Does -- would any of that have anything
19 to do at all with level alarm?

20 A Yeah. The old -- we operated off the load
21 dispatch system prior to the Wonder Ware.

22 Q Okay. And subsequent to Wonder Ware -- let me
23 see if I'm following this. Subsequent to Wonder Ware, you
24 think that you had Wonder Ware giving you certain
25 information, but, also, do you think has the old LDS, the

1 older LDS software was giving you information as well?

2 A On that morning.

3 Q Why don't you talk about that if you want to.

4 And we can -- I'm really talking about the time frame
5 subsequent to the liner being installed up to that point,
6 but --

7 A I don't believe we were on the Wonder Ware
8 system at the time. I believe we were strictly on the
9 load dispatch system.

10 Q Clarify that for me. Why do you think that?

11 A Because the Wonder Ware was a new system. And I
12 can't remember exactly when -- when it came into play.

13 Q You can't remember when you started -- when that
14 system was implemented?

15 A Correct.

16 Q You think that might have occurred subsequent to
17 the breach?

18 A Before the breach? Is that what -- I don't
19 understand the question.

20 Q After the breach. Do you think that this was
21 implemented after the breach?

22 A No. It was implemented before the breach.

23 Q Okay. What I'm trying to understand is whether
24 or not there was a dual system going on in some time frame
25 between the liner being installed and the breach

1 occurring?

2 A Yes.

3 Q Okay. And what makes you think that?

4 A Because I had two different screens. I had the
5 LDS screen to operate with and the Wonder Ware, Load
6 Dispatch System screen.

7 Q And I don't want to vary too far off of this,
8 but I'm trying -- when you were talking earlier about that
9 skate alarm, what you think might have been the skate
10 going on, that was on the LDS screen, correct?

11 A Correct.

12 Q Is that part of the reason why you believed that
13 that was attributable to the old skate system?

14 A I believe so.

15 Q Okay. Have you ever asked anybody whether or
16 not that alarm or that skate system was still operational
17 on the day of the breach?

18 A No.

19 Q Okay. I may come back to that in a little
20 while. This -- when we're talking about this page 26
21 again -- there's some reference to if an acknowledged
22 alarm which has not returned to normal, and in
23 parentheses, below black line, closed parentheses, gets
24 too low, you can view this alarm by -- and it has some --
25 some different provisions. Can you -- like scat exception

1 list and single station exception list, direct box,
2 pick-up, pick station, Osage or Taum Sauk. What does that
3 mean?

4 A That there's a possibility that if you deleted
5 that alarm that you could go to the skate exception list,
6 and it would be there.

7 Q Okay. Is that -- you said a possibility. Does
8 that mean that it may not be there?

9 A Yes.

10 Q Okay. Why would you delete an alarm?

11 A We get a lot of alarms. We look at them, see
12 how important they are. If they're not important at that
13 time, we know that -- we don't have to deal with them
14 immediately. We delete them.

15 Q How do you know whether or not an alarm is -- is
16 some alarm that should be deleted? Where do you get --
17 where do you learn which one should be and which one
18 shouldn't be?

19 A Operator training.

20 Q In this operator's manual, does it give you that
21 direction?

22 A Not per alarm, I don't believe.

23 Q Okay. When the liner was installed and the new
24 Wonder Ware programs were implemented and the -- the alarm
25 system is there, were you given any new training in regard

1 to those alarm systems?

2 A Yes. We went through some training on Wonder
3 Ware.

4 Q Who did that?

5 A We have a training representative down at the
6 dam.

7 Q Okay. So was it somebody from Bagnell that
8 trained you?

9 A Correct.

10 Q Do you know who that was?

11 A I believe it was a combination between Tom Buhr
12 and Ed Dobson.

13 Q Okay. Do you recall whether they gave you any
14 additional training about the -- the particular level --
15 levels and warnings and shut-offs that -- that accompanied
16 the changes in Tom talk?

17 A I can't recall if they went into that or not.

18 Q Okay.

19 A I assume. Most of them were run parallel with
20 the Load Dispatch System, and they were pretty close to
21 the same.

22 Q Okay. Was there a time subsequently when the
23 LDS system was taken offline and Wonder Ware was the sole
24 software used?

25 A Yes.

1 Q When did that occur?

2 A I can't give you an exact time.

3 Q Can you give me your best estimate?

4 A Over six months ago.

5 Q Okay.

6 A I just can't remember.

7 Q That's -- that's all right. You've given me a

8 ballpark. It was -- it was sometime after the -- the

9 breach at Taum Sauk, and you think within -- was it -- was

10 it in this year in '07? Could it have been in '07?

11 A I can't be certain of that.

12 Q Okay. What changed when that occurred?

13 A We operated it solely from Wonder Ware.

14 Q Okay. Wonder Ware also operates other plants

15 besides Taum Sauk?

16 A Yes.

17 Q Kiakuck?

18 A Yes.

19 Q And Bagnell as well?

20 A Correct.

21 Q Any place else that you would be aware of?

22 A No.

23 Q Okay. Did you -- what happened to the screen

24 that was showing LDS systems before --

25 A After they took it away?

1 Q Yes.

2 A The screen's still available, but not the Taum

3 Sauk screen.

4 Q Because Taum Sauk's down. Is there another

5 reason?

6 A I believe they went solely to Wonder Ware, and

7 we don't view that screen anymore. It would be -- it

8 would be non-operational.

9 Q Okay. So are the screens that were affiliated

10 with LDS with Kiakuck and Bagnell blank as well now?

11 A No. It's two different systems. We run Taum

12 Sauk with the Load Dispatch System.

13 Q Okay.

14 A And Wonder Well -- Wonder Ware -- I'm sorry.

15 Q Okay.

16 A Kiakuck and Bagnell, we run with the real flex

17 software and Wonder Ware software.

18 Q All right. So there were two different screens

19 for each one of those plants, Kiakuck and Bagnell. One --

20 what did you say? Real Flex?

21 A Correct.

22 Q And one with Wonder Ware?

23 A Correct.

24 Q Okay. And do you get similar information off of

25 the -- two different systems?

1 A Yes.

2 Q Okay. Is that a redundancy that is there for a
3 reason?

4 A Normally, a new system, they run in parallel
5 with the old one until they get it worked out and it's up
6 and running.

7 Q Okay. And on the morning of the breach when you
8 heard that alarm that was affiliated with the skate
9 system, you believe that that alarm was on the LDS screen?

10 A Correct.

11 JUDGE DALE: If I could -- I want to make sure
12 it's the same.

13 COMMISSIONER DALE: Oh, I'll give you a minute
14 here.

15 JUDGE DALE: If you'll go ahead and mark this
16 one as 47-P.

17 Q (By Commissioner Gaw) Are you back?

18 A Yes.

19 Q On that same page 26 again. There's a statement
20 in there about if you have the scat exception list called
21 up and a new alarm comes in, the new alarm will not be on
22 the list until you go through directory and pull the list
23 up again. What does that mean?

24 A You have to -- there's a series of things you
25 have to go through. It's not right on the skate exception

1 list. You have to go to the directory's box, pick
2 station, Osage or Taum Sauk.

3 Q And so if an alarm goes -- goes up, is that one
4 of the things that you would do generally?

5 A If we wanted to review the alarm.

6 Q Okay. When would you want to review an alarm?

7 A Not very often.

8 Q Okay. And -- and why is that? Why do you not
9 need to review it very often?

10 A We're trained to immediately pick out the alarms
11 that we need to look at.

12 Q Okay. And, once again, are those alarms that
13 you need to look at put into this operator's manual?

14 A I believe there's a lot of them in there. I
15 don't know if every one of them is in there.

16 Q Okay. The same thing -- it says the same thing
17 applies for an alarm which has returned to normal, it will
18 stay on the scat exception list until the list has been
19 left and pulled up again. Is there anything there that
20 need explanation?

21 A I don't believe.

22 Q If everything is in the normal state, you will
23 not be able to find Osage or TS in the directory. What
24 does that mean?

25 A I assume that there's no alarms pending or none

1 -- that there would be nothing in the list.

2 Q Okay. Once something goes off or an alarm comes
3 in, then Osage or TS will appear in the directory. That
4 means that if there is something abnormal, it should show
5 up in the directory, correct?

6 A Correct.

7 Q On the morning of the breach, what -- did -- did
8 you or, to your knowledge, did anyone else check about the
9 alarms in the fashion that's noted on page 26?

10 A I don't know that.

11 Q Okay. Do you know whether that information
12 would be stored in data files or else -- elsewhere?

13 A I wouldn't know that.

14 Q Okay. You know, who would?

15 A Tom Buhr was my supervisor.

16 Q And he would be familiar with that?

17 A Yes.

18 Q Is he still there?

19 A No.

20 Q Where is he now?

21 A He's in St. Louis, I believe.

22 Q Do you know what he's doing?

23 A No.

24 Q Is he with Ameren?

25 A Yes.

1 Q It says, It would be a good idea when coming on
2 watch to pull the scat exception list up for Osage and
3 Taum Sauk and check for alarms. Is that a normal practice
4 that you would do?

5 A Yes.

6 Q When Wonder Ware came on board, did you also do
7 it for Wonder Ware as well as the LDS system?

8 A Yeah. It was slightly different. We'd call --
9 we'd call up all alarms.

10 Q Okay. But -- but that would be your normal
11 process?

12 A Yes.

13 Q Okay. Do you know when you came on duty on the
14 14th whether or not any of those alarms showed up on the
15 exceptions list?

16 A I don't know what alarms you're talking about.

17 Q Well, any alarms.

18 A Not to my knowledge.

19 Q You don't recall specifically pulling it up that
20 day, I would assume?

21 A No.

22 Q Okay. What about on that date in September when
23 there was an overtopping in '05?

24 A I wasn't on shift at that time.

25 Q Okay. Do you know who was?

1 A No, I -- I don't.

2 Q That's okay. Thank you. On page 27, toward the
3 top of the page, there is -- there is a Taum Sauk control,
4 something that says to place and inhibit. And down under
5 the -- neath that section, you can select inhibit
6 alarming. Tell me what that means.

7 A If you'd have a nuisance alarm, you could
8 inhibit that alarm.

9 Q Okay. Did you ever inhibit an alarm?

10 A Yes.

11 Q Okay. Give me an example of when you had to do
12 that.

13 A If they had the power plant down for
14 maintenance.

15 Q Okay.

16 A If it wasn't operational. Sometimes they would
17 be working on a piece of equipment where we would get
18 certain alarms over and over. That would be the only time
19 anybody would ever inhibit any type of alarm. Not during
20 operational.

21 Q Tell me whether or not there's anything in this
22 operating manual that says what you just said.

23 A Not that I know of.

24 Q Okay. All right. And then just below that, it
25 talks about removing an inhibited, which is putting

1 something back on as an alarm that had been inhibited
2 before, right?

3 A Correct.

4 Q Okay. Turn to TS-40 for me, if you would.
5 First of all, there's something up at the top of that page
6 that's sort of laying over some of that page on my copy.
7 Is it on your --

8 A Correct.

9 Q I don't know what that is. I don't suppose you
10 do?

11 A No, I wouldn't.

12 Q Part of the -- part of what's covered up is
13 something about a 30-minute period after start is
14 executed, and then there's something about an incomplete
15 alarm. Do you have any idea what that's referring to
16 since we can't read it?

17 A Yes.

18 Q Tell me what that's about.

19 A It would be an incomplete sequence.

20 Q Okay. Such as -- give me an example of what
21 that means.

22 A Well, if I give a pump or generate, it would be
23 stopped in the sequence.

24 Q Okay.

25 A It would be an incomplete sequence, something in

1 the -- in the line of starting or stopping on the Taum
2 Sauk if there was a problem.

3 Q Would that normally set off an alarm?

4 A I believe so.

5 Q Okay. When Taum Sauk was -- was shut down
6 manually on December the 14th, would that have generated
7 an alarm?

8 A No.

9 Q Okay. Do you know whether or not what -- are
10 you familiar with what happened on the September date when
11 there was an overtopping in regard to that -- that whole
12 sequence of events on the operation side at Bagnell?

13 A I'm sorry. Could you repeat the question?

14 Q On the -- on the date when there was an
15 overtopping in September of '05, when -- you weren't
16 there, I understand. But are you familiar with what
17 occurred?

18 A Somewhat. All I know is that they had a high
19 wind and they were concerned about the wind pushing water
20 over.

21 Q Okay. I guess what I was going to ask is
22 whether anyone at the operational level at -- at -- at
23 Osage said anything about alarms going off on that day.

24 A Not that I recollect.

25 Q Now, down below there on that page, it talks

1 about auto pump shut-down sequence.

2 A Yes.

3 Q Right in the middle there, it -- it says, If the
4 upper pool is completely full, both pumps will lose their
5 permissives. Do you see that?

6 A Yes.

7 Q Can you explain what that means?

8 A Yes.

9 Q Go ahead.

10 A When the upper reservoir is full, it does not
11 allow you to pump again.

12 Q Okay. What's telling it that it's full, if you
13 know?

14 A It would be whenever they set it at that -- at
15 that point, whatever their -- their high pool was at that
16 particular time.

17 Q Okay. So if -- if the high pool was set in the
18 software at 1596, for instance, it wouldn't pump above
19 that figure if that's -- let me start over. Do you know
20 how -- how the software or the computer system would
21 identify what level the pool was at?

22 A No.

23 Q Okay. So you don't know whether or not it was
24 affiliated with the transducers or piezometers that --
25 that was taking the readings on the pool level?

1 A No.

2 Q Okay. Prior to the liner being placed in, do
3 you know how -- how that determination would have been
4 made?

5 A No.

6 Q So you never received any training in regard to
7 how that operation worked?

8 A The mechanical part of it? Is that what you're
9 asking? Or the --

10 Q Tell me, what training did you receive about
11 that -- that area?

12 A Well, whenever that -- whenever it was a full
13 pool, we lost the permissives on both units. That would
14 indicate to me -- or would not allow the operator to
15 restart a pump.

16 Q Okay. And how would you know that it was at
17 full pool?

18 A It would be whatever the operating pool was at
19 that particular time.

20 Q It would be -- show up on your screens?

21 A The -- the level would. Yes.

22 Q And would that correspond to what you knew the
23 full pool to be set at?

24 A I don't quite understand the question.

25 Q Well, I -- I'm trying to understand what you

1 know about what full pool -- that's hard to say together
2 -- full pools means and -- in regard to recognition by the
3 -- the system, the automated part of the system. It is
4 preset at some -- within the software, is it not?

5 A Correct.

6 Q And it can be set at different levels?

7 A Correct.

8 Q And is -- would it be your understanding that
9 that information about what level that is is programmed
10 into the software?

11 A Correct.

12 Q Do you know at the time whether it was
13 programmed into both Wonder Ware and the LDS system?

14 A I believe it was in both systems.

15 Q Do you know whether or not both systems were set
16 at the same figure?

17 A The best of my knowledge, I do, yes.

18 Q Why do you say that? What information do you
19 base that upon?

20 A Because when the pumps came down, both LDS and
21 Wonder Ware were tracking at that same level.

22 Q Okay.

23 A And then they both -- they both came down on
24 that level.

25 Q What do you mean on that level? What does that

1 mean, that level?

2 A Well, that particular morning, it was 1592 and
3 1594.

4 Q 1592?

5 A Was the first auto shut-off.

6 Q Okay. And then 1594?

7 A The second auto.

8 Q And the screens that you're watching, the LDS
9 screen and the Wonder Ware screen, they're working about
10 the same?

11 A Yes.

12 Q My question is a little different than that
13 other than the reading, and it relates to this setting of
14 the full pool level. At that point in time, it was -- it
15 was your understanding, was it not, that full pool was
16 being set at 1594?

17 A Correct.

18 Q All right. And that would have been a change in
19 what constituted full pool within the software system,
20 would it not?

21 A Correct.

22 Q Were you -- are you aware of whether or not both
23 the LDS system and the Wonder Ware system were changed to
24 reflect that as full pool?

25 A I believe that they were.

1 Q And -- and, again, that's not reflective of what
2 the level is, necessarily, that's on your screen unless
3 you're -- but I need your help here to explain to me how
4 do you know that? Why do you believe that other than the
5 fact that they both showed a level up there?

6 A Because the LDS screen, the Load Dispatch
7 System, and Wonder Ware would both take automatic stops.

8 Q At the -- at the same level?

9 A Correct.

10 Q And how did you know that?

11 A Because I had both screens in front of me.

12 Q Okay. And when did you witness an automatic
13 stop?

14 A That morning or --

15 Q Whenever.

16 A Whenever that level reached that level, preset
17 level.

18 Q Okay. Had you been witnessing automatic stops
19 by the units prior to the breach?

20 A Oh, yes.

21 Q Was that a daily occurrence?

22 A Yes.

23 Q Okay. And as long as the unit was pumping up?

24 A Correct.

25 Q Okay. You don't know, do you, whether or not

1 the information on the LDS system and the information on
2 the -- on the Wonder Ware system both originated from the
3 same probes?

4 A I don't know that.

5 Q Okay. While you were watching the screens, just
6 generally speaking, not necessarily just on the day of the
7 -- of the breach, what would you watch in regard to the
8 lower reservoir elevation?

9 A We'd watch it so it wouldn't reach 750.

10 Q Okay. And why was that?

11 A Because it's 750 top to lower -- spill section.

12 Q Okay. So that's the upper level, correct, on
13 the lower reservoir?

14 A Correct.

15 Q What about the low level on the lower reservoir?

16 A Yeah. We run it at that on pump-up at times of
17 -- times of low water.

18 Q All right. Was there -- was there a level at
19 which you didn't want to get below?

20 A Yes.

21 Q And do you know what that was?

22 A I can't recollect right now.

23 Q Okay. Well, down below there on page 40,
24 there's a reference to the first unit must be stopped at a
25 lower reservoir elevation of 739. Do you know -- does

1 that -- does that tie into what you were discussing
2 earlier or --

3 A Yes.

4 Q Tell me what that means again.

5 A That means that we don't want to pump up after
6 739 in the lower reservoir.

7 Q Okay. Well, that's the -- that's the first unit
8 being stopped at the lower res -- reservoir elevation of
9 739. What about the second one?

10 A I believe it was slightly lower than that,
11 737.5.

12 Q Okay. Well, that would sort of stand to reason.
13 But I don't see the figure in this operating manual.

14 A I don't see the figure. But we had it -- it was
15 posted.

16 Q Okay. When something was posted like that,
17 where would it be posted at?

18 A Directly next to the operating screen in the log
19 book.

20 Q Okay. Is that just a piece of paper stuck on
21 there? Or what -- what does it look like?

22 A Basically, it's a typed paper --

23 Q Okay.

24 A -- that is stuck on there.

25 Q Okay. Did that level vary on the lower

1 reservoir?

2 A Had they changed that? Is that what you're
3 asking?

4 Q Yes. Uh-huh.

5 A Not to my knowledge.

6 Q Okay. Turn to page 50, TS-50. There in the
7 middle of the page, it says, If both pumps are on and load
8 dispatch requests a manual stop on one of the pumps, it is
9 not necessary to select the unit designated as first auto
10 shut-down. The reservoir will fail to pool regardless of
11 which unit is selected.

12 Anything there that is different from just what
13 it appears to be?

14 A No.

15 Q And, again, this shut-down is dependent upon the
16 information being supplied as to the depth of the
17 reservoir through the software system, correct?

18 A Correct.

19 Q And, also, through whatever measuring device is
20 being used on site?

21 A Correct.

22 Q Okay. Down below there, where it says -- under
23 subparagraph -- there's a sub 4. Since dispatching is the
24 jurisdictional authority, any orders received from that
25 group will take precedence. However, Osage will follow

1 the above procedures on a routine basis without
2 instructions from Dispatching. Is that first sentence
3 there true and accurate in regard to the normal operating
4 process?

5 A Are you referring to No. 4 there?

6 Q Yes.

7 A That's true.

8 Q Okay. There's one of these examples on page
9 TS-57. If there's plant flooding or fire, times when the
10 plant is unattended, you're to immediately notify the
11 following in the order listed.

12 I'm somewhat paraphrasing here. But there's a
13 list of Fitzgerald, Wallen, Guard and Men. Would that
14 have been the case at the time of the breach in regard to
15 notification?

16 A No.

17 Q Okay. And who is -- when it's talking about No.
18 4, Men, what is that about?

19 A That would be the men that work down there on --
20 during the days, maintenance people.

21 Q Okay.

22 A Electricians, et cetera.

23 Q All right. This is -- there's an REV 7/9/99 on
24 this page. Do you see that down toward the bottom?

25 A Yes.

1 Q Is that your understanding of the last date that
2 this page was revised?

3 A As I look at it now, yes.

4 Q As we go through there, if that appears -- a
5 date on that page of that sort, would that indicate the
6 last time that that page was brought up to date?

7 A Correct.

8 Q Who was in -- who was responsible for updating
9 this manual?

10 A Supervision.

11 Q And who -- who would that have been in 2005,
12 let's say?

13 A I believe Tom Buhr was my immediate supervisor.

14 Q Okay. Would it have been his responsibility
15 alone, or would it have been broader than that?

16 A I think it would have been broader.

17 Q Okay. Do you know whether or not there was
18 someone in charge of ensuring that these operating manuals
19 were kept up to date in St. Louis, just generally
20 speaking?

21 A No. No.

22 Q Okay. Look at TS-59 with me. It says, Urgent
23 station alarms. Again, I think this is sort of the same
24 as I asked you earlier. Are any of these alarms -- were
25 any of these urgent station alarms reference the

1 triggering of a high or high-high sensors at the upper
2 reservoir?

3 A No.

4 Q Okay. Look at the previous page on 58. It says
5 Taum Sauk alarms and something about four new alarms have
6 been added to the Taum Sauk monitoring system. They are
7 as follows. And then there is a list down below that.
8 Does that -- do any of those have anything to do with
9 getting the upper reservoir too high?

10 A Could you repeat the question?

11 Q Whether or not any of those alarms that are
12 mentioned on -- on that page, 58, have anything to do with
13 -- with getting too much water in the upper reservoir.

14 A I don't believe directly, no.

15 Q Okay. Anything indirect there that might --

16 A I don't believe.

17 Q Okay. Now, the revision on that page is
18 8/26/99, last revised, correct?

19 A Correct.

20 Q And on -- and on 59, the last revision on that
21 one was 27, correct?

22 A What page is that?

23 Q On 59.

24 A Correct.

25 Q Okay. Do you see anything else in regard to

1 alarms in this portion?

2 A In the following pages or -- I don't know what
3 you're --

4 Q Yeah. If you'll look at TS-56, it appears to be
5 like a Table of Contents on a section that says, Alarms,
6 fire and flooding alarms, two Taum Sauk alarms and three
7 urgent station alarms. And do you see that?

8 A Yes.

9 Q Okay. And then subsequent to that, all the way
10 up to TS-60, which TS-60 also talks about -- some about
11 alarms, I think that up through maybe even TS-62 might
12 have something to do with alarms, although I can't tell
13 about 61 and 62 exactly. Can you see anything in those
14 pages that has any anything to do with the upper reservoir
15 alarm system for having too much water in the upper
16 reservoir?

17 A TS-61, I think, is ineligible (sic).

18 Q TS-61 is what, sir?

19 A I can't read it.

20 Q Oh, you can't read it. TS-61 appears just to be
21 a diagram, doesn't it?

22 A Yes.

23 Q And it says Osage plant at the top, doesn't it?

24 A Correct.

25 Q So it probably doesn't pertain to Taum Sauk. Or

1 does it? I guess it could.

2 A It could. But I just can't hardly pick anything
3 out of any use on there.

4 Q Do you know whether this is plainer on the
5 original?

6 A I don't know that.

7 Q Okay. But in any event, in the written portion
8 up through page TS-60, do you see anything that relates to
9 the upper reservoir alarms on --

10 A Okay.

11 Q And I should complete that. Upper reservoir
12 alarms that relate to being too full.

13 A Correct.

14 Q Because there are alarms regarding leakage and
15 some other things?

16 A Yes. Yes.

17 Q Okay. And this is the section of the operator's
18 manual that relates to alarms, correct?

19 A Correct.

20 Q This may be what you were referring to earlier.
21 Look on TS-124, the very top of that under Taum Sauk
22 Facts. Do you see that? Would you read that first
23 sentence? Or two sentences, I guess.

24 A TS-112.

25 Q You go clear to 124.

1 A Yes. I'm on 124.

2 Q Read that first couple of sentences, if you

3 could.

4 A Never let upper pool pump over 1596 auto pump

5 stop. Complete fail and keep pumping. One pump averages

6 one and a half per hour.

7 Q You might have to speak up just a little bit.

8 I'm sorry.

9 A One -- one pump averages two and a half per

10 hour.

11 Q Okay. Is that 2 and a half feet an hour?

12 A Correct.

13 Q So is that -- first of all -- so there is -- I

14 think you might have said earlier. There was something in

15 here about not pumping over a certain level, right?

16 A Correct.

17 Q All right. Is this what you were referencing?

18 A I think there's something else in here from what

19 I've seen.

20 Q Okay.

21 A It's something real similar.

22 Q Okay.

23 A But I don't believe it's the same thing I've

24 seen earlier.

25 Q All right.

1 A It is also at the top of one of those pages.

2 Q Now, what is that -- auto stop pump could fail

3 and keep pumping. What does that mean?

4 A If the auto pump would fail and keep pumping, I

5 mean, anything has a -- sometimes could fail. It was an

6 auto stop.

7 Q So as you're watching this -- at your viewing

8 station, you're saying, just generally speaking, again, as

9 this thing is pumping up toward 1596, how attentive are

10 you going to normally be about watching that?

11 A I'm going to be sitting right in front of it.

12 Q Okay. And you're looking at what as you're

13 sitting right in front of it?

14 A My upper level.

15 Q Okay. And do you have a button or something

16 you're ready to push if something doesn't stop? Where do

17 you -- what do you have to do if this thing is going to

18 malfunction?

19 A We run a mouse.

20 Q The mouse?

21 A Yeah. And we go immediately on the stop.

22 Q And is that up there on the screen somewhere?

23 A Correct.

24 Q Now, if that -- if that were to happen and it

25 was -- it was at 1596 and it goes to 1596.1, 1596.2, how

1 fast is it going to be -- how long is it going to be
2 before you hit that stop if -- if that circumstance would
3 occur?

4 A I would make it stop at 1596 or before.

5 Q Okay. All right. Is that -- is that sentence
6 there that says one pump averages 2 and a half feet per
7 hour correct, or do you know?

8 A I think that's changed slightly since they put
9 the new turbines in.

10 Q You think that this relates to the old turbines?

11 A I believe so.

12 Q Okay. Now, I want to get a couple of other
13 things on this page, and then I want to come back to this
14 1596 figure. But when you're talking about this --
15 looking down below, it's -- down several provisions --
16 several steps there. When pumping, second pump loses
17 permissive approximately 20 minutes before auto shutdown 1
18 foot from full. What does that mean?

19 A Okay. I'll have to find it here.

20 Q It's not halfway down the page. It's a little
21 above that.

22 A Okay. When pumping, second pump loses
23 permissives approximately 20 minutes before auto shutdown
24 on 1 foot from full.

25 Q Yes.

1 A That would not -- that would -- that would keep
2 us from pumping with a second pump that wasn't on at that
3 time. There would be no reason to put a second pump on.
4 One foot from full, we would lose permissives on the
5 second pump.

6 Q Okay. So what -- what occurs when that -- when
7 the permissives are lost in that circumstance?

8 A We get an alarm. And the two red balls that I
9 -- I talked about earlier turn green.

10 Q okay. They turn green?

11 A I believe so. Power plants are a little
12 different. Red is go. Green is no.

13 Q Red is go, and green is no. Maybe this whole
14 thing is starting to make a little more sense to me now.
15 If -- if that's -- if that's the case, then if they turn
16 green, would they turn green as -- as you're doing
17 pump-up, let's say, on the day of the breach? You never
18 did get -- did you get close to having those permissives
19 go away as you were pumping up? Do you know? Did they go
20 off or not?

21 A We took the -- the first No. 2 pump auto
22 stopped.

23 Q Yes.

24 A I believe I -- I believe I got the permissives
25 back on that because there was more than one for

1 differential.

2 Q Okay.

3 A But only for just a very slight period of time.

4 Q Okay. Explain what that would have meant so I'm

5 tracking with you.

6 A Possibly I could have put a second pump on --

7 Q Okay.

8 A -- during that time frame. But it was only

9 just for a very -- very short period of time.

10 Q Did you do that?

11 A No.

12 Q Okay. All right. Now, this is talking about

13 the second pump losing permissives. Is that -- when it

14 says a second pump, is that the last pump to shut down?

15 A Yes.

16 Q Okay. So where does it get this 20 minutes

17 figure?

18 A It's just a guesstimate.

19 Q Okay. It's not time-based, is it?

20 A No.

21 Q It's -- it -- is it based upon its level

22 indication?

23 A Correct.

24 Q Okay. So about how far from the top would that

25 -- it says about 1 foot from full. That -- is that -- is

1 that the figure?

2 A Yes.

3 Q So if -- if we were at 1595 with the 1596
4 shut-down, at 1595, it would lose its permissives? Am I
5 following?

6 A Not -- not the pump that was pumping because it
7 is pumping. But the second pump. If it was in the off
8 position, it would lose it permissive and not allow me to
9 double pump within that short range.

10 Q I think I'm following you now. The second pump,
11 as it's described in this sentence, has to do with not the
12 last pump to shut down, but the first pump to shut down.
13 Am I following you?

14 A The second pump would probably be the pump not
15 pumping.

16 Q The -- the first pump to shut down of the two --
17 if there are two pumps originally pumping, is it --

18 A If there's two pumps pumping, and we -- one of
19 them would shut down.

20 Q Yes.

21 A Okay? Okay. Say we took the first pump off 5
22 foot early.

23 Q Okay.

24 A We would get -- once that gen -- that pump's set
25 back up and is ready to go, I would get a permissive on

1 that pump to pump.

2 Q All right.

3 A When we got within 1 foot of the second auto
4 shut-down --

5 Q Yes.

6 A -- we would lose the permissive on that pump.

7 Q But the pump that's still pumping at that point,
8 does anything happen with the permissives on it?

9 A No.

10 Q Okay. I'm following you.

11 THE COURT REPORTER: Excuse me. I need to
12 change paper.

13 JUDGE DALE: Okay.

14 (Break in proceedings.)

15 Q (By Commissioner Gaw) Down below there on the
16 same page again, Mr. Mentel, there's a reference to plant
17 fire or plant flooding alarms and urgent station alarms.
18 Do you see any reference on this page or the subsequent
19 page which I think is a part of this that refers to any
20 alarms related to the reservoir being too full, the upper
21 reservoir?

22 A That would be starting with the -- about the
23 fourth paragraph on page 124 from the bottom. Anything --
24 anything under the Taum Sauk Facts.

25 Q Okay.

1 A No. I don't see any.

2 Q Okay. I didn't either, but I wanted to make
3 sure that I was understanding it. Now, in regard to --
4 take a look at the very last TS-133. And I think it -- I
5 think it's also the same as the TS No. 1. But I'm not
6 exactly sure. I hope you all are watching whether I'm
7 getting into that information when I'm doing this because
8 I haven't been.

9 On that page, I want you to ask perhaps a couple
10 things. That's an e-mail from Richard Cooper and to
11 several individuals. Just if you know -- if you
12 understand what this is referring to, there's a -- there's
13 a summer and a winter number there for first pump-off,
14 second pump-off. Do you see that?

15 A Yes.

16 Q Now, first pump-off, summer was 1595. Second
17 pump-off, 1596. Correct?

18 A Correct.

19 Q All right. Is that consistent with what -- with
20 your operating instructions were during some portion of
21 the time that you worked at Taum -- Osage?

22 A Yes.

23 Q Is it consistent throughout?

24 A No.

25 Q Okay. When did that change, if you recall?

1 A I can't -- I don't know the exact date. I know
2 it changed after the -- the wind problem they had.

3 Q Okay. What about the winter first pump-off,
4 second pump-off? I think you -- you said -- first of all,
5 was that consistent with some portions of the time that
6 you were working with Osage?

7 A Yes.

8 Q Okay. And did that change?

9 A Yes, I believe it did.

10 Q All right. Did it change more than once? In
11 other words, did it change because the winter period -- I
12 think you -- at some point, you said there was no -- there
13 was no -- it was not longer different from the summer
14 height?

15 A Correct.

16 Q Okay. Was that after the installation of the
17 liner?

18 A I believe so.

19 Q Okay. And in regard to -- to -- to that, your
20 understanding, as I heard you earlier, was that it had
21 something to do with a concern about ice pushing --
22 pushing on the sides of the walls?

23 A Correct.

24 Q And -- and who told you that? Do you recall?

25 A I can't -- I can't tell you that exactly. It's

1 just been knowledge -- every-day knowledge.

2 Q Okay. In other words, when water freezes, ice
3 expands in volume rather than contracting like most liquid
4 to solids do, right?

5 A Correct.

6 Q Okay. So -- so with that expansion, it could
7 push out on the walls? Was that the thought?

8 A That was my understanding.

9 Q Okay. Was it your understanding that placing
10 the liner in somehow created some -- some reason why that
11 was no longer an issue?

12 A I didn't really know.

13 Q Okay. Now, I want to ask, in regard to all
14 pumps off, what does that mean? Because there, it says
15 summer, 1597. What does that designation mean, if you
16 know?

17 A That could mean two things. The upper probes,
18 I'm assuming, would take all pumps off at 1597.

19 Q Okay.

20 A Because these are settings.

21 Q All right.

22 A Or that we were never -- I -- I assume that that
23 means -- all pumps off would mean that the plant would
24 take both units down, one or the other or both.

25 Q And this is an e-mail dated December 23rd, 2002,

1 correct?

2 A December 23rd, 2002. Correct.

3 Q And -- and there is nothing in this document in
4 this manual that -- that updates the levels on Taum Sauk,
5 correct?

6 A I don't know if this was an update at this
7 particular time or not. This is just a reminder.

8 Q But there's nothing that updates that e-mail
9 going -- that -- that is later than these e-mails.

10 A Not that I know of.

11 Q Okay. You may not know this at all. And if you
12 don't, just tell me. Down below where it says, We have
13 lowered the total volume from 5,000 acre feet to 4800 acre
14 feet, so you shouldn't see much of a change in total
15 generation capability -- why don't you read the rest of
16 that to your -- to your -- is this any problem for him to
17 read?

18 MR. BYRNE: I don't -- I don't think so. No.

19 Q (By Commissioner Gaw) Okay. Could you read the
20 rest of that paragraph?

21 A To myself or out loud?

22 Q Whichever you'd like. If you don't have an
23 opinion about it or you don't know what it means, there's
24 no sense in reading it aloud. If you do, then reading it
25 aloud helps.

1 A It's hard to understand.

2 Q You don't know exactly what it's talking about?

3 A No.

4 Q All right. I'll ask somebody else about that.

5 It's -- this isn't necessarily your area, so -- all right.

6 Now, pull up, if you would -- if somebody could give it to

7 you the -- the -- the Independent Panel of Consultants

8 report.

9 JUDGE DALE: Is it 3 or 22?

10 COMMISSIONER GAW: I don't know for sure. It's

11 dated --

12 JUDGE DALE: April 28th?

13 COMMISSIONER GAW: December 14th, '05.

14 MS. PAKE: 3.

15 JUDGE DALE: Sir?

16 MS. PAKE: Keith.

17 MR. BIRK: Keith, right there.

18 Q (By Commissioner Gaw) Now, toward the back of

19 that document, there's some -- some exhibits that are

20 attached in -- in that document or -- or that are labeled

21 figures 7 dash such and such. I want you to -- to look at

22 7-10, if you can find it. I believe you testified earlier

23 that you had not read this report, correct?

24 A Correct.

25 Q Have you found 7-10 yet?

1 A Yes.

2 Q Okay. Now, that's labeled down there Hurricane
3 Rita event, which we'll -- I want you to look at --
4 there's a date down below of 9/25/05. Do you see that?

5 A Yes. In the lower left hand part of the graph?

6 Q Yes. Now, does that -- does that graph look
7 familiar to you at all in regard to just -- just what it
8 appears to represent?

9 A It's the upper level.

10 Q Okay. Does that look familiar to you in regard
11 to what you -- what you might see on the screen at Osage?

12 A No.

13 Q Can you tell me the similarity between this and
14 what the upper level graph looks like on your screen?

15 A Well, I misunderstood that. It's similar with
16 the times and the levels. I -- I thought that the
17 particular outcome of this graph is what you were asking.

18 Q Not necessarily. I'm just trying to -- I want
19 to get into that just a little bit, but I -- I'm just
20 trying to see if there's -- we're looking at a time frame
21 that looks like sometime after seven and to sometime
22 around noon, doesn't it?

23 A I believe. Yes.

24 Q Okay. Now, you see at the top there -- well,
25 just all along this -- there's some jaggedness to this --

1 to this graph. Do you notice that as well?

2 A Yes.

3 Q Okay. Is that something you would -- you would

4 be used to seeing on your screens at Osage?

5 A Probably not quite to that extent.

6 Q To some extent, would you see that?

7 A Some extent.

8 Q You -- you weren't on duty on this day, I know,

9 but let's -- let's just -- what does -- do you have --

10 when you see some jaggedness like that, what, if anything,

11 does that indicate to you?

12 A It would indicate to me that the pool was at 15

13 -- I believe it shows 1596 on this and that there's a --

14 that it's showing a tenth either way maybe fluctuating.

15 Q Okay. What would that mean to you?

16 A It would mean maybe we've got a chop up there or

17 sometimes the transducers aren't dead on. You know,

18 they'll -- they're not exact -- I mean, they're very

19 close, but it wasn't alarming.

20 Q Okay. This would not alarm you if you saw that?

21 A No.

22 Q Take a look at 7-13. It looks like 12/1/05. Do

23 you see that?

24 A Yes.

25 Q I -- I do not know -- can you tell me whether or

1 not you would have been on duty on that date?

2 A I wouldn't -- I can't tell you.

3 Q Okay. That's all right. Just, if you would,
4 does that look like something similar to what you would
5 see on your screen on occasion?

6 A On occasion. I didn't monitor these -- these
7 type of screens. I relied -- I relied mostly on the upper
8 levels.

9 Q Okay. Now, tell me the distinction so I'll
10 understand.

11 A We watched the upper level because it's a lot
12 easier to know what the pump's doing at a glance than it
13 is to follow something like this --

14 Q Okay.

15 A -- and try to find what time it is at the
16 bottom, try to figure out across the graph where you're
17 at. It would be a slow, slow way of doing business.

18 Q Okay.

19 A And if there was a problem, it would take longer
20 to find it out on here than it would on the upper levels.

21 Q Okay. If you're -- if you're looking at this --
22 let me ask you this: Is it possible to see this on your
23 screen?

24 A I believe so.

25 Q Okay. Is it possible for the screen to display

1 this plus a digital level reading at the same time?

2 A Yes.

3 Q Okay. But that's generally not the way you
4 would be having your screen display?

5 A I believe there's several different graphs that
6 could be on it.

7 Q Okay.

8 A I -- I normally don't look at a graph. My --
9 that's my personal preference.

10 Q Do you know if other operators have different
11 personal preferences?

12 A I couldn't tell you that.

13 Q Okay. When you were training on -- on running
14 this -- the system, was there any suggestion about using a
15 particular screen?

16 A No. We'd only look on a graph possibly if we
17 thought there was a problem. You know, no. There wasn't
18 -- I wasn't told to use a graph over the level or either
19 one.

20 Q Okay. Now, if you would have had this up on --
21 at a particular point in time and you saw this kind of
22 activity that is showing up on this figure, what, if
23 anything, would that have caused you to be concerned
24 about?

25 A I don't think anything.

1 Q Okay. Now, it appears, does it not, that --
2 that -- if I'm following this, particularly as I go in
3 toward 126, 155, that it actually shows -- even though
4 there's -- there's both pumps are going, it actually is
5 dropping in level in the upper reservoir at times.

6 A I believe this graph is reading from right to
7 left. No. I'm sorry. It's reading from left to right.
8 I was in the generating mode.

9 Q That's okay. You -- I had to check, too. Okay.
10 So reading from left to right in the pump mode, correct?

11 A Correct.

12 Q Do you see what I'm -- what I'm talking about
13 where there's some dips and it appears even though there's
14 -- the pumping is going on that the water level is going
15 done?

16 A Yeah. I can see some dips up -- especially up
17 on the right-hand upper corner.

18 Q They become more pronounced up there, correct?

19 A Yes.

20 Q But even though -- now, what would you attribute
21 that to if you saw something like that?

22 A I'd say maybe a -- maybe they fine-tuned -- or
23 there was a little problem -- because the graph was still
24 going up at a pretty steady rate, I would assume that --
25 that at times that there was a differential in the

1 reading. But I think it was a short period of time.

2 Q Now, Mr. Mental, if you would have -- you
3 testified earlier that you did not know about the problems
4 with these transducers, correct?

5 A Correct.

6 Q If you would have known that the transducers
7 were not giving an accurate reading and you saw this on --
8 on your graph, would that have caused you concern?

9 A Possibly.

10 Q Okay. And tell me why.

11 A Because it would have got slightly worse towards
12 the right. But, again, I'm not a graph watcher. That's
13 just my nature.

14 Q Okay.

15 A It's too difficult to look at a graph and tell
16 what time it is, where your levels are at, trace across
17 with your finger. It's not precise enough for me.

18 Q Okay. Now, the screen that you are watching is
19 just -- is it a digital number?

20 A Yes.

21 Q Okay. So what's your reference point as the
22 numbers are changing?

23 A How many pumps have we got on?

24 Q Okay.

25 A Time frame.

1 Q Okay. Well, let me -- let me give you an
2 example. For instance, if I look at this graph, I can get
3 some idea about how quickly the reservoir is filling
4 because it steepens the climb of the -- of the line going
5 -- as you go from left to right, correct?

6 A Correct.

7 Q If I'm looking at a digital figure, just a
8 digital figure on the board, how would I be able to
9 measure that increase or acceleration in the filling of
10 the reservoir?

11 A We take a reading every 30 minutes when the
12 pumps are on or sooner.

13 Q Okay.

14 A I could glance at that in 15 minutes, and I'll
15 know that both pumps should be pumping at a certain
16 volume --

17 Q Okay.

18 A -- and could quickly ascertain whether the pumps
19 were pumping out that volume or not.

20 Q Was that a calculation that you would normally
21 make?

22 A Yes.

23 Q Would you record that calculation?

24 A We recorded the upper and the lower pool every
25 half-hour.

1 Q Yes.

2 A In between, I would still -- the -- I'm talking
3 personally. I would look at that more than -- than every
4 30 minutes.

5 Q Okay. That kind of an examination would not
6 necessarily pick up these up and down jags that are on
7 this graph, would it?

8 A I don't think so.

9 Q It would average --average those out?

10 A I don't know if it's an average or not. I
11 wouldn't know that.

12 Q Okay. These answers probably -- or these other
13 graphs probably will produce similar results. But look --
14 let's see. If you -- on the Figure 7-14, there's a note
15 on December the 2nd there. And in the FERC report is --
16 is editorializing here, note erratic behavior on rising in
17 lower level compared to falling level. Do you see the --
18 the difference between the jagged motions as it's being
19 pumped up as compared to relatively straight, non-jagged
20 line as it's in generation mode?

21 A Yes.

22 Q Again, that's something that you would not have
23 seen because you don't look at those -- that screen,
24 correct?

25 A Correct.

1 Q And if you had been looking at that screen, your
2 testimony would be that it wouldn't necessarily have
3 triggered any alarms for you?

4 A No.

5 Q And you didn't -- you didn't receive any
6 training that you were aware of that you can remember that
7 would have told you that this should be something that you
8 should be concerned about?

9 A No.

10 Q Okay. Now, I want to go through -- and I'll try
11 to hurry through this a little. If you'll look through
12 Figure 7-15, progressively, that's January '05; 7-16,
13 April '05; 7-17, June of '05; July 1st, '05, 7-18; 7-19 is
14 August 1st; 7-20, August 10th; 7-21, August 17th;
15 September 2nd of '05, 7-22.

16 Do you see the increases in the jaggedness of
17 the lines as -- as we regress in time during those
18 figures?

19 A Yes. Slightly.

20 Q Okay. Now, also, if you would, look at 7-23.
21 That is represented as being December the 10th. Do you
22 know whether you were on duty during that time frame?
23 That would have been 11:30 in the morning through sometime
24 after four in the afternoon.

25 A No, I wouldn't.

1 Q Okay. Do you know who would have been on duty
2 that day?

3 A No.

4 Q If you would have been looking at your digital
5 read-out, do you see the big jump there that takes place
6 with both units off and then the level seems to radically
7 -- or not radically. It rises, we'll say, for no apparent
8 reason and both units are off. Do you see that?

9 A Yes.

10 Q If you were watching the screen on your digital
11 read-out, would that be something that -- that one would
12 have been able to see as an operator?

13 A I believe so.

14 Q Okay. If you had seen that, would it have
15 caused you any alarm?

16 A I would have most likely called the Operating
17 Supervisor at Taum Sauk.

18 Q Okay. And why would you have done that?

19 A Because it's a big deal. It's more than just a
20 few tenths either way.

21 Q Turn to the figure 7-24, if you would,
22 Mr. Mentel. That is the graph of the evening of 12/13
23 leading up into the morning of 12/14 until about, it looks
24 like, 5:30 or so in the morning. Do you see that?

25 A Yeah. Figure 7-24?

1 Q Yes. Now, would you have been on duty during in
2 time frame?

3 A Let me see. Was this -- time frame was 20 --
4 20:24 -- eight -- 8:24 p.m.

5 Q Yeah. It looks like on the 13th.

6 A Starting on the left. I would have came on
7 shift at approximately 22 or 22:15.

8 Q 22 or 22:15 on 12/13?

9 A Yes.

10 Q Okay. So at that time, if we look at that,
11 again, you would have been looking at a digital read-out.
12 Do you remember noticing -- do you see where there's that
13 -- there's this jaggedness in there? And just before --
14 it looks like just before midnight. Do you see that?

15 A Is that where the arrow says Pump 2 start?

16 Q Yes. There.

17 A Yes. I see it.

18 Q Were you on duty then?

19 A Yes.

20 Q Okay. And do you recall seeing anything on the
21 digital read-out that -- that would have indicated that --
22 that drop in level where that Pump 2 start is indicated on
23 this graph?

24 A Yeah. It's a possibility. But -- yes.

25 Q Okay. I want to understand what you're saying.

1 Do you recall seeing -- seeing that dip?

2 A No.

3 Q Okay. So when you answered, tell me what you
4 were telling -- what you were answering. I didn't
5 understand it.

6 A It's not unusual for when that second pump comes
7 on to get a little bit.

8 Q It is not?

9 A No.

10 Q Okay. Do you know why that is?

11 A Because that -- that pump takes a pretty good --
12 pretty good jag of water up the hill immediately.

13 Q Okay. And how -- tell me how you -- you believe
14 that that would logically cause a drop in level on the
15 indicators.

16 A Don't know. Sometimes it just -- it will just
17 be a little glitch. It may not necessarily be a drop,
18 though. But I -- there is -- sometimes on a second pump,
19 you'll get a little fluctuation, and sometimes if it goes
20 up, it will come down, it will settle out. It's just a
21 blip.

22 Q Do you know whether you had a similar
23 circumstance prior to the installation of the liner?

24 A I don't know.

25 Q Okay. You know that you've seen this prior to

1 this date, correct, on this 12/13, 12/14 time frame?

2 A I don't understand the question.

3 Q You have seen this circumstance where there is
4 this dip before Pump 2 starts prior to 12/13 of '05?

5 A Yes.

6 Q But you don't recall whether those events that
7 you witnessed predated the installation of the liner?

8 A Oh, no. I mean, the only time I would catch
9 anything like that is if I was looking exactly at that
10 time. It was pretty quick.

11 Q Because if you're not looking at it, you don't
12 have the history up on that board, right?

13 A Correct.

14 Q Okay. Now, when and how were you made aware of
15 the change in the amount of -- of the level at Taum Sauk
16 in '05?

17 A You mean when we dropped it to --

18 Q To 1594 from 1596?

19 A I believe it came from supervision. And we and
20 we logged it. And it was also taped right next to the
21 screen.

22 Q Okay. Is there any explanation that you recall?

23 A Not that I recall.

24 Q Did anyone -- did anyone sit down and talk with
25 you or any of your colleagues that you were aware of to

1 let you know why that number was being adjusted?

2 A I -- I don't know that for sure other than --
3 than -- than the wind. It may have been talked -- none
4 formally --

5 Q Okay.

6 A -- you know. I'm sure when we passed it on
7 somebody probably said, Why is it lower? And we probably
8 said, Because we had this wind problem.

9 Q Okay. Was it your understanding -- and, again,
10 there was never any indication to you that there was ever
11 any instrumentation problems with the level indicators
12 that you saw at Osage?

13 A No.

14 Q So is it -- is it accurate to say that it was
15 your belief that the actual water level as measured up
16 against the wall down in Taum Sauk was being dropped by 2
17 feet?

18 A Yes.

19 Q That was your belief?

20 A Yes.

21 Q And if I told you that there was testimony that
22 indicated from other individuals that worked for Ameren
23 that the intent was to maintain the level at a certain
24 place on that -- on that wall when that adjustment was
25 made, would that be a surprise to you?

1 A Yes.

2 Q That, as you have said, was not your
3 understanding?

4 A No, that was not my understanding.

5 COMMISSIONER GAW: Mr. Mentel, thank you very
6 much. It's been a long afternoon, and I -- I appreciate
7 your patience.

8 MR. MENTEL: Thank you.

9 MS. PAKE: We have no questions.

10 JUDGE DALE: Thank you. Then with that,
11 Mr. Mentel, you are excused, although not finally
12 released. And we will be concluding --

13 MR. MILLS: Before we go off the record, can I
14 ask a couple of procedural questions?

15 JUDGE DALE: Certainly.

16 MR. MILLS: First of all, with regard to
17 tomorrow's examination of Mr. Scott --

18 JUDGE DALE: Yes.

19 MR. MILLS: -- Who is not going to be here, will
20 he have access to these kinds of documents that we've been
21 talking about today?

22 MR. HAAR: Judge, we're going to make sure that
23 someone is there and has all the exhibits available.

24 JUDGE DALE: Okay.

25 MR. MILLS: The Highway Patrol report in

1 particular?

2 MS. PAKE: Yes.

3 MR. HAAR: And the Highway Patrol report.

4 MR. MILLS: And with regard to -- and I wasn't
5 there at the earlier proceedings, but I noticed that from
6 reading through the transcripts that you cautioned all of
7 the previous witnesses that they were to be available for
8 re-call at some point.

9 Are there any plans to re-call any of those
10 witnesses? And if -- if we wanted to re-call them, how
11 would we go about requesting that?

12 JUDGE DALE: I think only the Commission would
13 be able to re-call them.

14 MR. MILLS: Okay.

15 JUDGE DALE: And at this point, it is not my
16 understanding that any of the Commissioners wish to
17 re-call them.

18 MR. MILLS: Okay. And then my final question
19 about witness scheduling has to do with Mr. Cooper. Is
20 Mr. Cooper going to be available at any point?

21 MR. BYRNE: No.

22 JUDGE DALE: It isn't -- no, I don't believe so.

23 MR. MILLS: Okay. And only the Commission could
24 make him available? Is that --

25 JUDGE DALE: I don't believe the Commission is

1 going to attempt to make him available.

2 MR. MILLS: Okay.

3 JUDGE DALE: You might want to talk to Mr.
4 Byrne privately off the record.

5 MR. MILLS: I'd rather do it on the record,
6 but --

7 JUDGE DALE: It involves personal circumstances
8 in Mr. Cooper's life. He's gravely ill.

9 MR. MILLS: Okay. Okay. So I --

10 JUDGE DALE: So at the present time, he is not
11 -- there are no plans to call him.

12 MR. MILLS: Okay. Thank you.

13 JUDGE DALE: Is there anything else before we go
14 off the record?

15 MR. REED: I'd like to move for admission of No.
16 48. The changes that I proposed on this page, Judge, was
17 in paragraph 5. Mr. Mentel indicated that we should
18 change aware to unaware. Beyond that, I think this was
19 adequately explained in his testimony without having to
20 make a lot of edits.

21 JUDGE DALE: So the -- unaware was -- should be
22 changed to aware in the one, two, three, four --

23 MR. REED: It's three from the bottom. It's
24 three from the bottom in paragraph 5. You'll see where it
25 says but was aware of when.

1 JUDGE DALE: Oh.

2 MR. REED: It should say but was unaware of
3 when.

4 JUDGE DALE: Okay. I was at the wrong unaware.

5 MR. REED: Sorry.

6 JUDGE DALE: Did the court reporter get the
7 changes as well? Could you -- I'll need to make that
8 change on your copy so for the one that's in the record.

9 THE COURT REPORTER: Okay.

10 JUDGE DALE: Thank you. Is there anything else
11 that I need to address?

12 MS. PAKE: Judge, we'd just note our standing
13 objection to admission of the summaries.

14 JUDGE DALE: Oh, yeah. See, I've actually got
15 it written down, over objection. Hearing nothing further,
16 it will be admitted.

17 Any other procedural or housekeeping matters
18 that I should discuss while we're on the record? Keep in
19 mind that we are tomorrow in 305 and that the witness will
20 be appearing by video link. I -- I don't know how well
21 we'll be able to see and hear and all that in the room.
22 We may have to move around after we're settled and find
23 out how well it's working. Anything else?

24 MR. BYRNE: Start at nine, right?

25 JUDGE DALE: Start at nine. Yes.

1 JUDGE DALE: Then we are in recess until
2 tomorrow. Thank you.

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

REPORTER'S CERTIFICATE

1

2 STATE OF MISSOURI)
) ss.
3 COUNTY OF OSAGE)

4

5 I, Monnie S. VanZant, Certified Shorthand Reporter,
6 Certified Court Reporter #0538, and Registered
7 Professional Reporter, and Notary Public, within and for
8 the State of Missouri, do hereby certify that I was
9 personally present at the proceedings as set forth in the
10 caption sheet hereof; that I then and there took down in
11 stenotype the proceedings had at said time and was
12 thereafter transcribed by me, and is fully and accurately
13 set forth in the preceding pages.

14

15 IN WITNESS WHEREOF, I have hereunto set my hand and
16 seal on August 14, 2007.

17

18

19

20 _____
 Monnie S. VanZant, CSR, CCR #0539

21 Registered Professional Reporter

22

23

24

25

I N D E X

1		
2	WITNESS: JAMES BOLDING	PAGE
3	Direct Examination by Mr. Thompson	1635
4	Cross-Examination by Mr. Mills	1651
5	Cross-Examination by Mr. Schaefer	1660
6	Cross-Examination by Commissioner Gaw	1673
7	Cross-Examination by Mr. Byrne	1758
8		
9	WITNESS: KEITH MENTEL	PAGE
10	Direct Examination by Mr. Reed	1764
11	Cross-Examination by Mr. Mills	1787
12	Cross-Examination by Mr. Schaefer	1806
13	Cross-Examination by Commissioner Appling	1823
14	Cross-Examination by Commissioner Gaw	1825
15	Reporter's Certificate	1899

E X H I B I T S

17	EXHIBIT	DESCRIPTION	OFFERED	ADMITTED
18	45	Highway Patrol	1650	1650
19		Report		
20	46	Highway Patrol	1651	1651
21		Report		
22	47-P	Manual	1764	1764
23	48	Notes/Interview	1896	1897