

1

2

STATE OF MISSOURI

3

PUBLIC SERVICE COMMISSION

4

5

6

7

TRANSCRIPT OF PROCEEDINGS

8

Hearing

9

July 24, 2007

10

Jefferson City, Missouri

11

Volume 1

12

13 In the Matter of an)
Investigation into an Incident)
14 in December 2005 at the Taum Sauk)
Pumped Storage Project Owned and)Case No.
15 Operated by the Union Electric)ES-2007-0474
Company, doing business as)
16 AmerenUE)

17

18 COLLEEN M. DALE Presiding,
CHIEF REGULATORY LAW JUDGE
19 JEFF DAVIS, Chairman,
CONNIE MURRAY,
20 STEVE GAW,
ROBERT M. CLAYTON III,
21 LINWARD "LIN" APPLING,
COMMISSIONERS

22

23 REPORTED BY:

24 MINDY VISLAY, CCR
MIDWEST LITIGATION SERVICES

25

1 A P P E A R A N C E S

2

3 THOMAS M. BYRNE, Attorney at Law
4 Ameren Services Company
5 1901 Chouteau Avenue
6 St. Louis, MO 63103
7 (314) 554-2514

8 FOR: AmerenUE

9 REBECCA W. HOUSE, Attorney at Law
10 Foley & Lardner, L.L.P.
11 777 East Wisconsin Avenue
12 Milwaukee, WI 53211
13 (414) 297-5681

14 FOR: AmerenUE and AmerenUE employees
15 subpoenaed as witnesses

16 ROBERT T. HAAR, Attorney at Law
17 LISA A. PAKE, Attorney at Law
18 Haar & Woods, L.L.P.
19 1010 Market Street, Suite 1620
20 St. Louis, MO 63101
21 (314) 241-2224

22 FOR: AmerenUE and AmerenUE employees
23 subpoenaed as witnesses

24 KURT U. SCHAEFER, Attorney at Law
25 Lathrop & Gage
26 314 East High Street
27 Jefferson City, MO 65101
28 (573) 893-4336

29 FOR: Missouri Department of Natural
30 Resources

31 KARA VALENTINE, Attorney at Law
32 221 West High Street
33 P.O. Box 176
34 Jefferson City, MO 65101
35 (573) 526-6826

36 FOR: Missouri Department of Natural
37 Resources

38

1

2 CHRISTINA BAKER, Assistant Public Counsel
200 Madison Street
3 P.O. Box 2230
Jefferson City, MO 65102
4 (573) 751-5565

5 FOR: The Office of Public Counsel.

6 KEVIN THOMPSON, General Counsel
P.O. Box 360
7 200 Madison Street
Jefferson City, MO 65102
8 (573) 751-3234

9 FOR: Staff of the Missouri Public
Service Commission.

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 P R O C E E D I N G S

2 JUDGE DALE: We are here today, July 24,
3 2007, in the matter of an investigation into an
4 incident in December 2005 at the Taum Sauk Pump
5 Storage Project, owned and operated by Union Electric
6 Company, d/b/a AmerenUE, Case No. ES 2007-0474.

7 I would like to make a few preliminary remarks
8 about the nature this case. This is an investigative
9 docket, and it is not a contested case. The ex parte
10 rule and other provisions don't apply that would apply
11 to a normal contested case. Any action that must be
12 taken, must be taken in a separate complaint case
13 filed by Staff or another interested party.

14 Due to the limited opportunity for cross, any
15 testimony here today that will be used in the
16 complaints proceedings shall be offered subject to
17 objections by other parties. In addition, no grant of
18 immunity under Chapter 386, specifically Section 470,
19 is given today; therefore, anyone who has any
20 constitutional rights to invoke should do so.

21 At this time, I will take entries of appearance.

22 MR. THOMPSON: Kevin Thompson for the Staff
23 of the Public Service Commission, Post Office Box 360,
24 Jefferson City, Missouri 65102.

25 MS. BAKER: Christina Baker, Assistant

1 Public Counsel, Post Office Box 2230, Jefferson City,
2 Missouri 65102, appearing on behalf of the Office of
3 Public Counsel and the rate payers.

4 MR. BYRNE: Tom Byrne, 1901 Chouteau
5 Avenue, St. Louis, Missouri 63103, appearing on behalf
6 of AmerenUE.

7 MR. HAAR: Robert Haar, 1010 Market Street,
8 St. Louis, Missouri 63101 appearing on behalf of
9 AmerenUE.

10 MS. HOUSE: Rebecca House, of Foley and
11 Lardner, 777 East Wisconsin Avenue, Milwaukee,
12 Wisconsin 53211, on behalf of AmerenUE.

13 MS. PAKE: Lisa Pake, 1010 Market Street,
14 St. Louis, Missouri 63101, on behalf of AmerenUE.

15 MS. VALENTINE: I'm Kara Valentine, Post
16 Office Box 176, Jefferson City, Missouri 65102. I'm
17 here on behalf of the Missouri Department of Natural
18 Resources.

19 JUDGE DALE: Thank you.
20 Are there any preliminary matters?

21 MR. THOMPSON: None that I am aware of,
22 Your Honor.

23 Well, we would, I think, like to invoke the rule
24 against witnesses.

25 JUDGE DALE: Do you wish to make any other

1 argument other than that request?

2 MR. THOMPSON: That's simply the request
3 that I would like to make.

4 JUDGE DALE: Unable to rule on that myself,
5 I will poll the Commissioners.

6 MR. HAAR: Your Honor, may we briefly
7 respond?

8 JUDGE DALE: Yes.

9 MR. HAAR: Robert Haar on behalf of
10 AmerenUE. We would object on the grounds that it's
11 unnecessary, also, it's fairly unusual for Commission
12 proceedings. We're dealing here with people who have
13 been interviewed a half dozen times, many of their
14 interviews are part of the public record. So the kind
15 of concerns that would motivate the rule under false
16 circumstance, we think, are not present here.

17 Moreover, if the Commission decides to invoke the
18 rule, we would like to have the right, as we would
19 normally in a Circuit Court case, to have one
20 corporate representative present.

21 JUDGE DALE: The rule excluding witnesses
22 will be invoked. However, the corporate
23 representative will be designated.

24 MR. HAAR: Mr. Mark Birk.

25 JUDGE DALE: Were any of those people

1 present in the courtroom?

2 MR. HAAR: Yes, they are, Your Honor.

3 So, those witnesses who have been subpoenaed, in
4 respect to AmerenUE, need to step out, with the
5 exception of Mr. Birk.

6 JUDGE DALE: Counsel, did you want to make
7 opening statements?

8 MR. THOMPSON: We'd be happy to, Your
9 Honor.

10 May it please the Commission. I don't plan to
11 take up much of your time this afternoon listening to
12 me, you have a lot of other people here you would
13 rather listen to.

14 I will state, simply, that it is all together
15 right and proper that this Commission should, at this
16 time, take up this investigation of the events, that
17 occurred at the Taum Sauk generating facility in
18 December of 2005, for the purpose of understanding
19 those events, and how it is that they were permitted
20 to occur, and to understand what lessons must be drawn
21 with respect to Ameren's operation of its other
22 generating facilities in this state.

23 The Missouri Supreme Court said, many years ago,
24 that, "This Commission has plenary authority to coerce
25 a public utility into a safe and adequate operation."

1 That is the focus of this proceeding; a safe and
2 an adequate operation. I think you will agree with me
3 that what happened at Taum Sauk was neither safe nor
4 adequate. I understand, and I know you do as well,
5 that no utility company wants that sort of event to
6 occur. Nonetheless, it did occur. It occurred
7 despite the fact that many very well educated and very
8 experienced professionals, in engineering and other
9 disciplines, were involved in operating and
10 safeguarding that plant.

11 This Commission has an obligation to the people of
12 the State of Missouri to understand how it was allowed
13 to occur and to understand what lessons must be drawn
14 from that occurrence and applied elsewhere throughout
15 the Ameren system. Thank you.

16 JUDGE DALE: Before we move on, I want to
17 make an announcement that I was supposed to make
18 earlier, that everyone who has a wireless device is to
19 turn it off. Merely muting it will not suffice.
20 Blackberries, particularly, will cause our recording
21 system to go out.

22 MS. BAKER: May it please the Commission.
23 The Office of Public Counsel argues on behalf of the
24 rate payers to ensure safe and adequate services
25 provided by their public utilities. Customers demand

1 and deserve utility service which is reliable, safe
2 and reasonably priced.

3 Customers have concerns regarding Ameren putting
4 profits before safety. Rate payers also have concerns
5 of Ameren policies of operating to failure and
6 reacting only in crisis mode.

7 So therefore, Public Counsel is pleased that this
8 Commission is looking into the Ameren Taum Sauk event.
9 On behalf of the rate payers, thank you.

10 JUDGE DALE: If you want to wait until
11 last, I will let you -- if there are other people who
12 want to make statements?

13 MR. HAAR: That's fine, Judge.

14 MS. VALENTINE: Commission Members, my name
15 is Karen Valentine, and I am here today on behalf of
16 the Missouri Department of Natural Resources.

17 Just very briefly, I understand the Commission
18 wants to here from one of our witnesses, Jim
19 Alexander. Jim is our Chief Inspector for the Dam and
20 Reservoir Safety Program. He's here today with a
21 presentation, a bunch of photographs that he's taken
22 of the dam.

23 So, we'll make him available. And our role, I
24 believe, is to just answer any questions that you
25 might have. Thank you.

1 JUDGE DALE: Thank you very much.

2 Now we're ready for Ameren.

3 MR. HAAR: Thank you, Judge.

4 Judge Dale, may it please the Commission. My name
5 is Robert Haar, and I'm here today to represent
6 AmerenUE in conjunction with my colleagues; Tom Byrne,
7 who I know the Commission is very well acquainted
8 with; Rebecca House, who is with the Foley Lardner
9 Firm which was involved in representing AmerenUE in
10 the FERC investigation; and my law partner, Lisa Pake.

11 I don't normally practice in front of the Public
12 Service Commission. I'm here today because I
13 represent AmerenUE in the suit that was filed by the
14 State Attorney General in Reynolds County, Missouri.
15 And I, in conjunction with my partner; Lisa Pake,
16 represented AmerenUE during the Missouri State Highway
17 Patrol investigation, which I understand is one aspect
18 of what the Commission is looking at here.

19 The December 14, 2005 breach of the Upper
20 Reservoir of the Taum Sauk Plant is now, certainly,
21 one of the most investigated incidents in Missouri
22 history. And it is an event that Ameren has heatedly
23 expressed regret for and expresses regret today.

24 By our count, this would be the sixth
25 investigation of the circumstances of the breach

1 including investigations by the Federal Emergency
2 Regulatory Commission and the Missouri State Highway
3 Patrol.

4 AmerenUE has fully cooperated with all of the
5 investigations. It has produced tens of thousands of
6 pages of documents and made all of its employees
7 available for interviews and testimony under oath.
8 And I will say that those investigations have been
9 thorough, they have been professional, and they have
10 been fair. The investigation conducted by the Highway
11 Patrol was in the finest tradition of that
12 organization.

13 I would submit that those investigations answered
14 all the important questions. The investigators
15 uniformly found that the breach on December 14, 2005
16 was not the product of intentional or reckless
17 misconduct, but the result of actions that were taken
18 in good faith by AmerenUE and its employees with the
19 belief that they were fully consistent with the safe
20 operation of the plant.

21 The investigations have indicated and shown that
22 mistakes were made. And the Senior Management at
23 AmerenUE has repeatedly taken responsibility for those
24 mistakes, and they do so again today.

25 Moreover, AmerenUE has taken responsibility for

1 the effects of the breach in even more tangible ways.
2 To date, it has spent approximately \$40 million for
3 the restoration of Johnson's Shut-ins without the
4 benefit of any settlement with the State. It
5 continues to pay taxes to support the schools, even
6 though the plant is not operational and not producing
7 revenue. It has spent \$5 million with respect to
8 community projects in the affected area as part of the
9 \$15 million settlement it entered into with FERC. It
10 has entered into a settlement with the Toops family,
11 and it has taken the lessons of Taum Sauk and changed
12 those operational procedures that were at fault in an
13 effort to increase the safety of all of its
14 operations.

15 And as this Commission is aware, the rate payers
16 have not born any of the expense associated with the
17 failure of the reservoir. All the restoration costs,
18 the FERC penalty, the settlements, were removed from
19 Ameren's cost of service in the recent rate case. And
20 in addition, for purposes of the rate case, AmerenUE
21 modeled its operations so that -- as if the Taum Sauk
22 Plant were operating, to give the customers the
23 financial benefit of the plant even though it's out of
24 service.

25 In light of all the investigations that have been

1 conducted, in light of the fact that it's now some
2 19 months after the breach, we frankly do have
3 questions as to why we're conducting -- or this
4 Commission is conducting -- this hearing today.

5 We have read the Kansas City Star article, and the
6 very disturbing e-mail traffic, indicating an attempt
7 at the highest level of State Government to coerce a
8 law enforcement agency for no reason other than
9 political advantage, and most important to us, at the
10 expense of AmerenUE and its employees. And we've
11 taken note that this e-mail traffic in June occurred
12 during the same time frame that the Commission and its
13 Staff, for the first time, indicated a desire to
14 investigate the reservoir breach, even though it has
15 previously indicated that the breach was outside its
16 jurisdiction. And we submit and maintain that the
17 breach is outside Commission's jurisdiction.

18 I would be less than candid with you if I did not
19 acknowledge our concern that Members of the
20 Commission, or its Staff, may have been subjected to
21 the same pressure as the Highway Patrol, and that as a
22 result of that pressure, we are here today.

23 MR. THOMPSON: I'm going to object at this
24 point, Your Honor. This has gone beyond opening
25 statement into insinuations and allegations of

1 impropriety, which I highly resent, and I have no
2 opportunity to refute.

3 I do object, sir.

4 MR. HAAR: Your Honor, if I may respond?

5 If anyone knows the difficulties of having your
6 integrity questioned by people with little or no
7 information, it's AmerenUE and its employees. And
8 we're not questioning the integrity of the Commission
9 at all.

10 AmerenUE has always had a good relationship with
11 the Commission, and we hope and believe our concerns
12 are unfounded, but we wanted to get them on the table.
13 We would like to see this hearing be a constructive
14 step forward.

15 AmerenUE and, we think, the citizens of Reynolds
16 County and the citizens of the State of Missouri,
17 would like to see us move beyond this to the
18 restoration of Johnson's Shut-ins, to rebuilding of
19 the Upper Reservoir, to placing the Taum Sauk Plant
20 back in operation.

21 And to that end and with a very short notice that
22 we've had, we've done the very best we can to respond
23 to the thirty-odd date of request that you've provided
24 AmerenUE. And although we're not sure of the
25 Commission's agenda today, as has been the case with

1 all of the investigations, AmerenUE's employees are
2 here today to answer your questions as best they can.

3 As the Commission has been informed, significant
4 personal issues have prevented two of our employees
5 from attending today; Mr. Voss and Mr. Cooper. We
6 have also been informed by the Staff that three of the
7 subpoenaed Ameren employees need not appear today; Mr.
8 Bolding, Mr. Mentel and Mr. Lee.

9 Those who are present today for the Commission's
10 information are; Mr. Steve Bluemner, the Consulting
11 Engineer, Ameren Energy Resources; Mr. Thomas Pierie,
12 Consulting Engineer Electrical, Ameren Energy
13 Resources; Mr. David Fitzgerald, Manager, Taum Sauk
14 AmerenUE, Missouri Regulated Operations; Mr. Warren
15 Witt, Manager, Hydro-Operations, AmerenUE, Missouri
16 Regulated Operations; Mr. Mark Birk, our corporate
17 representative, Vice President of Power Operations,
18 AmerenUE, Missouri Regulated Operations; and Steve
19 Schoolcraft, the Generation Coordinator Ameren Energy,
20 Missouri Regulated Operations.

21 All of these individuals have been interviewed
22 many times, and they've spent countless hours with all
23 these investigative agencies piecing together what
24 happened on December 14, 2005, an event I would -- I
25 know -- deeply affected them as well. Thank you.

1 JUDGE DALE: Thank you.

2 MR. THOMPSON: Your Honor, I want an
3 opportunity to respond to the allegations made by
4 Mr. Haar.

5 JUDGE DALE: If you could do so briefly.

6 MR. THOMPSON: I deeply resent, on behalf
7 of myself and on behalf of the entire Staff of
8 Missouri Public Service Commission, the insinuations
9 by Mr. Haar, on behalf of Ameren, that this
10 investigation has been undertaken for improper or
11 political reasons.

12 This investigation is undertaken now, because the
13 primary investigations by the FERC, by Ameren itself,
14 and by the Highway Patrol, have been completed and
15 those reports are in our possession. It would have
16 been a waste of resources, as well as -- frankly --
17 impossible, to pursue this investigation before those
18 primary investigations were completed.

19 That explains the scheduling of this
20 investigation. Thank you.

21 JUDGE DALE: Thank you, Mr. Thompson.

22 Are there any other preliminary matters I need to
23 address before we call the first witness?

24 Seeing none then, would you please call
25 Mr. Alexander.

1 MR. THOMPSON: I believe Mr. Alexander
2 arrived after the rule was invoked.

3 JUDGE DALE: We will pause while we address
4 a technical difficulty.

5 (An off the record discussion was held.)

6 MS. VALENTINE: Have you ever testified in
7 front of the --

8 COMMISSIONER CLAYTON: Judge, this is under
9 oath today, is it not?

10 JAMES ALEXANDER,
11 Of lawful age, being first duly sworn by the
12 Notary Public, testified as follows:

13 QUESTIONS BY MS. VALENTINE:

14 Q. Would you please identify yourself for the
15 record?

16 A. My name is James Alexander. I am Chief
17 Engineer of the Missouri Dam and Reservoir Safety
18 Program which is part of Missouri Department of
19 Natural Resources.

20 Q. Have you ever testified in front of the
21 Public Service Commission before?

22 A. No, I have not.

23 Q. Would you briefly go through your
24 educational qualifications?

25 A. I have a Bachelor of Science degree in

1 Civil Engineering from the University of Missouri at
2 Rolla. I have been the Chief Engineer at the Missouri
3 Dam and Safety Program for the last 12 to 15 years --
4 I'm not sure, they all add up I guess. I've also
5 worked for the Dam and Reservoir Safety Program since
6 1980.

7 Q. Do you work out of the Rolla office?

8 A. Yes, I do.

9 Q. What are some of the duties, of you, as
10 Chief Engineer?

11 A. I am responsible for issuing operating
12 permits on dams in the State of Missouri that are 35
13 feet or more in height that are not regulated by the
14 Federal Power Commission, or by FERC, or Federally
15 owned.

16 Q. And when you talk about 35 feet in height,
17 are you talking about the Missouri Dam Safety Law?

18 A. The Missouri Dam Safety Law only covers
19 dams in the State that are 35 feet or more in height.

20 Q. On the dam we're here to talk about today,
21 on top of Taum Sauk Mountain, is that a State
22 regulated dam?

23 A. No, it's not a State regulated dam, in that
24 it's regulated under the Federal Power Act.

25 Q. Now, Jim, are you familiar with the breach

1 of that dam, or the failure of the reservoir?

2 A. Yes.

3 Q. And what was your role in the investigation
4 following that breach?

5 A. Basically, representing the Department in a
6 technical investigation of the causes of that failure.

7 Q. And as you testify today, are you prepared
8 with some type of a PowerPoint presentation?

9 A. Yes. We -- in the process of our
10 investigation -- did collect a great deal of
11 photographs of the site that helps to explain what
12 happened, and some of the questions that we have that
13 we feel have not been properly addressed.

14 Q. As Chief Inspector for the Department of
15 Natural Resources, did you physically inspect the dam
16 after the failure?

17 A. Yes, I did.

18 Q. And as a result of your investigation, do
19 you have some questions that you believe are still
20 unanswered?

21 A. They are unanswered in my mind. I have not
22 personally seen all of the information that has been
23 provided by Ameren to the Department. I looked at a
24 large amount of it but not all of it. And so, as far
25 as I'm concerned, to my knowledge, these questions

1 have not been adequately addressed.

2 Q. I suggest we go through your PowerPoint
3 presentation, and then you can go through those
4 questions that you feel haven't been adequately
5 addressed.

6 A. I would warn you that it can take as short
7 a period of time as 30 minutes, and I could spend
8 two hours doing this.

9 JUDGE DALE: Well, hopefully we'll come
10 somewhere in the middle.

11 MS. VALENTINE: Did the Commission have
12 anymore questions of Mr. Alexander before he starts
13 his presentation?

14 THE WITNESS: So far, it hasn't loaded
15 so --

16 COMMISSIONER GAW: I do have some brief
17 questions, Mr. Alexander.

18 QUESTIONS BY COMMISSIONER GAW:

19 Q. The presentation you're getting ready to
20 make, who prepared it?

21 A. It was prepared by the Dam and Reservoir
22 Safety Staff.

23 Q. And how many people are there, four or
24 five, how many?

25 A. There are three Registered Professional

1 Engineers and one EIT.

2 Q. And who are they, what are there names?

3 A. In addition to myself, there is Robert A.

4 Clay, who is a Professional Engineer; there is Glen

5 Lloyd, another Registered Professional Engineer; and

6 Paul Simon, who is a recent graduate of UMR, and he is

7 an engineer-in-training.

8 Q. And what is your role in this presentation

9 as far as its preparation and --

10 A. I put this together as a visual aid to help

11 display the questions and the -- what we feel happened

12 at the time of the failure, and what the cause and

13 effect was.

14 Q. And when was it initially put together?

15 A. This was shortly after the failure as data

16 was collected, it has progressed, as time went on, as

17 more and more information -- we had more

18 information -- we've added to it to help clarify --

19 Q. I'm sorry, finish your sentence.

20 A. It's just, as we collected more information

21 on it, that we felt that certain areas need to be

22 clarified. We've added to it over time.

23 Q. When was the last time it was changed?

24 A. Probably about a month ago.

25 Q. And what was changed at that point?

1 A. We added a cross section of the dam.

2 That's just a rough cross section to show how the dam
3 was -- the makeup of the dam.

4 COMMISSIONER GAW: That's all I have right
5 now, thank you.

6 CHAIRMAN DAVIS: Mr. Alexander, can I ask
7 you a couple questions?

8 THE WITNESS: Sure.

9 QUESTIONS BY CHAIRMAN DAVIS:

10 Q. Did any of your supervisors at DNR, or did
11 anyone else in State Government, ever come to you and
12 tell you: I want this in your presentation, or I want
13 you to take this out?

14 A. No.

15 Q. So, it's -- this is solely work prepared by
16 you and your fellow colleagues there at DNR's Dam
17 Safety Division?

18 A. That is correct.

19 Q. And no one influenced your opinions in any
20 way?

21 A. Not to my knowledge.

22 Q. Could someone have done it without your
23 knowledge?

24 A. No, they could not have done it without my
25 knowledge.

1 CHAIRMAN DAVIS: Thank you.

2 (An off-the-record discussion was held.)

3 JUDGE DALE: Please go ahead in a narrative
4 form. You don't need to do question and answer, you
5 can just go through your presentation. And then, if
6 the Commissioners have questions, they'll ask you.

7 THE WITNESS: As you can see, in here,
8 basically, is just a picture of the Upper Reservoir
9 prior to the failure. We would like to point out, the
10 failure occurred in this area right in here, in the
11 northwest corner of the reservoir. That's the
12 location of it with regard to St. Louis and Cape
13 Girardeau.

14 The Upper Reservoir, this is just a topographic
15 map. We put it together showing the layout of the
16 property. You can see here, this is the Upper
17 Reservoir. The Lower Reservoir being down here.

18 The failure occurred in the northwest corner of
19 the reservoir traveling off a heavily wooded valley
20 towards the East Fork of the Black River where, when
21 it crossed the river, basically it divided into two
22 waves. The first wave, the larger of the two, went in
23 a counter clockwise direction and made its way down
24 through Johnson's Shut-ins State Park. The smaller of
25 the two waves went in a clockwise direction and

1 followed the first wave down stream.

2 There's a den wall, or structure gravel trap,
3 located down in here. The power house is located
4 right in this area. Johnson Shut-ins State Park is
5 located in this area. The dam for the Lower Reservoir
6 is located right down here.

7 As far as the breach data is concerned for the
8 failure, the top was 656 feet, the bottom width
9 496 feet. The reservoir drained in approximately
10 12 minutes, creating a maximum outflow of 289,000
11 cubic feet per second. Peak velocity, where it
12 crossed the East Fork of the Black River, was in the
13 neighborhood of 45 feet per second with a depth of
14 flow of approximately 19 feet.

15 The reservoir, when full, was a 55-acre reservoir.
16 Maximum storage of 5200 acre feet of water. A
17 reservoir depth of right around 90 feet. An outlet
18 tunnel diameter of 27 feet, which dropped vertically
19 451 feet. There was additional head on the structure
20 for the hydropower, but it had a 451 vertical drop at
21 the outlet tunnel inlet, and a generating capacity,
22 reported to us, as 450 mega-watts.

23 There's a cross section of the dam. And you can
24 see -- I'll point out a few things -- this was a
25 random-type rockfill structure sitting on top of a

1 rock, and then soil in some places. It had a concrete
2 reinforced -- steel reinforced concrete liner on the
3 upstream face, and then over the top of that, it had
4 several different -- it had a high-density
5 polyethylene liner that had been placed in 2004.

6 There was a parapet wall that sat on top of the
7 dam that was approximately ten feet tall. The
8 vertical segment here, which allowed water to go
9 within a foot of the top of the Upper Reservoir --
10 which was standard operating procedure -- but it also
11 had a leg that came down on the upstream face tied
12 into the liner, and then had an L that came out on the
13 crest of the dam that was about the width of a
14 sidewalk. And these two segments, here, was to
15 provide stability for the parapet wall.

16 There again, you have a picture of the reservoir
17 when it was full prior to the failure. The failure
18 occurred down in this area. You can see the power
19 plant down below the dam. It traveled through a
20 tunnel -- concrete lined tunnel -- down to the power
21 plant and through two turbines where power was
22 generated. These turbines could -- after generating
23 electricity -- could be reversed and used as pumps to
24 pump the reservoir back full, and that was usually
25 done during the evening hours.

1 Just a couple pictures of the turbines. This is a
2 picture of the lower dam, that the water was recycled
3 in this project, so that the water that was released
4 from the Upper Reservoir flowed into the Lower
5 Reservoir. And then, during the middle of the night,
6 that water was then pumped back up into the Upper
7 Reservoir to generate electricity.

8 This was a peak power facility, as you all know,
9 and it made their profit off of generating electricity
10 on on-peak hours.

11 Located downstream was Johnson's Shut-ins State
12 Park -- kind of a prized jewel of our State Park
13 system -- known for its pristine hiking trails and the
14 Shut-ins environment, which was very popular for
15 tourists in the summertime to take part in nature's
16 own water slide-type environment.

17 Here is a picture of the Upper Reservoir when it
18 was empty. There's a couple things I want to point
19 out on this photo. This reservoir suffered problems
20 for many, many years leaking water. It would leak at
21 two-and-a-half feet of water per day, was the reports
22 that I read prior to 2004. When that water was
23 leaking out, it was collected in a series of ditches
24 that ran around the perimeter -- the toe of the
25 structure -- into a pond located in this area. When

1 that pond would fill up to a certain elevation, a
2 couple pumps would kick on and water would be pumped
3 up into the Upper Reservoir to keep it with as much
4 water in it as possible for hydropower purposes.

5 This photo, if you look -- it's very subtle in the
6 back -- in the background here, you can see the gauges
7 that controlled the water level. It had two sets of
8 gauges. Basically, one, the normal operating set
9 that's for pressure transducers, that when water got
10 up to a certain elevation, the pump-back features were
11 shut off. And when water lowered to a certain
12 elevation, the drain feature -- or the generating
13 capacity -- was shut off at that point.

14 It's my understanding that this reservoir was
15 never normal operating procedure, never allowed for
16 the reservoir to completely drain. Because when it
17 would get down to about a third of the total capacity,
18 it would start a vortex operation -- or sequence --
19 where it would pull air into the tunnel and down
20 through the generators, and that was hard on the
21 turbines.

22 Here you have just a picture of the tunnel where
23 the water dropped down 451 feet to the turbines.
24 Here's the pond at the toe of the dam where the water
25 was -- the seepage water -- prior to 2004. It was, as

1 I said, two-and-a-half foot per day leaked out of the
2 reservoir. The reservoir was relined with a
3 high-density polyethylene liner in 2004, and that
4 seepage amount was reduced from two-and-a-half feet a
5 day to about .2 feet a day. So, it was very
6 successful in its ability to cut down on the seepage.

7 Just a photo of the pump-back facility, the pipe
8 going up into the Upper Reservoir. This was a picture
9 that was taken shortly after the failure. You can see
10 the pressure transducers in the background here. You
11 can see the bow in them. That's indicating that they
12 have come loose from the side of the reservoir and
13 were giving erroneous water surface elevations at that
14 point in time which led directly, we think, to the
15 failure of the structure.

16 I mentioned, in 2004, there was a high-density
17 polyethylene liner that was placed. Here's some
18 photos of that taking place. High-density
19 polyethylene is, basically, just a very tough plastic
20 liner. It's my understanding that there was two
21 layers of this placed down, and it was actually
22 attached to the top of the structure -- or to the top
23 of the parapet wall -- about a foot below with a metal
24 strip. More photos of that.

25 A couple things here that are important features

1 of this liner when it was installed is you had, up
2 here, you had a staff gauge up at the top. I think
3 it's important to note that this staff gauge did not
4 go all the way to the top. It basically stopped there
5 at the base of the wall and made it difficult to, when
6 the reservoir was full, to know exactly what the
7 elevation was in the reservoir so they could compare
8 that to their instrumentation.

9 The water level of this structure was remotely
10 operated from either St. Louis or the Lake of Ozarks.
11 It is my understanding, this set of pressure
12 transducers give them water level readings at the
13 control points, and that was -- you can see here -- it
14 was fastened to the side of the reservoir wall. And
15 these points, the bottom of these transducers, had to
16 be held in a specific place for it to give accurate
17 readings. It was these buckles that you see that came
18 loose and allowed this structure -- these pipes -- to
19 start flopping around. As they were, the pump-back
20 and the draw-down features were taking place. There
21 were a lot of currents generated in the reservoir and
22 that caused a lot of stress on these pipes.

23 Here's a photo of that control box where these
24 pressure transducers came into -- up out of the
25 reservoir -- and then were hooked into the

1 instrumentation to give them -- and translated into
2 readings, as far as water level readings were
3 concerned.

4 The emergency set of transducers -- or they call
5 them Warrick probes -- were also, if the primary set
6 did not function as intended, the water level got up
7 to the bottom of the Hi probe, it would sound a
8 warning, it was my understanding, and if the system
9 was not shut down prior to the Hi-Hi probe actually
10 being touched by water, then a cold shut down of the
11 whole facility would take place, and this was harmful
12 to the facility as well and not a desired thing to
13 happen. But that was the backup set of probes.

14 COMMISSIONER GAW: You just described the
15 way these Hi and Hi-Hi probes functioned. I wanted
16 you to clarify whether you're referring to how they
17 function at the time of the breach, or how they were
18 designed to function?

19 THE WITNESS: That's how they were designed
20 to function. At least that's my understanding.

21 What you see here is, again, a picture in the days
22 following the failure. You can see the misalignment
23 of the probes. These pressure transducers were
24 actually ran through these pipes and were fastened to
25 the side of the reservoir wall. They had a prescribed

1 elevation, and that was translated into the accurate
2 elevations they used to operate the facility. When
3 these turnbuckles turned loose, and those things got
4 to flopping around, then the accuracy of them
5 suffered, and instead of being able to get accurate
6 elevations, they could have been off several feet.

7 I'm going to go through several photos here that
8 depict the failure. You can see the failure, having
9 occurred in the northwest corner up in here, making
10 its way down through a heavily wooded draw into the
11 East Fork of the Black River.

12 You can see the makeup of the dam here, how clear
13 it is, but you can see, instead of -- there's a high
14 percentage of fines in the dam, greater than what was
15 the original intent for the dam at that point.

16 The bottom of the reservoir -- this is at the
17 breach -- you can see did not set on solid rock, there
18 was a lot of rock rubble under here. Basically, they
19 tried a multitude of things to get this to be water
20 tight. You can see asphalt that was used, you can see
21 concrete, and then on top of all that is the
22 high-density polyethylene. And then, actually
23 asphalt, it turned out to be one of the more
24 productive things that was used to seal the bottom of
25 the reservoir. More photos of the failure.

1 COMMISSIONER GAW: When were these photos
2 taken?

3 THE WITNESS: These photos were taken
4 within the first week or two of the failure, following
5 the failure of the dam. Most of these.

6 COMMISSIONER GAW: Thank you.

7 THE WITNESS: What you're seeing -- this
8 photo is -- at the top of the East Fork of the Black
9 River you can see the reservoir, being up in here,
10 made its way down across the East Fork. Here, the
11 Park Superintendent's home was located in this area.
12 You can see the first wave made its way down that
13 way, which was the greatest majority of the water.
14 The second wave come this way, traveled in a clockwise
15 direction, and then followed the first wave on down
16 stream destroying the Park Ranger's house and
17 depositing him and his family in this field down here.
18 A couple trucks were coming down the highway that
19 morning, they were washed off the road as well.

20 COMMISSIONER GAW: Can we go back to the
21 previous slide and tell me where the Park Ranger's
22 house was?

23 THE WITNESS: I believe it's right -- right
24 in here.

25 COMMISSIONER GAW: You're indicating sort

1 of in the middle and a little bit down from the center
2 of the slide?

3 THE WITNESS: Yes. You'll have a better
4 picture in a second. You can see the foundation at
5 this point, right here, of the Park Ranger's house.

6 Now, the big wave came, and went this way. The
7 smaller of the two came this way and washed the Park
8 Ranger and his family off into this field, destroying
9 the home. And you can see how the timber is laying
10 pushed over. You can see which wave went in which
11 direction if you look closely.

12 Here's a shot -- you can see if you get your head
13 cocked just right -- you can see a shot of the
14 Shut-ins, and a lot of sediment went down there
15 collecting in the Shut-ins environment. It was a big
16 part of the clean up process.

17 See how the creek has been clogged at that point
18 with debris, sand, gravel, rock, rebar. A lot of the
19 vegetation was completely stripped in most places
20 creating large log jams that had to be cleaned up.

21 I'm going to go through all these really quick.
22 You can see the devastation in the State Park. Here
23 was the entrance to the park -- in the vicinity --
24 where you can see how it was destroyed. If you are
25 familiar with the entrance to the park, that's what

1 you are looking at there. Here's the Park
2 Superintendent's home. This is how it looked
3 immediately after the failure. Here's one of the
4 trucks that was washed off the road. It was this
5 gentleman -- one of these gentlemen -- they climbed up
6 on top of the truck to escape the water, as it -- the
7 water went back down as quickly as it came up. It
8 went back down because there wasn't a tremendous
9 volume of water. Later, as the water went down, they
10 were able to hear the Park Superintendent's family
11 crying out for help, and they helped aid in the rescue
12 of that family, and are largely responsible for them
13 still surviving this.

14 Here again is the picture of the park. You see a
15 lot of the debris that was washed out back in the
16 background there. All those trees that were destroyed
17 settled out as soon as the water starting slowing
18 down, and that happened to be in the Shut-ins -- in
19 the park. You can see that stuff having settled out
20 in this area.

21 You see a lot of -- in the days following the
22 failure -- you could see lots of photos of the --
23 you'll see lots of photos of the liner that was in the
24 reservoir stuck up in the trees, and you saw that
25 scattered all over the place down there.

1 Here's the park office. You can see the high
2 water line on the park office. It was not destroyed,
3 but there was a lot of destruction of the trees and
4 log debris that was piled up around it. Huge rocks
5 were carried down off of the mountain and settled out
6 in the valley below, they had to be cleaned up.

7 And probably one of the worst problems that was
8 out there, as far making it difficult to clean up, was
9 the steel rebar -- which this was, I think,
10 three-quarter inch rebar -- mixed in with the
11 polyethylene liner, and also, still a lot of it had
12 the concrete attached to it. And you can see, with
13 that mixed in with the logs and other debris, created
14 a tremendous headache for Ameren as they proceeded
15 with the clean up. You mixed the logs in with all of
16 it, and the brush in with it, and it really created a
17 nightmare as far as trying to clean it up.

18 This is the den wall structure, or the gravel trap
19 dam, down here. It was designed to collect water, as
20 it flowed down the East Fork of the Black River, it
21 would carry a certain amount of debris with it. This
22 den was designed to intercept that water, let the
23 debris settle out, and try to keep that from flowing
24 into the Lower Reservoir so that the volume of storage
25 in the Lower Reservoir would not be compromised. You

1 can see that it served its function and caught a lot
2 of debris, but it overloaded and a lot of it ended up
3 going into the Lower Reservoir.

4 This is a picture down at the power house -- or at
5 the turbines -- the morning of the failure. You can
6 see the color of the water. This is a picture of the
7 lower dam, it overtopped down here. It was designed
8 to overtop, but it overtopped about six to 12
9 inches -- was the reports that I read. You can see
10 the color of the water, tepidity that was involved,
11 and once it made its way downstream of the Lower
12 Reservoir, it was pretty much -- as far as flooding
13 was concerned -- it was pretty much a non-event
14 downstream of the Lower Reservoir.

15 It did -- a lot of turbidity went downstream, and
16 that was a major issue in the clean up. But as far as
17 flooding was concerned, it was not much of a flood
18 wave that went on downstream of the Lower Reservoir.

19 We spent a lot of time looking at the parapet
20 wall. I'm going to show you some photos -- that's Tom
21 Hollenkamp from Ameren there with us that day in the
22 picture there. You can see the metal strip that the
23 liner was attached to the inside of the wall. And as
24 I indicated before this, it was normal operating
25 procedure to allow water to go up within one foot of

1 the top of the wall on normal operating basis. Now,
2 over a period of time they've had problems making this
3 wall water tight, and you can see a variety of things
4 there -- sometimes foam was in the gaps -- various
5 ways of trying to make the reservoir more water tight.

6 We saw a lot of signs of additional overtopping
7 that had occurred and damages that had happened to the
8 embankment. Here's a photo, I want to point out that
9 there's a road that goes right along the toe of the
10 dam in some areas, and you can see here, this used to
11 be wide enough for a truck to drive around the
12 perimeter -- if you were brave enough to drive, it was
13 an interesting drive around it, you could ride around
14 the perimeter of it. You can see hundreds of yards of
15 material that had been washed out.

16 This is panel 72. Other than the area that
17 failed, this probably suffered the worst -- next to
18 worst damages. What you are looking at is, this is
19 the back side of the inner liner, down here, that was
20 exposed, and if it hadn't failed where it did, this
21 one would not have lasted much longer. It could have
22 occurred here. These are sixty-foot long panels, cast
23 in place, and you can see this one not having much in
24 support there of that to keep it from topping as well.

25 COMMISSIONER CLAYTON: When you say, "this

1 side of the wall could have failed," are you talking
2 in an overtopping circumstance or everyday could have
3 failed?

4 THE WITNESS: This would have been
5 associated with the overtopping event on the morning
6 of December 14th.

7 COMMISSIONER CLAYTON: So, if the water
8 would have flowed over at this point on the wall --

9 THE WITNESS: It was flowing over at this
10 point at the time the failure occurred. And all I'm
11 trying to say is, if it hadn't failed over there where
12 it did -- if that would have held up, this one would
13 have failed. It probably wouldn't have taken too much
14 more overtop.

15 COMMISSIONER GAW: Are you familiar with
16 the height of the various panels?

17 THE WITNESS: Yes. We surveyed every panel
18 that remained after the failure. We've got both ends
19 of every panel that remained up.

20 COMMISSIONER GAW: How does the height of
21 this panel compare with the other panels as far as
22 your information is concerned.

23 THE WITNESS: Our information showed that,
24 other than, obviously, we couldn't survey what had
25 already failed and washed away, but what remained of

1 the upper parapet wall. This is the lowest spot on
2 the wall at that time.

3 COMMISSIONER GAW: And do you know what
4 that height was? If you don't know, I don't want you
5 to speculate.

6 THE WITNESS: I won't speculate then. I
7 could get that for you, we have that exactly. But if
8 I told you, I would be guessing. I can get you within
9 plus and minus four inches.

10 COMMISSIONER GAW: Well, let's be exact.

11 COMMISSIONER CLAYTON: On follow up to that
12 question. This is the lowest point in the entire
13 wall, how much variance would there be from lowest to
14 highest point, how much space?

15 THE WITNESS: Between two and three feet
16 from highest point to lowest point.

17 COMMISSIONER CLAYTON: Thank you.

18 THE WITNESS: Here you can see this is
19 immediately downstream, looking down at panel 72,
20 which is what we just looked at. This is looking off
21 the back side. And I point out the fact, where
22 hundreds of yards of material were removed here --
23 this is very wet of course -- the rock that had been
24 removed and spread out here on the road, there's a
25 green area between the toe of the dam and the road at

1 this point. Now, when you get on around here, there
2 is no green area there. It is basically right along
3 the toe of the dam. You can see how the rock spread
4 out into the trees here down below the toe of the dam.
5 I want to show you a contrast here in few minutes.

6 Now, this is over on -- remember, the dam failed
7 on the northwest corner -- this is on the southeast
8 corner, another area that suffered a great deal of
9 overtopping, and you can see a lot of erosion having
10 occurred here. But in this area, the thing that was
11 odd that we discovered -- we did not get to look at
12 this the day of the failure, we were there the next
13 day. So, we were here on the 15th, this is when this
14 photo is taken.

15 And you can see the grass is standing vertical in
16 this area, and one can see -- one odd thing that
17 really struck us, one of our unanswered questions --
18 is with the rock that spread out all in the green area
19 of panel 72, with the road right here at the toe of
20 the dam, why was there not any rock on this road?
21 Where did all that material go to? That is one of the
22 questions we continue to ask ourselves as we look at
23 this facility.

24 Another photo of that area, you can see the road
25 goes right along the toe of the dam, but no rock

1 actually went out on the road.

2 QUESTIONS BY COMMISSIONER GAW:

3 Q. The question that you're asking, in
4 regard to why is there no rock on that road, did you
5 ask that question of Ameren?

6 A. Yes.

7 Q. Who did you ask it of?

8 A. We talked to, primarily, Mark Birk and
9 Warren Witt.

10 Q. And did you personally participate in that?

11 A. Yes, I did.

12 Q. And what were you told?

13 A. They didn't know.

14 Q. And this is -- I think you said this but --
15 this is a picture representing what's below panel 72?

16 A. This picture is the southeast corner. I'll
17 go to -- that's panel 72, below panel 72 right there.

18 Q. Is that the same area that you're showing
19 us --

20 A. No, that's on the south -- that would be
21 the southwest corner. Panel 72 is southwest.

22 Q. It is southwest. So, what panel is
23 associated with the southeast part?

24 A. It's about panel 55, I think.

25 Q. Do you know the height of that panel?

1 A. It's ten feet, all panels are ten feet
2 tall.

3 Q. Do you know --

4 A. I don't know what the elevation at the top
5 of it was. I can get that for you though.

6 Here's panel 72 again, you can see how -- just to
7 show you how much erosion did occur there and how
8 tenuous its situation was the morning of the failure.

9 Now, some of the things I really want to point out
10 to you here is that, panel 72 was in this area -- this
11 general area -- but I was showing you -- the question
12 I had about where was the rock on the road -- was
13 located over in this area.

14 And that concludes my PowerPoint. I went through
15 it very quickly, but I thought your time was very
16 precious.

17 JUDGE DALE: Can you tell me, is that a
18 spare copy?

19 THE WITNESS: Yes. I can leave this with
20 you.

21 JUDGE DALE: Thank you. That will be
22 marked as Exhibit 1 for purposes of this hearing.

23 (Hearing Exhibit No. 1 was then marked for
24 identification by the Court.)

25 THE WITNESS: I did have questions -- a

1 list of questions -- that I have developed, if you're
2 interested in hearing those. Is that okay.

3 JUDGE DALE: Go right ahead.

4 COMMISSIONER GAW: Before you get to that,
5 on the subject that you were just discussing, how many
6 different places did you find evidence that there was
7 overtopping in the December 14, 2005 incident?

8 THE WITNESS: We found there was, I
9 believe -- and I'm having to guess on this to a
10 certain extent -- three or four places that had
11 previously overtopped. Now, how many of those
12 overtopped the morning of December 14th, I would only
13 be confident in saying without a doubt that, where it
14 overtopped and failed, that obviously happened that
15 morning. And panel 72, I feel confident that it
16 overtopped that morning.

17 The other ones had overtopped. Whether or not
18 that occurred that morning or a previous time, I could
19 not say.

20 COMMISSIONER GAW: And again, what panels
21 were they?

22 THE WITNESS: They were panel 55, and there
23 was another one with a small amount of erosion damage
24 associated with it, but I don't remember -- it was
25 more on the northern side of the reservoir.

1 I do want to point out that the Taum Sauk
2 Reservoir is not regulated by the Department of
3 Natural Resources or by the Dam and Reservoir Safety
4 Program. And I did get to look at a lot of
5 information concerning this dam, but by no means have
6 I seen all of it. So, some of these things that I'm
7 bringing up may have been answered before but not to
8 my knowledge.

9 My first question that I would have for Ameren
10 would be: At the time of the failure, what was the
11 elevations of the Hi and Hi-Hi probes? It is my
12 understanding that Ameren has made estimates of these
13 elevations, but no documentation has been provided to
14 affirm these estimates, to my knowledge.

15 My second question has several different others
16 associated with it, and I'll try to go over that as
17 best I can.

18 How many times were the elevations of the Hi and
19 Hi-Hi probes adjusted? I'd like to know the dates,
20 how was it determined that the probes were
21 malfunctioning and thus needed adjusting? What was
22 the reservoir level gauge reading in the control
23 center each time pump-back was halted by the Hi and Hi
24 -Hi probes? Was the reservoir elevation visually
25 confirmed after any of the premature shut-downs prior

1 to water being released for generating purposes? What
2 were the settings each time they were adjusted, and
3 what procedure was used to verify that the probes
4 would perform as intended at the adjusted elevations?

5 Now, my third question is, on the morning of
6 December 14, 2005, at what times were the probes
7 removed?

8 Number four, who ordered those probes removed?

9 Number five, what was the rationale for removing
10 the probes?

11 And six -- and finally -- is, how often was the
12 reservoir elevation compared to the instrument
13 readings at the control center?

14 And that's all I have.

15 JUDGE DALE: Staff, you may proceed.

16 MR. THOMPSON: Thank you, Your Honor.

17 QUESTIONS BY MR. THOMPSON:

18 Q. Mr. Alexander, what's your job title?

19 A. I am the Chief Engineer of the Missouri Dam
20 and Safety Program.

21 Q. And what qualifications do you have?

22 A. I am a graduate, Civil Engineer, from
23 University Missouri, Rolla, graduated in 1974 and have
24 been working for the Dam and Reservoir Safety Program
25 since 1980 and Chief Engineer of the Dam and Reservoir

1 Safety Program since 1993.

2 Q. Do you consider yourself to be
3 knowledgeable in dam safety?

4 A. Yes, sir. I do.

5 Q. Do you recall Mr. Haar's opening statement?

6 A. No, sir. I'm not sure I was here.

7 Q. If I told you that he stated that it has
8 been shown that there was no recklessness associated
9 with the event at Taum Sauk, would you have reason to
10 disagree?

11 MR. HAAR: I will object. I think that
12 calls for a legal conclusion, and I don't think --

13 MR. THOMPSON: I don't think that's a legal
14 conclusion, to say that is what Mr. Haar said.

15 JUDGE DALE: Why don't you break your
16 question up into single questions.

17 MR. THOMPSON: I will attempt to do that.

18 QUESTIONS BY MR. THOMPSON:

19 Q. Are you familiar with the report that was
20 produced by an independent consultant, hired by
21 Ameren, and which is available on the website of the
22 Federal Energy Regulatory Commission -- I believe it's
23 referred to as the Rizzo Report?

24 A. Yes, sir. I am.

25 Q. Do you recall that the Rizzo Report

1 indicated, that on the day of the incident, the Hi
2 probe was set at elevation 1597.4 and the Hi-Hi probe
3 at elevation 1597.7?

4 A. Yes, sir. I do.

5 Q. The Rizzo Report also states that the
6 lowest point on the parapet wall -- the top of the
7 parapet wall -- was 1597.0; do you recall that?

8 A. Yes, I do.

9 Q. Would you consider it imprudent to set
10 probes at a level higher than the lowest point on the
11 parapet wall?

12 A. Certainly.

13 Q. Are you aware that the Rizzo Report states
14 that the Upper Reservoir was designed to operate with
15 two feet of free board?

16 A. No, sir. I did not. I do recall that.

17 Q. Do you have any reason to disagree if I
18 tell you that's what it says?

19 A. No. I do know that it was normally
20 operated within one foot of the top of the wall.

21 Q. Now, you were interviewed by the Missouri
22 Highway Patrol; were you not?

23 A. Yes, I was.

24 Q. On February 2nd, 2006?

25 A. If you say so.

1 Q. Okay. Have you had an opportunity, I
2 wonder, to look over that?

3 A. Yes, sir.

4 Q. Recently?

5 A. Not recently, no.

6 MR. THOMPSON: May I approach, Your Honor?

7 JUDGE DALE: Yes, you may.

8 QUESTIONS BY MR. THOMPSON:

9 Q. I'm handing you a copy of your interview
10 with the Missouri Highway Patrol. And attached to
11 that is a memorandum that you produced.

12 A. Yes, sir.

13 MR. THOMPSON: I wonder if we might have
14 that marked as Exhibit 2, Your Honor?

15 JUDGE DALE: Yes, you may.

16 QUESTIONS BY MR. THOMPSON:

17 Q. Now Mr. Rizzo -- excuse me.

18 Mr. Alexander, as you look over that fairly brief
19 interview, do you see any corrections that need to be
20 made, are there any mistakes in it, anything that you
21 believe is inaccurate?

22 A. No, sir. It looks to be complete to me --
23 to be correct.

24 Q. So, today, when you were under oath, you
25 would -- would you not -- agree that you would give

1 essentially the same answers if you were interviewed
2 at this time?

3 A. Yes, sir.

4 Q. And attached, as I said, is a memorandum
5 that, evidently, you produced on January 19, 2006; do
6 you see that?

7 A. Yes, sir.

8 Q. Have you had a chance to look at it, sir?

9 A. Yes, sir.

10 Q. Do you recognize that as a memorandum that,
11 in fact, you produced?

12 A. Yes, sir.

13 Q. The contents of that memorandum -- those
14 contents were true at the time you prepared that to
15 the best of your knowledge and belief; is that
16 correct?

17 A. Yes, sir.

18 Q. And you would essentially give the same
19 account today if you were asked questions about that
20 meeting, would you not?

21 A. Yes, sir.

22 Q. Do you see on the first page, the second
23 bullet point, it states: The maximum water level
24 allowed in Upper Reservoir was elevation 1596?

25 A. Uh-huh.

1 Q. So far as you know, did you understand that
2 to be the normal operating level?

3 A. Yes, sir.

4 Q. And that is not two feet from the lowest
5 point, is it?

6 A. No, sir.

7 Q. In fact, it's only one foot?

8 A. Yes.

9 Q. Now, as an expert in dam safety, sir, would
10 you recommend that a dam, such as the Taum Sauk Upper
11 Reservoir, be operated with only one foot of free
12 board?

13 A. Only if you were very confident that you
14 knew exactly what the elevation was.

15 Q. Thank you, sir.

16 MR. THOMPSON: I would offer Exhibit 2 at
17 this time.

18 JUDGE DALE: Any objections.

19 MR. HAAR: No, Your Honor.

20 JUDGE DALE: Exhibit 2 is admitted into
21 evidence.

22 (Hearing Exhibit No. 2 was then entered
23 into evidence.)

24 MR. THOMPSON: I have no more questions for
25 Mr. Alexander at this time. I would like to thank you

1 for participating today. I don't know if you know
2 this, but you are under subpoena. The General Counsel
3 from the Department of Natural Resources accepted the
4 subpoena on your behalf this afternoon.

5 And Your Honor, I would suggest that, at the end
6 of his testimony, Mr. Alexander not be excused because
7 this is an on going investigation, and we may need to
8 talk to him again. Thank you.

9 JUDGE DALE: Miss Baker.

10 MS. BAKER: Thank you.

11 MS. VALENTINE: I do understand he does
12 need to leave, but he is willing to come back whenever
13 you need him.

14 THE WITNESS: I have to be at meeting in
15 Troy, Missouri at eight o'clock.

16 MR. THOMPSON: I didn't mean retained here
17 today. I meant that he not be excused in a way that
18 we could not recall him at a later time, or even take
19 his deposition, if that's necessary.

20 MS. VALENTINE: That's fine.

21 JUDGE DALE: Miss Baker, did you have
22 questions?

23 MS. BAKER: Yes, thank you.

24 QUESTIONS BY MS. BAKER:

25 Q. I have some questions about the prior

1 incidents where the water had topped over the
2 reservoir. Why were those situations different from
3 the date when it caused the failure?

4 A. I'm not sure I understand your question.

5 Q. Why did the failure occur on the day it did
6 when other overtops did not cause a failure?

7 A. Basically, what happened on December 14th
8 was, the foundation of the parapet wall -- of the
9 sections of the parapet wall where the failure
10 occurred -- got undermined to the point where they
11 were no longer stable, they turn loose -- or they
12 toppled -- releasing the reservoir storage. And that
13 caused failure of the dam and the release of its
14 contents.

15 Any prior overtopping that may have occurred did
16 not do enough erosion to cause those walls to topple.

17 Q. So, what you're saying is, on that
18 particular day, there was enough scouring at the
19 bottom of the wall to cause a failure?

20 A. Yes, ma'am.

21 Q. The failure that occurred, as you said, was
22 at the bottom of the wall. How much of a play did the
23 fines within the wall play into the fact of causing a
24 large amount of scour?

25 A. The fine material in the rock embankment

1 added to its erodibility and caused it to be more
2 unstable during the overtopping event, allowed there
3 to be a lot more erosion in that area which undermined
4 the foundation of the wall and caused it to fail.

5 Q. Was it within the plans when -- or do you
6 know -- was it within the plans when the reservoir was
7 built that it had that degree of fines within it?

8 A. I'm not familiar enough with the original
9 design parameters to know that with certainty.

10 MS. BAKER: Thank you, that's all the
11 questions that I have.

12 JUDGE DALE: Any other questions from the
13 bench?

14 COMMISSIONER MURRAY: I just have a couple
15 of questions.

16 QUESTIONS BY COMMISSIONER MURRAY:

17 Q. The first one is, how many of the other
18 five investigations have you personally participated
19 in?

20 A. I'm -- the other five, I'm not sure what
21 you're referring to.

22 Q. In the opening statements for -- Ameren's
23 opening statements -- five other investigations were
24 mentioned. How many other investigations have you
25 participated in, in this event?

1 A. I have been at the site a number of times
2 with a variety of different people, but as far as
3 knowing whether or not it was part of an
4 investigation, I wouldn't be able to say for certain.

5 Q. Have you had your deposition taken?

6 A. Only by the Highway Patrol, to my
7 knowledge.

8 Q. Only once?

9 A. Yes.

10 Q. And have you filed a PowerPoint
11 presentation -- that you presented here today -- in
12 any other proceeding?

13 A. I have shown that to a number -- in a
14 number of proceedings. Both in the Department, with
15 the Attorney General's Office, with the U.S.
16 Attorney's Office. So, there have been a number of
17 times that this has been --

18 Q. And have you told us anything here today
19 that you haven't already told -- regarding this
20 event -- in the past.

21 A. No.

22 COMMISSIONER MURRAY: Thank you.

23 JUDGE DALE: Chairman Davis.

24 COMMISSIONER DAVIS: Thank you.

25 QUESTIONS BY CHAIRMAN DAVIS:

1 Q. Mr. Alexander, after your PowerPoint
2 presentation, you ran through a list of questions that
3 you developed. At what point did you develop those
4 questions?

5 A. Well, I read a report -- or I guess a press
6 release -- that there was going to be -- this meeting
7 was going to occur on the Taum Sauk investigation.
8 And it indicated that I was going to be asked to share
9 with this Commission any -- let's see -- that any
10 unanswered questions that I had, with regard to this,
11 would need to be brought forward at this point.

12 And it was at that time I kind of rounded up all
13 the questions that I had and put them into a form so
14 that I could give it to you today.

15 Q. Can you briefly run through that list
16 again?

17 A. Yes, sir.

18 COMMISSIONER CLAYTON: Slowly.

19 THE WITNESS: All right.

20 Question number one, at the time of the failure,
21 what was the elevation of the Hi and Hi-Hi probes? It
22 is my understanding that Ameren has made estimates but
23 no documentation has been provided to affirm these
24 estimates, to my knowledge. That's question number
25 one.

1 Number two, how many times were the elevations of
2 the Hi and Hi-Hi probes adjusted? And under that, I'd
3 like to know the dates they were adjusted. How was it
4 determined that the probes were malfunctioning, and
5 thus needed adjusting? What was the reservoir level
6 gauge reading in the control center -- and this would
7 be at the Lake of the Ozarks -- each time the
8 pump-back was halted by Hi and Hi-Hi probes?

9 Next was -- in addition to that -- was the
10 reservoir elevation visually confirmed after any of
11 the premature shut-downs prior to water being released
12 for generating purposes? What were the settings each
13 time they were adjusted? What procedure was used to
14 verify that the probes would perform as intended at
15 the adjusted elevations?

16 Question number three, on the morning of
17 December 14th, 2005, at what time were the probes
18 removed?

19 Number four, who ordered the probes removed?

20 Number five, what was the rationale for removing
21 the probes?

22 And number six, how often was the reservoir
23 elevation compared to the instrument reading in the
24 control center?

25 And that's all.

1 QUESTIONS BY CHAIRMAN DAVIS:

2 Q. Did you ever ask anyone from Ameren to
3 answer any of those questions?

4 A. We have asked those questions a number of
5 times -- not all of them, but some of those questions,
6 as we've gone along and looked for them in the
7 information that we have reviewed -- and have never
8 been able to come up with answers to those questions.

9 Q. Do you recall which questions you asked
10 specifically, the people in the Department of Natural
11 Resources Safety Division asked?

12 A. We have asked -- on the morning of, when
13 the probes were removed -- who ordered the probes
14 removed, and what was the rationale for removing the
15 probes. And then also, at the time of the failure,
16 what were the elevations of the Hi and Hi-Hi probes.
17 Those questions have been asked.

18 Q. When you read the Highway Patrol's report,
19 did you ever express any of those concerns about the
20 unanswered questions -- any of the unanswered
21 questions -- to the Highway Patrol?

22 A. I have not read the Highway Patrol's report
23 in its entirety. I know a lot of the information that
24 was in there, but I have never read completely through
25 the Highway Patrol report.

1 Q. Okay. So, is there -- you have read part
2 of it though?

3 A. I provided some of that information that's
4 in there.

5 Q. So, you only read the parts that you
6 provided the information for?

7 A. Not having seen the report, I don't know
8 just how much of it I was really associated with and
9 how much I wasn't. But I know a lot of it,
10 apparently, contained affidavits and comments that
11 we've made, interviews that we conducted. So I'm
12 obviously familiar with some of it.

13 Q. Okay.

14 CHAIRMAN DAVIS: I'll pass for right now,
15 Judge.

16 COMMISSIONER GAW: I'm going to pass for
17 right now also.

18 QUESTIONS BY COMMISSIONER CLAYTON:

19 Q. Mr. Alexander, I want to start off with
20 some questions about these questions.

21 First of all, you said that you have not read the
22 Highway Patrol report. So is it fair to say that some
23 of these questions could have been answered in the
24 report, you just aren't aware of the questions being
25 answered?

1 A. That's possible.

2 Q. Wouldn't it be best to review that report
3 in full before suggesting that additional action be
4 taken to find the answers to these questions?

5 A. That's, I think, the logical thing to do.
6 I was not given the report, I was just asked what my
7 questions were.

8 Q. You've never been given a copy of the
9 Highway Patrol report?

10 A. No.

11 Q. Have you ever asked for a copy of the
12 Highway Patrol Report?

13 A. No, sir.

14 Q. Can you give me an idea what we accomplish
15 if we answer these six questions?

16 A. I think it shows -- will show -- a great
17 deal about how the reservoir was being operated and
18 whether or not there was negligence involved, or
19 incompetence involved, in the operation of it.

20 Q. Let me give you an example. In some of
21 these questions you ask for specific information.
22 Like, on the first question, you asked about the
23 elevation of the Hi-Hi probes at the time of the
24 failure. But it's my understanding that Ameren has
25 already suggested that they weren't high enough or

1 they were at an improper height; would you agree with
2 that statement?

3 A. That's my understanding.

4 Q. If Ameren has made such an admission -- I'm
5 not sure if they have, but if they have -- does it
6 really matter what the exact location of those probes
7 are to this Commission -- to the State of Missouri --
8 does it matter?

9 A. I think the thing that matters is how many
10 times they were adjusted and why they were adjusted.

11 Q. And so, the first question isn't really the
12 most important question?

13 A. Correct.

14 Q. Let's go to the second question. How many
15 times were the Hi-Hi probes adjusted, I believe is --

16 A. Yes.

17 Q. I wrote these down as quickly as I could,
18 so if I mischaracterize your question, please feel
19 free to correct me.

20 You're interested in knowing how often these Hi-Hi
21 probes were adjusted?

22 A. Correct.

23 Q. Is there another term for Hi-Hi? I sound
24 kind of silly saying Hi-Hi.

25 A. They also have been referred to as the

1 Warrick probes.

2 Q. Thank you. Okay. Have you asked the
3 question to anyone from Ameren the details of how many
4 adjustments were made associated with the Warrick
5 probes?

6 A. No, sir.

7 Q. You've not even asked Ameren those
8 questions?

9 A. No, sir. Not myself, personally.

10 COMMISSIONER DAVIS: Can I just jump in
11 here for a second and ask another follow-up question.

12 QUESTIONS BY COMMISSIONER DAVIS:

13 Q. Mr. Alexander, isn't it true that the
14 Warrick probes, that were located at the highest
15 elevation on the dam, that they had to be, in essence,
16 bolted into the side of the dam -- or somehow affixed
17 there -- so any movement would be verifiable from a
18 visible inspection of just looking at the wall, would
19 it not.

20 A. Yes, sir. They would have been, if they
21 were left in place. They were removed the morning of
22 the failure.

23 Q. But still the holes would have had to have
24 been there?

25 A. I do not think you could tell, by where the

1 holes were, where the probes had been located.

2 Q. And why is that?

3 A. Because I think they could be -- could be
4 loosened and pulled up at a point to where you
5 couldn't tell. The bracket would not necessarily be
6 where the probes were located -- what elevation the
7 probes were located.

8 Q. And so, what if you -- and you wouldn't
9 know if Ameren has already in fact admitted, through
10 operator error or whatever, that the location of the
11 probes might have been so bad that it would have
12 rendered them useless anyway, would you?

13 A. What's your question?

14 Q. Would you be aware if Ameren had already
15 admitted --

16 A. I've read that. Yes, sir.

17 Q. So, you have read that they have -- might
18 have acknowledged that the location --

19 A. Yes, sir. I have.

20 CHAIRMAN DAVIS: I'm sorry, Commissioner
21 Clayton, go ahead.

22 COMMISSIONER CLAYTON: Quite all right.

23 QUESTIONS BY COMMISSIONER CLAYTON:

24 Q. So, we were talking about the number of
25 times the Warrick probes had been adjusted prior to

1 the breach?

2 A. Correct.

3 Q. Do you recall that part of the
4 conversation?

5 A. Yes, sir.

6 Q. And I think I asked the question, whether
7 you had asked Ameren any of these questions about
8 prior adjustments?

9 A. I have not, to my knowledge, asked any of
10 these questions personally.

11 Q. If it's such an important question, why
12 didn't you ask Ameren?

13 A. I have raised these questions with our
14 General Counsel and it was up to -- as far as I
15 know -- I mean, basically it's up to them to ask the
16 questions for the Department.

17 Q. Are you saying you've never asked Ameren
18 any questions?

19 A. I have taken part in a number of meetings
20 with Ameren where there was a question and answer
21 discussion. But after having gotten to the point to
22 where we were really in-depth investigating this, it
23 all went through our General Counsel.

24 Q. Let me ask a very basic question. Have you
25 ever asked Ameren any questions about the Taum Sauk

1 dam breach?

2 A. Sure.

3 Q. So, you have asked some questions of
4 Ameren?

5 A. Immediately following the breach, yes.

6 Q. Were you stopped from asking questions at a
7 certain point?

8 A. We were advised that our questions should
9 go through our lawyers.

10 Q. Okay. Have you ever conveyed -- have you
11 ever made a request to ask these questions to the
12 lawyers -- the attorneys?

13 A. Yes, sir.

14 Q. You have. And was that in writing or
15 verbally?

16 A. Verbally.

17 Q. And you've not asked any of the different
18 elements of this question, you didn't ask about the
19 dates or why they were adjusted -- why the gauges were
20 adjusted, what the readings were at the time of the
21 adjustment, none of those questions have been asked?

22 A. I have not asked those questions personally
23 of Ameren, no.

24 Q. Can you tell me, if we ask those questions,
25 what are we accomplishing by asking those questions?

1 A. As I said earlier, I think what we're
2 looking at, is whether or not the facility was being
3 operated in a negligent manner, and I think that would
4 reflect directly -- help to reach a proper conclusion.

5 Q. But once again, as I understand it, Ameren
6 has supposedly taken responsibility, accepted that the
7 gauges were at the wrong level. Does this give us
8 anything else, other than maybe more specific details?

9 A. I think it just provides more specific
10 details.

11 Q. Your third questions was, what time were
12 the probes removed; is that correct?

13 A. Third question was -- okay. Yeah, on the
14 morning of December 14th, what time were the probes
15 removed.

16 Q. I think -- could be part of that -- you
17 also asked who ordered the removal?

18 A. Yes, sir.

19 Q. And why were they removed?

20 A. Correct.

21 Q. Now, did you read the part of the Highway
22 Patrol report that suggests some answers to those
23 questions?

24 A. No, I have not read --

25 Q. Has anyone ever suggested to you that those

1 questions are answered?

2 A. No, sir.

3 Q. Isn't it true that -- or maybe it's not
4 true, maybe I'm incorrect on this.

5 Would it surprise you that there's a letter, dated
6 May 23, 2006, in the Highway Patrol report from
7 Ameren, which suggests some answers to the questions
8 that you've raised?

9 A. I have not seen such a letter. No, sir.

10 Q. But you haven't reviewed the reports, you
11 just don't know if those answers are in there?

12 A. That's correct.

13 Q. Now, in the PowerPoint presentation that
14 you have before us, did you take all the photographs?

15 A. No, sir. I did not.

16 Q. Who took those?

17 A. It's a compilation of several folks.

18 Q. Would it be the three staff that you
19 referenced?

20 A. That, plus there was a number of people
21 from the Division of Geology and Land Survey that were
22 present, and it would be some of their photos. Some
23 from the University of Missouri, Rolla. I think some
24 even came from the Department of Conservation.

25 Q. So, you didn't take any?

1 A. I took some of the photos. Yes, sir. But
2 not all of them by any means.

3 Q. Now, how often is a facility such as Taum
4 Sauk inspected, aside from the breach, is it inspected
5 regularly by your staff?

6 A. It is not inspected by our staff at all.
7 This is not a regulated dam by the State of Missouri.

8 We are always invited by Ameren -- or by FERC --
9 they offer an invitation, at times, to take part in
10 them if we so desire. But it not being a dam that was
11 regulated by us, we only took part in those
12 sporadically.

13 Q. How often -- or are you aware -- how often
14 FERC, the Federal Agency, actually does an inspection
15 of Taum Sauk?

16 A. It's my understanding that they inspect --
17 a general inspection -- every year, and every fifth
18 year they hire a consultant to do a detailed
19 inspection.

20 Q. Are you aware when the last inspection of
21 Taum Sauk occurred prior to the breach?

22 A. No, sir.

23 Q. Would you agree, disagree, or just don't
24 know, that an inspection was done by FERC in
25 August 2005?

1 A. Just having read some of the articles in
2 the newspaper that I have read, my understanding is
3 that there was one very shortly prior to the failure
4 having occurred.

5 Q. So, there was an inspection -- you would
6 agree that an inspection did occur in August 2005?

7 A. Apparently, yes.

8 Q. Were you invited to attend that inspection?

9 A. I don't know, sir. I don't recall. I
10 would not be surprised -- I would be surprised if they
11 hadn't sent us some type of notification that it was
12 taking place.

13 Q. But you did not attend the inspection, if
14 they did invite you?

15 A. No.

16 Q. Would you make it a point of participating
17 in such an inspection, or is it something that is not
18 important for your division?

19 A. It not being a regulated dam, and us having
20 a fairly small program to begin with, it's not on our
21 high list of priorities.

22 Q. Taum Sauk is not on a high list of your
23 priorities, is that what you said?

24 A. That's correct.

25 Q. Now, how soon --

1 JUDGE DALE: Before we continue with that,
2 it's -- we've been going for over an hour and
3 forty-five minutes. Let's take a ten-minute break and
4 come back at half past and continue with questions for
5 Mr. Alexander.

6 (An off-the-record discussion was held.)

7 JUDGE DALE: We're ready to go back on the
8 record and resume with questions from Commissioner
9 Clayton.

10 (Wherein, the requested portion of the
11 record was read by the court reporter.)

12 QUESTIONS BY COMMISSIONER CLAYTON:

13 Q. I think what we were talking about the
14 last FERC site-inspection that occurred in
15 August 2005. Would you agree with that, that's when
16 the last --

17 A. If you say so, yes, sir.

18 Q. And I think you suggested that you did not
19 attend that inspection?

20 A. That is correct. This is not a regulated
21 dam, and it's not something that is high on our to do
22 list.

23 Q. I think you said that inspecting Taum Sauk
24 wasn't a priority for your division?

25 A. Yes, sir.

1 Q. Now, have you ever done a site inspection
2 of Taum Sauk with FERC?

3 A. I have been at, at least one, that I can
4 think of. Yes, sir. It's been a number of years ago.

5 Q. You stated earlier that the Federal Energy
6 Regulatory Commission is the lead organization -- or
7 the lead government agency -- in regulating Taum Sauk?

8 A. Yes, sir. As far as safety issues are
9 concerned.

10 Q. Thank you. Are you aware of whether FERC
11 issued a report with regard to their inspection of
12 Taum Sauk following the breach?

13 A. Say that again, sir.

14 Q. Did the FERC issue a report -- let me ask
15 this, did the FERC inspect Taum Sauk following the
16 breach?

17 A. They hired an independent panel -- it's my
18 understanding -- to do that for them. They had people
19 at the site that went around and looked at it along
20 with everybody else, but their inspection is done
21 by -- I believe -- an independent consulting
22 engineering panel.

23 Q. So, is it your understanding that FERC did
24 not do an inspection of Taum Sauk?

25 A. Following the failure?

1 Q. Following the failure.

2 A. They did make a -- they were there -- they
3 were present. I do not -- I'm not aware of them
4 having inspected the dam.

5 Q. So, they made a site visit then?

6 A. Yes, sir.

7 Q. Some sort of visit to the dam?

8 A. Yes, sir.

9 Q. And in association with that, was a report
10 issued by FERC or by their consultant?

11 A. Their consultant issued a report, sir.

12 Q. Have you reviewed that report?

13 A. Briefly, yes.

14 Q. When you say briefly, what do you mean by
15 that?

16 A. I'm not sure I've poured over -- and it's
17 been a couple years -- approaching a couple years
18 since that occurred, and I'm not -- I'm sure I looked
19 at it, but I can't remember a lot of detail.

20 Q. Do you remember how large it is?

21 A. I don't recall.

22 Q. Did you read it cover to cover ever?

23 A. I would suppose I did, but I wouldn't --

24 Q. You're not for sure?

25 A. I'm not for sure.

1 Q. Is it possible that some of the questions
2 that you asked here today could be answered in that
3 FERC report?

4 A. That's a possibility. You know, a lot of
5 the questions -- I want you to understand -- that a
6 lot of the questions that I've raised here, we have --
7 it not being a dam that we regulate -- we don't have
8 the right to compel an answer to those questions.

9 Basically, they are just questions that we have,
10 as engineers out at the site, representing our
11 Department.

12 But this is part of a civil suit, and as result of
13 that, as that suit continues to go on, these questions
14 will be part of our discovery, I'm sure.

15 Q. It's my understanding that you haven't even
16 asked many of these questions of Ameren, let alone
17 compelling an answer to Ameren?

18 A. I have brought these questions to the
19 attention of our Administration.

20 Q. Who are you referring to?

21 A. I am referring to the Directors Office.

22 Q. So, in referring these questions to the
23 Directors Office, did they tell you not to ask Ameren
24 these questions?

25 A. I have not had the opportunity -- they did

1 not tell me not to, they just said those type of
2 discussions would take place, you know, through our
3 attorneys, but they were to handle the case.

4 We were supposed to advise them of the engineering
5 aspects, and they were handling that part of the case.

6 Q. Well, help me understand the first time
7 that you raised these questions?

8 A. Is that your question?

9 Q. It is.

10 A. These are questions that any engineer -- I
11 think -- familiar with the site is going to ask in
12 trying to understand what took place out at this site.

13 A set of equipment was operating there that -- for
14 all intents and purposes, from everything I've seen
15 and heard, and heard here today -- when tested after
16 the fact the failure occurred, show that they were
17 fully operational. But for some reason, as they were
18 doing their job over a period of time, they were
19 removed and adjusted assuming that they were
20 malfunctioning.

21 And I have seen or heard no justification for why
22 anyone thought they were malfunctioning and why they
23 weren't just doing their job.

24 Q. Maybe you don't understand my question.
25 When did you raise these six questions that you've

1 identified as being very important in this
2 investigation?

3 A. This has been a compilation of questions
4 that I've had from day one. Basically, as we've gone
5 through them -- we tried to read through as much as
6 you can -- and finally get to the point to where these
7 are the questions that I have, that I do not and have
8 not read or discovered the answer to.

9 Q. So, the day after the breach you had these
10 questions?

11 A. Not necessarily. They developed in the
12 period of time between then and now.

13 Q. So, over an 18-month period, these
14 questions have come up?

15 A. Yes, sir.

16 Q. Do you think they're worth asking now?

17 A. Yes, sir.

18 Q. And yet the question hasn't really been
19 posed to Ameren, just asking the question?

20 A. I do not know what has been posed to Ameren
21 at this point.

22 Q. Okay. Is it true that you did not visit
23 Taum Sauk for a period of two weeks --

24 A. Yes, sir.

25 Q. -- following the breach?

1 A. For medical reasons.

2 Q. I'm sorry?

3 A. I had medical problems with my eyes.

4 Q. And how many people did, from your
5 division, did visit Taum Sauk?

6 A. I don't have a division, I have a program.
7 But there's -- that program consists of four
8 engineers, myself being one of them. The other three
9 engineers were there, two of them -- at least one of
10 them the day of the failure. Two of them, I know, the
11 day after the failure, and a number of times between
12 there and when I visited on December 29th.

13 Q. Okay. Are you aware -- well, let me ask
14 this question. Have you talked to the FERC about the
15 questions that you feel are important here today?

16 A. These same questions have been discussed
17 with FERC over a period of time.

18 Q. And can you tell me whether FERC believes
19 these questions need to be answered?

20 A. They have indicated that they were
21 interesting questions. But to my knowledge -- and
22 they even indicated at one point they were going to be
23 something that was put into their report. But after
24 that discussion occurred, the very next day the report
25 came out, and they were not in it. No, sir.

1 Q. And that is the agency with the
2 responsibility to regulate Taum Sauk for safety; is
3 that correct?

4 A. Yes, sir.

5 Q. Okay. How many reports have you drafted in
6 association with Taum Sauk, or have you drafted any
7 reports or memorandums?

8 A. I have no -- we have tried to document
9 our -- at least our early on association with
10 everything that we did, some of which you are -- you
11 have access to.

12 We also wrote up a report, our final conclusions
13 of the Dam Reservoir Safety Program and have shared
14 that with the Directors Office.

15 Q. So, did you prepare a memorandum dated
16 January 19?

17 A. Yes, sir.

18 Q. Does that memorandum list any of these
19 questions that you've raised here today?

20 A. This was not a question type of document.
21 This was basically a chronological series of events
22 that had taken place between December 14th and, I
23 guess, January 19th.

24 Q. But this memorandum does not raise any of
25 the questions that you mentioned here today; is that

1 correct?

2 A. I don't know that it asked any of those
3 questions. It does elude to a number of those, saying
4 things that we saw that we thought was curious. It
5 helped formulate some of the questions that I have
6 given to you today.

7 Q. Are there any other reports that you
8 prepared in association with Taum Sauk?

9 A. Yes, sir. I mentioned one other one.

10 Q. What is the other?

11 A. That was just a summary of the findings of
12 the Dam Reservoir Safety Program with regard to the
13 failure.

14 Q. And what is the date of that document?

15 A. I do not know, sir.

16 Q. Could you approximate?

17 A. It was probably early 2006.

18 Q. So, about the same time -- about the same
19 time as January 19, 2006?

20 A. I would say it was probably February and
21 March, that time frame. It followed this report.

22 Q. And does that report list these questions
23 that you've raised here today?

24 A. It does mention a number of them. Yes,
25 sir.

1 Q. Do you know when the FERC report was
2 issued?

3 A. No, sir.

4 Q. Do you know when the Highway Patrol report
5 was issued?

6 A. No, sir.

7 Q. You stated -- you have stated, as listing
8 out to your questions, that you were concerned about
9 when the Warrick probes were moved following the
10 breach; is that an accurate presentation of your
11 question?

12 A. Yes, sir.

13 Q. And there were also suggestions in the
14 press that there was some sort of tampering done; is
15 that accurate?

16 A. They were -- their adjustments -- they were
17 removed.

18 Q. How long were those probes to remain in
19 place, in your opinion?

20 A. In my opinion, those probes should not have
21 been removed until it was well documented as to their
22 exact setting and what the -- everyone had a chance to
23 verify that.

24 Q. Everyone had a chance to verify what?

25 A. Where they were set at the time of the

1 failure.

2 Q. When you say "everyone," do you mean your
3 agency as well as the FERC?

4 A. Yes, sir.

5 Q. So, now Taum Sauk is a priority?

6 A. At the time it failed, and destroyed
7 Johnson's Shut-ins State Park, it became a very high
8 priority for the Department of Natural Resources.

9 Q. Are you aware of whether the FERC has ever
10 accused Ameren of improperly tampering with those
11 probes?

12 A. I'm not aware of that, sir.

13 Q. If there was improper tampering or improper
14 removal of the probes, is that something that FERC
15 would have raised in their report?

16 A. I would think that the fact that they had
17 been removed should have been part of that report.
18 Whether it was or not, I don't recall.

19 Q. You don't know if it's in the report?

20 A. I don't remember.

21 Q. You don't remember. At any point, have you
22 written any document, any report, which suggests
23 illegal or improper tampering with the Warrick probes?

24 A. I know that we have -- I would stop saying
25 illegal. I know that we had pointed out, and have had

1 as a subject of conversation, as to questioning why
2 those probes would be removed when they were such a
3 key part of the event.

4 Q. Do you believe that is still an important
5 fact even if Ameren has already admitted that they
6 were improperly set?

7 A. I think it is. Yes, sir.

8 Q. Are you aware of who the outside testing
9 company was in association with the FERC?

10 A. No, sir.

11 Q. You don't know the name of the firm, or the
12 engineers, or consultants that did the inspection?

13 A. It was a panel of experts, to my knowledge.

14 Q. I'm asking.

15 A. I think it was a panel of experts that
16 represented more than one company. It wasn't just a
17 company, it was a panel that they placed together.

18 Q. Do you know if that panel or company tested
19 the Warrick probes?

20 A. I don't know that, sir.

21 Q. Are you aware of any information that would
22 suggest that the outside testing company thought that
23 the Warrick probes had been tampered with?

24 A. Well, the fact they had been removed the
25 day of the event is the only tampering that was done

1 to my knowledge.

2 Q. You were interviewed by the Highway Patrol?

3 A. Yes, sir.

4 Q. Did you ever advise them in your statements
5 that you believe that the Warrick probes had been
6 tampered with?

7 A. I did advise them that the Warrick probes
8 had been removed the morning of the failure and were
9 later observed on December 29th laying down in the
10 power house.

11 Q. Do you know the date of that -- is that in
12 a statement somewhere?

13 A. That --

14 Q. That you advised the Highway Patrol that
15 someone had tampered with evidence, could you identify
16 that statement for me?

17 A. I don't have the -- I don't think -- all I
18 have been given here is a copy of a chronological
19 event memo that I wrote on January 19th, and it does
20 not reflect what was discussed with the Highway Patrol
21 when they did their interview.

22 So, no. I cannot point to where I brought that
23 out, but I would assume that would be part of that.

24 Q. But you can't identify here today where, in
25 any of your statements made to the Highway Patrol,

1 that someone had jacked with the evidence, or tampered
2 with the evidence?

3 A. No, sir, I cannot. Based on what --

4 Q. Do you acknowledge that you made the
5 statement to the press that someone had "jacked" with
6 the evidence?

7 A. Yes, sir. I did.

8 Q. Do you have regular contact with the press?

9 A. I have had a number of times. Yes, sir.

10 Q. How often would you say you have contact
11 with the press in your position -- at your program, or
12 your division?

13 A. I have, probably, half a dozen times a
14 year.

15 COMMISSIONER CLAYTON: Judge, I don't have
16 any additional questions.

17 If I could do something, we did want to
18 acknowledge J.C. Kuessner is here -- I'm not sure of
19 his district. Is it Shannon or Reynolds County?

20 MR. KUESSNER: Shannon and Reynolds.

21 COMMISSIONER CLAYTON: He had inquired and
22 we wanted to acknowledge him.

23 COMMISSIONER GAW: I don't have very many
24 questions.

25 QUESTIONS BY COMMISSIONER GAW:

1 Q. Mr. Alexander, you testified, I believe,
2 that you have read, or perused, or scanned, or
3 something, the FERC Independent Panel of Consultants
4 report that was submitted, I believe, on May 24, 2006;
5 is that correct.

6 A. Yes, sir. I have seen that report and have
7 looked at it, but it has been many, many months since
8 I did that. It's been close to two years.

9 Q. Do you know whether or not that report
10 makes any findings in regard to the height of the two
11 Warrick probes at the time of the breach?

12 A. I don't recall, sir.

13 Q. Do you have a copy of that report with you?

14 A. No, sir. I do not.

15 COMMISSIONER GAW: Does someone have a copy
16 for purposes of reference, because I suspect it's the
17 FERC report that was done by the Independent Panel of
18 Consultants.

19 MR. BYRNE: We have it.

20 MR. THOMPSON: I have a copy upstairs,
21 Commissioner.

22 COMMISSIONER GAW: My copies have writing
23 on them. Let me see if I have a -- let me see if I
24 have an extra copy that's got some highlight on it,
25 hopefully none of my other notes on it. Should be

1 interesting if it does.

2 Can we give that some sort of a number?

3 JUDGE DALE: Are we going to use it?

4 COMMISSIONER GAW: I suspect so, because it
5 is one of the more significant documents in regard to
6 the technical reason for the breach.

7 It's a document that's entitled: Taum Sauk
8 Reservoir Dam Breach No. P-2277, Technical Reasons for
9 the Breach of December 14, 2005 by FERC Panel of
10 Independent Consultants, dated May 24, 2006.

11 JUDGE DALE: Let's go ahead and mark that
12 as Exhibit 3, and we'll get a copy of it and make sure
13 we get a clean copy into the record.

14 (Hearing Exhibit No. 3 was then marked for
15 identification by the Court.)

16 COMMISSIONER GAW: I'm not going to spend
17 much time on this.

18 QUESTIONS BY COMMISSIONER GAW:

19 Q. Mr. Alexander, do you have that document in
20 front of you?

21 A. Yes, sir. I do.

22 Q. And you have you seen it before?

23 A. Yes, sir.

24 Q. Okay. Is that the document that you refer
25 to earlier as the report of the FERC Independent Panel

1 of Consultants?

2 A. Yes, sir.

3 Q. Look at Pages 25 and 26 where it refers,
4 under 7.3, emergency water level protection backup
5 system as found. Do you see that?

6 A. On Page 25?

7 Q. Hopefully we're on the same document. Do
8 you see Page 25? Is there a 7.3?

9 A. Yes, there is. Paragraph 7.3.

10 Q. Would you read that, from 7.3 on into the
11 next page, to the end of that paragraph, that first
12 paragraph on 26?

13 A. An internal e-mail, dated October 7, 2005,
14 stated: The Hi and Hi-Hi Warrick probes were
15 seven inches and four inches from the top of the wall
16 respectively. So if, on 9/27, the level was
17 four inches below the wall, the Hi level Warrick
18 should have picked up. And if you want to lower the
19 Hi level probes, we can do that, but I think we chose
20 the levels so that normal wave action wouldn't cause
21 nuisance trips. Since the top of the wall --

22 COMMISSIONER GAW: Let me stop you for a
23 moment. There is an ending quote there, you have
24 stopped the quotation of an e-mail; correct?

25 A. Yes, sir.

1 Q. Now continue.

2 A. Since the top of the wall at the location
3 of the Warrick probes was determined to be at
4 elevation 1597.92 by AmerenUE in 2004 and 1598.0 by
5 KDG after the breach in December 2005, the Hi-Hi probe
6 would have ranged between elevation 1597.59 and
7 1597.67. The Hi probes could have ranged from 1597.35
8 to 1597.42.

9 Q. Now, would you agree with me that that
10 appears to be a conclusion of this Independent Panel
11 in regard to the height of these probes?

12 A. That is their best estimate, sir.

13 Q. Were you aware of the fact that they made a
14 finding of that sort before your testimony today?

15 A. I did not recall that. No, sir.

16 COMMISSIONER GAW: That's all I have.

17 Sir, thank you.

18 COMMISSIONER APPLING: Just two questions
19 for clarification.

20 QUESTIONS BY COMMISSIONER APPLING:

21 Q. You talked a lot today about the Warrick
22 probes that have been removed?

23 A. Yes, sir.

24 Q. What is that number, is that two, five, or
25 what?

1 A. Two.

2 Q. Two. And those were on the ground in the
3 warehouse when you first saw them?

4 A. Yes, sir.

5 Q. Give me a brief -- if you would -- talk to
6 me just briefly about what the Department of Natural
7 Resources's responsibility was to this investigation?
8 If you have -- and if you don't, I'll ask somebody
9 else later on.

10 A. I think there was -- and I'll put my two
11 cents worth, and let others speak as they will.

12 My opinion was, our responsibility was to the
13 State of Missouri in that State property was damaged,
14 and we needed to make sure that the truth was known as
15 to what caused the failure, what resulted in the
16 failure, and that justice was served.

17 Q. Where were the two Warrick probes, were
18 they close to the breach or away from the breach?

19 A. They were located -- no, sir. They weren't
20 close to breach. They were located fairly close to
21 the end where the tunnel was. And the breach
22 occurred -- that would have been the southeast -- no,
23 southwest corner, and the failure occurred in the
24 northwest corner.

25 COMMISSIONER APPLING: Thank you very much.

1 I appreciate your comments today.

2 THE WITNESS: Thank you.

3 QUESTIONS BY COMMISSIONER GAW:

4 Q. I want to follow-up on something I didn't
5 do.

6 Mr. Alexander, I want to ask you whether or not
7 you have had any experience or training in dealing
8 with this particular type of a reservoir, and if you
9 can answer that question?

10 A. This is not the typical type of reservoir
11 that we regulate, although it bears a great deal of
12 similarities to those. So, this would be the -- we do
13 not have a pump-storage facility located in -- as part
14 of the dams that we do regulate.

15 This does not pose all that great a difference
16 between how this one was built as to a lot of the
17 industrial dams that have been built.

18 Q. The reasons I'm asking this question has to
19 do with whether or not you have any experience or
20 training regarding the appropriate protocol on filling
21 water in a reservoir of this type, up against a
22 wall -- a parapet wall -- in such as the one that
23 we're dealing with?

24 A. I'm not aware of there even being a
25 training on how to -- that addresses that particular

1 subject.

2 Q. So, the answer to that is you don't have
3 any special --

4 A. I have not gone to any training that would
5 instruct me on how a reservoir should be filled. It
6 just comes from general engineering experience.

7 Q. I understand. What I'm looking for here
8 is, there are other reservoirs of this type, not
9 necessarily constructed in the same fashion, but there
10 are other functional reservoirs that exist in the
11 United States and around the world?

12 A. Yes, sir.

13 Q. And there is some reference to the level --
14 fill level -- in some of the FERC report. And what
15 I'm looking for is whether or not you have any
16 experience or training in regard to the opinions that
17 are in that report about the appropriateness of the
18 fill level that was being done according to the
19 historical records we have at Taum Sauk, the height of
20 the water level up against that wall?

21 A. No, sir. The only thing I would say to
22 that is, the general practice of filling it within
23 one foot of the top of the wall was pushing the curve
24 to a certain extent, and when you don't know what the
25 water level is in the reservoir with a great deal of

1 accuracy, that is being -- it's a dangerous practice
2 to go that close to the edge.

3 Q. Your specific comment at this point relates
4 to the question of whether or not they were filling it
5 too close to the top; correct?

6 A. Correct.

7 Q. In regard to whether or not there was a
8 danger or a high risk of overtopping as result of
9 instrument failure or improper placement of
10 instruments and not having appropriate fail-safe,
11 those kind of things? Is that a yes?

12 A. Yes, sir.

13 Q. The question that I'm asking is a little
14 bit different than that. If you would look at that
15 FERC report again, on page -- let's start at Page 10,
16 under 3.2. If you can get to that point with me. Are
17 you there?

18 A. Yes, sir.

19 Q. Look at the last sentence on that first
20 paragraph, and if you would read that to me, and then
21 I want to ask you if you have an opinion about that?

22 A. The design decision -- excuse me. The
23 design decision made for Taum Sauk Reservoir Dam to
24 routinely store water six to eight feet high on a
25 ten-foot high parapet wall, then daily operations,

1 made the Taum Sauk rockfill CFRD -- and it says
2 quotes -- unprecedented as compared to the previous
3 CFRDs as summarized by Cook 1988 -- and then it says
4 in quotes, figure three dash one.

5 Q. First of all, do you understand what that
6 statement -- that sentence is saying?

7 A. I think -- well, I have an opinion what it
8 says.

9 Q. I want to make sure we're on the same wave
10 length. Do you understand what that sentence says?

11 A. I think so.

12 Q. And do you have an opinion in regard to
13 whether or not that sentence is accurate?

14 A. No, sir.

15 Q. Let me then ask you -- and the answer may
16 be exactly the same here because it's the same basic
17 topic. Turn to Page 12, are you there?

18 A. Uh-huh.

19 Q. First full paragraph, look at -- let's
20 see -- the sixth line down, where it begins "the
21 rockfill embankment?"

22 A. Yes, sir.

23 Q. Read that for me if you would.

24 A. The rockfill embankment, as discussed in
25 Section 3.1, was a steep dumped rockfill, and the

1 storage of water on the Hi parapet wall was
2 unprecedented.

3 Q. Go ahead and read the next sentence as
4 well.

5 A. There was most likely no margin for
6 additional loading or overtopping, as was the case
7 with the breach on December 14th.

8 Q. Once again, I'll ask you whether you
9 understand what you just read?

10 A. Yes, sir.

11 Q. And do you have an opinion as to its
12 accuracy?

13 A. No, sir.

14 COMMISSIONER GAW: That's all I had. Thank
15 you, sir.

16 JUDGE DALE: Are there any other questions
17 from the Bench?

18 With that, does Ameren have any questions?

19 MR. HAAR: Just a few, Your Honor.

20 QUESTIONS BY MR. HAAR:

21 Q. Mr. Alexander, I want to make sure that the
22 record is clear. I think you testified that you
23 recall scanning the FERC Independent Panel of
24 Consultants Report at some point?

25 A. Uh-huh.

1 Q. When do you think that was?

2 A. Shortly after its coming out.

3 Q. But it's been a long time?

4 A. Yes, sir.

5 Q. Did you ever review the report that was
6 done by FERC's staff on April 28, 2006?

7 A. I'm sure I've seen it, sir. But I don't
8 recall it.

9 Q. You don't recall the details of it?

10 A. Yes, sir.

11 Q. And you don't recall whether it addresses
12 any of your questions?

13 A. That's correct, sir.

14 Q. Do you recall whether you ever reviewed the
15 Rizzo Report of April 5, 2006?

16 A. I have seen that report. Yes, sir.

17 Q. And do you -- when did you last review it?

18 A. It's been well over a year ago.

19 Q. Do you have any recollection of it, any
20 specific recollection, as you sit here today?

21 A. Not particularly. No, sir.

22 Q. So, you don't know if that report may have
23 addressed the questions that you've asked?

24 A. I do not recall it having done so. No,
25 sir.

1 Q. But you don't have much of a specific
2 recollection of it today?

3 A. No, sir. That's correct.

4 Q. And I think you did testify that you have
5 not read the Missouri Highway Patrol report?

6 A. That is correct.

7 Q. Now, I want to follow-up on the question
8 about your discussions with the press. And you were
9 quoted in the press as saying AmerenUE jacked with the
10 probes; is that correct?

11 A. Yes, sir.

12 Q. What do you mean by "jacked?"

13 A. I meant, in that conversation that they
14 had, someone had gone up there and removed the probes.

15 Q. And what do you mean by removed?

16 A. That they had taken them off the side of
17 the reservoir rim and had taken them down to the power
18 house.

19 Q. You're sure about that?

20 A. That's what I was told by Ameren.

21 Q. You were told that by Ameren?

22 A. Yes, sir.

23 Q. I take it then, you don't have any
24 information that the probes were raised or removed
25 after the breach for any purpose other than to test

1 them, you don't have any other information do you?

2 A. No, sir.

3 Q. You don't have any information that they
4 were removed for any improper purpose or to instruct
5 an investigation; you don't have any information like
6 that, do you?

7 A. No, sir.

8 Q. And when -- there was a reference to your
9 interview by the Missouri State Highway Patrol. And
10 do you recall being interviewed by Sergeant Wiedemann
11 on February 2nd, 2006?

12 A. I was interviewed by the Highway Patrol.
13 Yes, sir.

14 Q. And is it your testimony that you haven't
15 seen a copy of the report of your interview?

16 A. I have seen what I -- the summary of what I
17 said. I have not seen the Highway Patrol report, but
18 that is supposedly contained in that report.

19 Q. Do you have any explanation why, in
20 Sergeant Wiedemann's report on February 2nd, 2006,
21 there is no reference to you suggesting to him that
22 you thought AmerenUE had jacked with or improperly
23 handled the probes.

24 A. It surprised me -- if that's not been
25 mentioned in that report it would be a surprise to me.

1 Q. So, you have no explanation as to why it's
2 not there?

3 A. No, sir.

4 Q. Now, there was some questions about your
5 trip to Taum Sauk on December 29, 2005; do you recall
6 that?

7 A. Yes, sir.

8 Q. In fact, I think you have a copy of that
9 memo in front you?

10 A. Yes, sir.

11 Q. And that was the first time that you went
12 to Taum Sauk after the breach; is that correct?

13 A. That is correct.

14 Q. And that was to attend a briefing on the
15 failure of the reservoir, was it not?

16 A. Yes, sir.

17 Q. And in fact, in addition to you being
18 present, there were representatives of FERC present;
19 do you recall that?

20 A. Yes, sir.

21 Q. And there were representatives of the
22 Public Service Commission, was there not?

23 A. Yes, sir.

24 Q. And do you recall that -- when you went to
25 that presentation or briefing -- that on

1 December 29th, AmerenUE told you, and the
2 representatives of the other agencies present, that
3 the breach was due to human error and malfunction of
4 equipment?

5 A. Yes, sir.

6 Q. Do you recall being told that?

7 A. Yes, sir.

8 Q. And do you recall in that same meeting,
9 two weeks after the breach, AmerenUE representatives
10 telling you that the Warrick probes had been placed
11 too high?

12 A. I don't not recall that, sir. The first
13 time I remember any reference made to the Warrick
14 probes was when I saw them in the power house and
15 asked what they were.

16 Q. And was that on the 29th?

17 A. Yes, sir.

18 Q. Are you sure you saw the Warrick probes?

19 A. That's what I was told they were, sir.

20 Q. Well, let me refer you to your report. Do
21 you have it there? Your report dated January 19th of
22 your December 29th visit?

23 A. Yes, sir. I have that.

24 Q. Do you see the second full bullet point in
25 your memo that begins: The second set of instruments

1 served as a backup? It's on the second page of your
2 report.

3 A. Yes, sir.

4 Q. And if you'll look at the third sentence in
5 that bullet point, does it read: Statements were made
6 by AmerenUE staff that this set of instruments
7 appeared to have been improperly set at the wrong
8 elevation?

9 A. Yes, sir. It does say that.

10 Q. It goes on to say: They commented that the
11 instruments may have been set at an elevation that was
12 set higher than the minimum top of wall elevation?

13 A. Yes, sir.

14 Q. And you understand that's a reference to
15 the Warrick probes?

16 A. Yes, it is. I was wrong in what I said.

17 Q. You were told that on December 29th by
18 Ameren?

19 A. Yes, sir.

20 Q. Now, you -- in the bullet point above
21 that -- refer to certain piezometers; is that correct?

22 A. Uh-huh.

23 Q. What's a piezometer?

24 A. That's basically the same thing as -- I'm
25 referring to those as -- that's the Warrick probes.

1 Q. What is the purpose of a piezometer?

2 A. That was incorrect, me referring to them as
3 piezometers. That was my understanding of what they
4 were, but that was not -- they were not the pressure
5 transducers.

6 Q. Right. In fact, there are two different
7 types of probes in this case; is that correct?

8 A. Yes, there are.

9 Q. There are the piezometers, or level
10 transducers?

11 A. Yes, sir.

12 Q. And what's the function of the piezometers,
13 or level transducers?

14 A. It is to tell you what the water level is
15 in the reservoir.

16 Q. And the Warrick probes are not piezometers,
17 are they?

18 A. My understanding is they are not.

19 Q. They are called conductivity probes?

20 A. Yes, sir.

21 Q. They work on an entirely different
22 principle?

23 A. Yes, sir. I understand that now.

24 Q. So, in that paragraph when you refer to the
25 piezometers have been removed and put on the table in

1 the power house --

2 A. That was the Warrick probes is what I was
3 referring to.

4 Q. How do you know if they were the Warrick
5 probes if you referred to them as piezometers?

6 A. Because that was the emergency set, was
7 what it was explained to me.

8 Q. So, you couldn't, looking at them,
9 determine if they were Warrick probes?

10 A. No. I did not know what a Warrick probe
11 was, at the time.

12 Q. Would you be surprised to know on December
13 29th the Warrick probes were up at the Upper
14 Reservoir?

15 A. I was told they had been removed the
16 morning of the failure.

17 Q. Do you know who told you that?

18 A. Mark Birk and Warren Witt were the ones
19 conducting that meeting.

20 Q. So, you don't have any personal knowledge
21 of where they were that day?

22 A. No, sir.

23 Q. So, in addition to AmerenUE telling you on
24 December 29th, your first visit at the reservoir, that
25 the probes were put too high, they provided you and

1 your agency other information, did they not?

2 A. They provided us a great deal of
3 information.

4 Q. In fact, when you did talk to Sergeant
5 Wiedemann, you provided him a copy of your PowerPoint
6 presentation; is that correct?

7 A. As it was at that point. Yes, sir.

8 Q. Was that the same PowerPoint presentation
9 that you presented to us today?

10 A. No, sir.

11 Q. Are there any slides or information that
12 you removed from your PowerPoint presentation?

13 A. Not that I recall having removed any.
14 There may have been some that didn't really tell much
15 of a story, but I basically added to it. I haven't
16 removed much.

17 Q. Do you recognize this drawing?

18 A. Yes, sir.

19 Q. Was that part of your PowerPoint
20 presentation before today?

21 A. It may have been.

22 Q. What is this drawing?

23 A. I believe that indicates the level -- the
24 water level controllers.

25 Q. This was a drawing that you were given by

1 AmerenUE, you and the other agencies, setting out
2 where it had been determined the Hi and Hi-Hi probes
3 were located on the day of the breach; correct?

4 A. It was their best estimate, yes.

5 Q. And that shows that those probes were too
6 high --

7 A. Yes, sir.

8 Q. -- to detect the water level at the time of
9 the breach; is that correct?

10 A. That's correct.

11 Q. Do you have any explanation why you didn't
12 include that in your presentation this morning for the
13 Commission?

14 A. Primarily, because this is a presentation
15 that I had been making to a number of people, and they
16 didn't understand what they were looking at, so I just
17 limited it.

18 Q. So you decided to keep it out?

19 A. It may be a hidden slide that's on there,
20 I'm not sure. Just in the name of brevity, I
21 eliminated that.

22 COMMISSIONER GAW: Pardon me. It would be
23 helpful if the Bench could have some idea of what that
24 looks like.

25 MR. HAAR: I will mark it as an exhibit,

1 Commissioner Gaw.

2 JUDGE DALE: It will be No. 4.

3 MR. HAAR: I'm sure I can find other
4 copies.

5 COMMISSIONER GAW: I don't need it now, but
6 it would be helpful to have it.

7 MR. HAAR: I will mark it has Exhibit 4 at
8 the end of the examination.

9 QUESTIONS BY MR. HAAR:

10 Q. Were you aware that members of the DNR were
11 present on December 15th, the day after the breach?

12 A. Yes, sir.

13 Q. In fact, part of your PowerPoint
14 presentation was a photo of the control box where the
15 probes are located; is that correct?

16 A. Yes, sir.

17 Q. And did your staff, on December 14, 2005,
18 when the probes were -- that includes both the
19 piezometers and the Warrick probes -- were up at the
20 Upper Reservoir, do you recall whether your staff
21 asked Ameren to take any measures with respect to
22 those probes?

23 A. No.

24 Q. Did your agency ever ask AmerenUE to take
25 any measures with respect to the probes?

1 A. I can just speak for the Dam Reservoir
2 Safety Program, and we did not.

3 Q. Now, there is another aspect of your
4 testimony that I wanted to clarify.

5 You referred to various locations of overtopping;
6 do you recall that?

7 A. Yes, sir.

8 Q. Now, it is not your testimony, is it, that
9 those areas of overtopping occurred prior to
10 December 14th?

11 A. I don't know when those occurred, sir.

12 Q. So, they may have occurred at the time of
13 the breach?

14 A. It's a possibility.

15 Q. But you have a question about that?

16 A. Yes, sir.

17 Q. And you don't know whether any of these
18 reports may have addressed those questions, do you?

19 A. No, sir.

20 MR. HAAR: I have no further questions.

21 JUDGE DALE: Does DNR have any?

22 MS. VALENTINE: Just a few.

23 QUESTIONS BY MS. VALENTINE:

24 Q. Jim, Mr. Haar asked you about being at the
25 dam on December 14th for an inspection. Do you recall

1 if you were actually there on the 14th or was it the
2 following day on the 15th?

3 A. We had people there on-site on
4 December 14th, the morning of the failure, but we were
5 not allowed to go to the Upper Reservoir. The first
6 time we were able to go to the Upper Reservoir was
7 December 15th.

8 Q. And when you say you were not allowed, is
9 that because AmerenUE wouldn't allow you to inspect
10 the reservoir on the day of the breach, on the 14th?

11 A. They wouldn't -- basically, we were
12 prevented from going up there for safety purposes
13 while they were stabilizing the structure.

14 For safety reasons, I think, no one was allowed to
15 go up to the Upper Reservoir.

16 Q. Now, how many regulated dams are there in
17 the State of Missouri?

18 A. Six hundred and sixty-one, I believe.

19 Q. All right. And did you -- I believe you
20 already testified that, under the Dam Safety Law, DNR
21 does not regulate the dams that are primarily
22 regulated by FERC; is that correct?

23 A. That's correct.

24 Q. How many FERC dams are there?

25 A. I believe there are eight, but I'm not

1 positive.

2 Q. Do you know how many of those are owned by
3 Ameren?

4 A. Four. I'm not sure of that either.

5 Q. So, as Chief Engineer, your primary focus
6 was on the 661 dams regulated by the State of Missouri
7 and not FERC?

8 A. That's correct.

9 Q. When did you first learn about -- that you
10 would be summoned to testify or answer some questions
11 at this hearing?

12 A. I was contacted by someone from the Public
13 Service Commission about a month ago, or maybe longer,
14 where they asked me if I would be willing to do that.

15 I was contacted yesterday, I believe, and told
16 that the meeting was today, and I needed to be here at
17 1:30.

18 Q. So, you learned yesterday that you were
19 going to have to testify at this hearing today?

20 A. Yes.

21 Q. During the questioning you were asked about
22 several reports including the FERC report. And some
23 of those you couldn't remember the details of those
24 reports; is that correct?

25 A. That's correct.

1 Q. And Jim, is part of the reason for that
2 because you didn't have a whole lot of advance notice
3 that you would be testifying at this hearing today?

4 A. That's correct.

5 Q. But as an employee, and as Chief Engineer,
6 you are willing to answer any other questions and make
7 yourself available if the PSC has any further issues?

8 A. That's correct.

9 COMMISSIONER CLAYTON: Can I ask for
10 clarification?

11 Who called -- he only got notice yesterday, who
12 called him to testify? He wasn't subpoenaed.

13 MR. THOMPSON: I arranged it with
14 Mr. Childers.

15 COMMISSIONER CLAYTON: Yesterday?

16 MR. THOMPSON: No, it was last week.

17 COMMISSIONER CLAYTON: You said you were
18 contacted a month ago by the PSC?

19 THE WITNESS: Someone from the PSC
20 contacted me and asked if I would be willing to come
21 before you at some point in time and show this
22 PowerPoint presentation. And I said I would be
23 willing.

24 COMMISSIONER CLAYTON: And you don't know
25 who contacted you?

1 THE WITNESS: I don't know who it was, sir.

2 MR. THOMPSON: That was me.

3 COMMISSIONER CLAYTON: That was you a month
4 ago also?

5 MR. THOMPSON: Yes.

6 THE WITNESS: But all that was specified
7 then was to ask if I would be willing to show the
8 PowerPoint presentation that you saw today.

9 MS. VALENTINE: I have some more questions.

10 QUESTIONS BY MS. VALENTINE:

11 Q. I don't know if we've gone over this. As
12 far as appearance today, were you served with a
13 subpoena?

14 A. Yes, I was.

15 Q. But not until you actually showed up and
16 you were served after you arrived?

17 A. That's correct.

18 MR. HAAR: I do have, for the Commission, a
19 copy of that document, which I think you indicated
20 would be marked Exhibit 4.

21 JUDGE DALE: Yes.

22 (Hearing Exhibit No. 4 was then marked for
23 identification by the Court.)

24 MR. HAAR: That's an extra copy.

25 JUDGE DALE: If there are no further

1 questions for this witness, you may step down.

2 Pursuant to Counsel's request earlier, you won't be
3 excused, but you can leave for the day. Good luck
4 getting to your meeting on time. And you are excused.

5 THE WITNESS: There was a number of things
6 that had been handed to me, I should leave them here?

7 JUDGE DALE: Actually, give them to me.

8 MR. THOMPSON: I have a question about
9 those things. Exhibits 3 and 4, have they been
10 received into the record?

11 JUDGE DALE: They have not been. Nor has
12 Exhibit 1. We should also do your PowerPoint.

13 THE WITNESS: You are welcome to keep that.

14 JUDGE DALE: Can you eject it?

15 MR. THOMPSON: I thought that Exhibit 1 was
16 received, but in any event, I will move that it will
17 be received at this time.

18 JUDGE DALE: Any objections?

19 MR. HAAR: No, Your Honor.

20 We'll also move for Exhibit 4.

21 JUDGE DALE: In that case, Exhibits 1, 3
22 and 4 are admitted.

23 (Hearing Exhibits 1, 3 and 4 were then
24 entered into evidence.)

25 COMMISSIONER GAW: Judge, at some point in

1 time -- the parties can help facilitate this -- I
2 would like to be able to have the other FERC documents
3 in so we can refer to them.

4 MR. THOMPSON: It's always been our
5 intention to put them into the record.

6 COMMISSIONER GAW: I expect that it was,
7 but I don't know if that had been discussed. And I
8 want to let you know the actual FERC report, and then
9 the Rizzo Report, is out there, too -- for what they
10 are worth. They are all elements of this
11 investigation, and I don't know if there is something
12 else that might come into play here, but I will toss
13 that out to you. So, you all figure out what you want
14 to do, and if it's not objectionable --

15 MR. THOMPSON: Thank you, Commissioner.

16 JUDGE DALE: This seems to be a good time
17 for a break. Why don't we take a little bit longer
18 one and then go all the way to seven -- well, roll
19 your eyes all you want, let's reconvene in 20 minutes
20 at ten-of, and the next witness is Mr. Zamberlan and
21 then Mr. Bluemner. And at the rate we're going, I bet
22 you we don't get to Mr. Pierie. I'm seeing nods.

23 MR. THOMPSON: Thank you.

24 (An off-the-record discussion was held.)

25 JUDGE DALE: We're back on the record, and

1 it's five to five, and we're going to go straight
2 through to seven o'clock.

3 We're are going to call Mr. Zamberlan to the
4 stand.

5 ANTHONY ZAMBERLAN,
6 Of lawful age, being first duly sworn by the
7 Notary Public, testified as follows:

8 JUDGE DALE: And we will begin with
9 questions from Staff.

10 MR. THOMPSON: Thank you, Your Honor.

11 Q. Did you state your name?

12 A. Not myself, no.

13 Q. Go ahead.

14 A. My name is Tony Zamberlan.

15 Q. Is that Anthony or --

16 A. Yes, sir.

17 Q. Could you spell your last name?

18 A. Z-A-M-B-E-R-L-A-N.

19 Q. Now, Mr. Zamberlan, how are you presently
20 employed?

21 A. I'm an engineer for the firm of Laramore,
22 Douglass and Popham Consulting Engineers.

23 Q. And how long have you been so employed?

24 A. It would be four-and-a-half years now.

25 Q. And at one time, it's true, is it not, that

1 you were employed by Ameren?

2 A. Yes, sir.

3 Q. Of the Ameren entities, was it UE or
4 another?

5 A. It was UE.

6 Q. Okay. And in what capacity were you
7 employed by UE?

8 A. Basically, I was an engineer for the
9 utility working on the power plant operations side of
10 the business, working as a plant engineer or a
11 corporate engineer, before I left the utility for a
12 consulting firm.

13 Q. And you left, do you recall what year?

14 A. It was 1998/1999 time frame. I apologize I
15 don't have better dates for you.

16 Q. And did you work for someone between your
17 present employer and Ameren?

18 A. Yes, sir.

19 Q. Who was that?

20 A. The company's name is Fru-Con Engineering,
21 F-R-U dash C-O-N.

22 Q. And that was your only employer in between?

23 A. No, sir.

24 Q. Who else?

25 A. I also worked for GE Automation Services.

1 Q. Anyone else?

2 A. That is it.

3 Q. And for both Fru-Con and GE Automation
4 Services you were employed as an engineer?

5 A. Yes, sir.

6 Q. Now, within the realm of engineering, is
7 there a particular area that you specialize in?

8 A. The majority of my work is in the control
9 systems engineering part of the business; however, I
10 do power engineering as well.

11 Q. Are you what's called an electrical
12 engineer?

13 A. Yes, sir.

14 Q. And are you a licensed Professional
15 Engineer?

16 A. I am a licensed Professional Engineer in
17 the State of Missouri. Yes, sir.

18 Q. Are you so licensed in any other
19 jurisdiction?

20 A. No, sir.

21 Q. And where did you receive your engineering
22 education?

23 A. I attended the University of Missouri,
24 Columbia.

25 Q. Do you recall the year you graduated?

1 A. I graduated in 1991.

2 Q. And what degree did you receive?

3 A. I received a degree in Electrical

4 Engineering and Computer Engineering.

5 Q. At the same time?

6 A. Yes, sir.

7 Q. Were those bachelor degrees or masters

8 degrees?

9 A. They are bachelors degrees.

10 Q. And have you sought a higher degree since

11 then?

12 A. No, sir.

13 Q. So, you have all the degrees you need to do

14 the work that you do?

15 A. Yes, sir.

16 Q. And since you have worked for your current

17 employer -- who I think is, perhaps, abbreviated as

18 LDP?

19 A. Yes, sir.

20 Q. Since you worked for LDP, you have had

21 occasion, have you not, to do projects for Ameren?

22 A. Yes, sir.

23 Q. Under some sort of contract?

24 A. Yes, sir.

25 Q. The contract, I guess, is probably with

1 your current employer, and then, in the course of your
2 employment, you go where they direct you, and you do
3 what their customer asks you to do; correct?

4 A. In essence. Yes, sir.

5 Q. Have I misstated the --

6 A. At times it would be as a Contract Engineer
7 working directly for Ameren under their direction.

8 Q. I see, you're kind of loaned out or rented
9 out?

10 A. Yes, sir.

11 Q. It's a way for them to have more engineers
12 available without having to hire them, I supposed?

13 A. Yes, sir.

14 Q. In the course of this, have you had
15 occasion to work at the Taum Sauk Plant?

16 A. Yes, sir.

17 Q. Do you recall when you worked at the Taum
18 Sauk Plant?

19 A. That would be the project in 2004.

20 Q. And what was that project, if you recall?

21 A. The project was to replace the control
22 system for the Taum Sauk Power Plant.

23 Q. And was that, perhaps, in conjunction with
24 some other work there? Maybe not performed by you,
25 but other work done at that plant?

1 A. Certainly. Yes, sir.

2 Q. If you recall, was it in conjunction with
3 the installation of a liner at the Upper Reservoir?

4 A. Yes, sir.

5 Q. And in conjunction with that, new
6 instrumentation was placed?

7 A. Yes, sir.

8 Q. And you were involved in that?

9 A. In some of it. Yes, sir.

10 Q. And when you say "in some of it," exactly
11 what was your responsibility with respect to the new
12 instrumentation?

13 A. My responsibility was to design the
14 computer controls for the plant and how they brought
15 the information from instrumentation into the plant
16 for its operation.

17 Q. So, your area was the computer controls?

18 A. Yes, sir.

19 Q. If you know, did the system at Taum Sauk
20 involve something called a programmable logic control
21 switch?

22 A. It's not a programmable logic control
23 switch, it's a programmable logic controller, and it
24 functions essentially as a computer.

25 Q. Is that abbreviated as a PLC?

1 A. Yes, sir.

2 Q. And it is, like you say, like a computer?

3 A. Yes, sir.

4 Q. And what exactly is the purpose of a PLC?

5 A. The purpose of a PLC is to contain a

6 program which analyzes inputs and generates outputs.

7 Q. And if you recall, what were the inputs to

8 the PLC at Taum Sauk?

9 A. There were several PLCs --

10 Q. There were more than one?

11 A. -- working in conjunction at Taum Sauk,

12 yes, sir.

13 Q. How many, if you recall?

14 A. I believe there was at least eight PLCs at

15 Taum Sauk.

16 Q. And --

17 A. Excuse me, sorry. I apologize. At least

18 nine.

19 Q. And did you program all nine?

20 A. No, sir.

21 Q. Who else did you work with on this project

22 in 2004?

23 A. There were several people involved. Tom

24 Pierie, from Ameren, was who I was essentially working

25 for on that project. But at the same time, a company

1 by the name of American Governor was installing a new
2 PLC control system that actually controlled the
3 turbine pump assembly for pumping back or generating
4 power.

5 Q. Is that one of the nine PLCs you referred
6 to?

7 A. That is four of the nine.

8 Q. Okay. Do you recall what the other five
9 were for?

10 A. There would be one PLC at the Upper
11 Reservoir, one PLC at the Lower Reservoir, a PLC for
12 Unit 1, and a PLC for Unit 2, and a Common PLC, and
13 finally, a PLC for what is called a liquid rheostat.

14 Q. What is a liquid rheostat?

15 A. A liquid rheostat is a device that can do
16 many things. It helps start large motors. In this
17 case, to bring it up softly and not over-current the
18 system.

19 Q. Would these be the large motors that were
20 used for pumping?

21 A. They would be motors attached to those
22 assemblies, to bring them up to speed before they
23 connected them to the line. Yes, sir.

24 Q. Then you said there was a Common PLC.
25 Could you explain a Common PLC?

1 A. Certainly. There were points in the plant
2 that were common to both Unit 1 and Unit 2, and the
3 way the information was brought into the plant was
4 through that Common PLC.

5 Q. Now, do you recall the sensors or probes or
6 instruments that were located at the Upper Reservoir?

7 A. Yes, sir.

8 Q. Would you agree with me that there were two
9 systems?

10 A. Yes, sir.

11 Q. One system consisted of what have been
12 called Warrick, or conductivity probes?

13 A. Yes, sir.

14 Q. And the other system consisted of three
15 piezometers?

16 A. Correct.

17 Q. And did those instruments feed into the
18 PLC?

19 A. Yes, sir.

20 Q. Now, you told me there was an Upper
21 Reservoir PLC?

22 A. Yes, sir.

23 Q. If you know, were those instruments
24 connected to the Upper Reservoir PLC?

25 A. Most of them. Yes, sir.

1 Q. Were they connected also to the Common PLC?

2 A. There was a set of the Warrick probes that
3 was connected to the Common PLC.

4 Q. Now, we've heard that there were actually
5 four Warrick probes and two sets. There was a Hi and
6 a Hi-Hi probe, that's two. And there was a Lo and a
7 Lo Lo probe?

8 A. Yes, sir.

9 Q. Is that your memory?

10 A. Yes, sir.

11 Q. And if you recall, which of those was
12 connected to the Common PLC?

13 A. I don't recall.

14 Q. It's also -- well, the Warrick probes were
15 intended to be backups to the piezometers?

16 A. Correct.

17 Q. If I'm saying that correctly?

18 A. Yes, sir.

19 Q. And the piezometers were the primary
20 operating instrumentation?

21 A. Correct. It was a continuous level
22 transmitter that would show what the level of the
23 reservoir was at, essentially, any given time.

24 Q. And those levels, did they appear on an
25 operator's screen -- or something of that sort --

1 somewhere?

2 A. Yes, sir.

3 Q. There was a special name for that, wasn't
4 there, some sort of interface?

5 A. It's a term, HMI, or Human Machine
6 Interface.

7 Q. Is that what we would consider to be like
8 an operator's computer terminal?

9 A. It would be the equivalent of a computer
10 that you would use for Word or Excel, that kind of
11 idea. It would have had special graphics on it and
12 special interface functions so an operator could
13 operate his or her plant.

14 Q. The three piezometers provided three
15 measurements; isn't that right?

16 A. That is correct.

17 Q. Which were then averaged by the logic
18 circuit?

19 A. Yes, sir.

20 Q. Was the logic circuit part of the PLC?

21 A. Yes, sir.

22 Q. And it was the average value then that
23 appeared on the controller at the interface?

24 A. It was one of the values that could be
25 displayed.

1 Q. Were there three separate values displayed,
2 if you know?

3 A. They could be. It was an operator
4 selectable feature.

5 Q. So, whoever happened to be operating at any
6 given time could select the display they want?

7 A. Yes, sir.

8 Q. And what about the Warrick probes, do you
9 know whether the values -- whether the Warrick probes
10 displayed a value on the control?

11 A. The Warrick probes would display a value
12 only when an alarm condition existed.

13 Q. And they didn't measure a depth, did they?

14 A. No, sir.

15 Q. They just measured on or off; correct?

16 A. Correct.

17 Q. And they would trip on when they became
18 wet?

19 A. Correct.

20 Q. In the case of the upper probes?

21 A. Correct.

22 Q. And I guess the lower probes if they became
23 dry?

24 A. Correct.

25 Q. And the purpose of the upper probes was to

1 prevent the reservoir being filled too full?

2 A. Correct.

3 Q. And the purpose of the lower probes was to
4 prevent the reservoir from being emptied too low?

5 A. Correct.

6 Q. Now, there was a problem, was there not, if
7 you recall, with the lower probes on the night of
8 November 30th/December 1st of 2004.

9 A. To the best of my memory, yes, sir. There
10 was.

11 Q. There was an alarm from one of the lower
12 probes that, in fact, stopped the operation that was
13 going on at that time, whether it was generating or
14 pumping?

15 A. Yes, sir.

16 Q. Okay. And if you recall, was in fact the
17 water level low when that occurred?

18 A. To the best of my recollection, I believe
19 it was not low at the time.

20 Q. So, that would have been considered an
21 anomalous alarm?

22 A. Spurious trip. Yes, sir.

23 Q. But from the point of view from Ameren,
24 that would be something of a serious matter, would it
25 not, if it stopped the operation?

1 A. Certainly.

2 Q. Something they would want to fix?

3 A. Yes, sir.

4 Q. Do you recall whether you traveled to Taum
5 Sauk on December 1st to assist Ameren in resolving the
6 problem with the probe?

7 A. Again, to the best of memory, I did travel
8 to Taum Sauk to assist in that and other things.

9 Q. And your specific jobs was controlling
10 logic, the program, correct?

11 A. Yes, sir.

12 Q. So, your job would have been to make sure
13 that the logic circuit was programmed accurately?

14 A. And the value that was coming up was a
15 valid signal to the PLC.

16 Q. Would it have been part of your job to
17 check the physical condition of the instruments?

18 A. At the time, it would have been something I
19 could have done; however, I didn't have as much
20 knowledge of that system as others. My focus was on
21 the PLCs and communications and things to that extent.

22 Q. Was it ever part of your job to install the
23 instruments, physically install them at the plant?

24 A. No, sir.

25 Q. Who had that job, if you know?

1 A. During the outage, I believe it was Sachs
2 Electric that installed those probes.

3 Q. Do you recall being interviewed by the
4 Missouri Highway Patrol?

5 A. Yes, sir.

6 Q. And at that -- have you had a chance to
7 review the Highway Patrol notes of those interviews?

8 A. Yes, sir.

9 Q. Have you reviewed them recently?

10 A. Yes, sir.

11 Q. And do you have any corrections that you
12 feel need to be made?

13 A. Several.

14 Q. Very good. Let me bring you copies of
15 those.

16 MR. THOMPSON: And Judge, I would ask that
17 they be marked as Exhibits 5 and 6.

18 JUDGE DALE: Tell me which ones are which,
19 respectively.

20 MR. THOMPSON: Exhibit 5 would be the
21 interview of Mr. Zamberlan by the Highway Patrol which
22 occurred, I believe, on January 23, 2006. And
23 Exhibit 6 would be the interview of Mr. Zamberlan that
24 occurred on December 7, 2006, so nearly a year later.

25 And I have copies for the Bench if you will give

1 me a moment to find them.

2 THE WITNESS: Your Honor, may I get my pen?

3 JUDGE DALE: Absolutely.

4 MR. THOMPSON: That would be the one, that
5 would be the other.

6 JUDGE DALE: The one being 5, and the other
7 being 6?

8 (Hearing Exhibit Nos. 5 and 6 were then
9 marked for identification by the Court.)

10 MR. THOMPSON: That's exactly right, Your
11 Honor. You're staying with me on this. This would be
12 Exhibit 5 and 6. I think there are enough copies.

13 QUESTIONS BY MR. THOMPSON:

14 Q. I'm looking now at Exhibit 5, which is the
15 interview report from January 23, 2006; do you see
16 that one?

17 A. Yes, sir.

18 Q. Lets go through it and see what corrections
19 you feel need to be made. Do you see Paragraph No. 1?

20 A. Yes, sir.

21 Q. Do you have any corrections for that
22 paragraph?

23 A. No, sir.

24 Q. How about No. 2?

25 A. No changes, sir.

1 Q. How about Paragraph No. 3?

2 MR. THOMPSON: I would request, Your
3 Honor -- I apologize for this, but our preparation
4 time was not too lengthy -- the details of
5 Mr. Zamberlan's home address appear in Paragraph 2.
6 And in the copy you will eventually put in the record,
7 I request to redact that, so that will not become part
8 of any public record.

9 JUDGE DALE: Yes, we will do that.

10 MR. THOMPSON: I have not had an
11 opportunity to redact the copies I have for you today.
12 I think the date of birth is on there as well.

13 JUDGE DALE: If all the attorneys could
14 please turn their attention to personal information,
15 that should not be included in open record, and be
16 sure we have redacted that properly -- what we need to
17 redact.

18 THE WITNESS: Thank you.

19 QUESTIONS BY MR. THOMPSON:

20 Q. So, we'll make that correction to Paragraph
21 2, we'll take out your address and date of birth. How
22 about three, do you have any corrections for that?

23 A. No, sir.

24 Q. Paragraph 4?

25 A. Yes, sir.

1 Q. What are your corrections?

2 A. Towards the bottom third of the paragraph
3 there was a summary statement made that says: He
4 stated in December 2004 he was at the Taum Sauk
5 facility and made a direct modification of the upper
6 probe to level 1596.5.

7 I would not be permitted to make that change.
8 There would be somebody at the plant who would make
9 that change.

10 Q. How exactly do you want to correct it, do
11 you want to say that, for example, you know that such
12 a change was made at that time; is that the case?

13 I mean, you can make whatever correction you want,
14 you just need to tell us exactly what the correction
15 needs to be?

16 A. Uh-huh.

17 Q. Do you want to have a moment to confer with
18 your attorney?

19 A. I believe the statement would be, "involved
20 with."

21 Q. So, read it the way you believe it should
22 appear?

23 A. He was at the Taum Sauk facility and was
24 involved with the modification of the upper probe to
25 level 1596.5.

1 My biggest problem with this is, I don't have
2 direct recollection of being involved with that
3 change.

4 Q. So, you don't recall it now?

5 A. No, sir.

6 Q. And I guess this does not refresh your
7 recollection?

8 A. No, sir.

9 Q. Do you have any reason to believe that the
10 officer who took notes of this discussion with you
11 made an error?

12 A. No, sir.

13 Q. So, you're content with that change?

14 A. To the best of my knowledge. Yes, sir.

15 Q. Do you have any other changes for that
16 paragraph?

17 A. No, sir.

18 Q. How about Paragraph 5?

19 A. Best of my knowledge, that is also correct,
20 sir.

21 Q. Are you still under contract with Ameren
22 today?

23 A. No, sir.

24 Q. You're not, okay. Are you, to your
25 knowledge, able to discuss the post-event

1 investigation today?

2 A. To the best of my knowledge, I'm not
3 permitted to discuss that.

4 Q. Now, Mr. Haar is not your lawyer is he?

5 A. No, he is not.

6 Q. Your lawyer is Mr. Slavens?

7 A. Yes, sir.

8 Q. Have you discussed this issue with
9 Mr. Slavens?

10 A. Yes, sir.

11 Q. And his instructions were not to talk about
12 that?

13 A. Correct.

14 Q. Very good. So, with the corrections that
15 have been made, is it your opinion today, or your
16 belief today, that this summary of the interview with
17 you on January 23rd, 2006 is true and correct to the
18 best of your knowledge and recollection?

19 A. To the best of my knowledge. Yes, sir.

20 Q. Okay. Very good. Let's turn now to
21 Exhibit 6.

22 Do you have any corrections for Exhibit 6?

23 A. Again, the same with Paragraph 1 as we
24 discussed with Exhibit 5.

25 Q. With the birth date and address?

1 A. Phone numbers -- yes, sir.

2 Q. Yes. Absolutely.

3 MR. THOMPSON: And Your Honor, we will
4 redact those from the copy that's submitted for the
5 record.

6 QUESTIONS BY MR. THOMPSON:

7 Q. Any corrections for Paragraph 2?

8 A. No, sir.

9 Q. Paragraph 3?

10 A. Paragraph 3, to the best of my knowledge,
11 is correct, sir.

12 Q. Paragraph 4?

13 A. Several corrections, sir.

14 Q. Great. Let's take it from the top of that
15 paragraph and make those corrections.

16 A. Paragraph 4, first page. The sentence
17 starts with: Zamberlan explained with series that,
18 when the water level reached the Hi probe, an alarm
19 would sound.

20 Q. Okay?

21 A. The correction there is -- my recollection
22 is not clear on whether it was the Hi or Hi-Hi probe
23 that was connected to the alarm system. I would have
24 to look back in programming and other things to be
25 able to identify what was really going on there.

1 Q. Is it possible that your recollection was
2 better at the time this interview was done?

3 A. I believe that one of the two probes, as I
4 explained to the officer, would sound an alarm.

5 Q. But you don't recall which one?

6 A. No, sir.

7 Q. And you're not certain that you got it
8 right at this time or if the officer got it right at
9 this time?

10 A. Correct.

11 Q. How would you like to change that, when the
12 water level reached one probe an alarm would sound?

13 I don't want to put words in your mouth, but why
14 don't you take some time and see what correction you
15 would like to make to it?

16 A. To be honest, I'd remove both that sentence
17 and the following sentence.

18 Q. Remove them completely?

19 A. Completely.

20 Q. Okay. Very good. Any other changes to
21 that paragraph?

22 A. Next page, it would be the sixth line. On
23 the previous line it starts with: He stated, the
24 logic on the probes was hard coated --

25 It would actually be "coded," C-O-D-E-D.

1 Q. Okay.

2 A. -- in the program and could not be changed
3 -- the word "with" is there, the word should be
4 "without" -- manually changing it in the program.

5 Q. I see. If I could ask you to clarify, is
6 this speaking of the piezometers or of the Warrick
7 probes, if you recall?

8 A. These would be the continuous level
9 transmitters.

10 Q. Which are the piezometers?

11 A. Yes, sir.

12 Q. Any other changes, sir?

13 A. No, sir.

14 Q. Very good. On to Paragraph No. 5, do you
15 have any changes for that one?

16 A. To the best of my knowledge, that is
17 correct.

18 Q. And how about Paragraph No. 6?

19 A. That also appears to be correct, sir.

20 Q. Okay. And I guess No. 7 just, simply, the
21 time the interview concluded?

22 A. To the best of knowledge, that's correct.

23 Q. So, with the changes you've made, are you
24 comfortable that Exhibit 6 is now true and correct to
25 the best of your knowledge?

1 A. To the best of knowledge. Yes, sir.

2 MR. THOMPSON: Your Honor, I would move for
3 admission of Exhibits 5 and 6.

4 JUDGE DALE: Any objections?

5 MR. HAAR: No, Your Honor.

6 JUDGE DALE: Hearing none, Exhibits 5 and 6
7 will be admitted.

8 (Hearing Exhibits 5 and 6 were then entered
9 into evidence.)

10 MR. THOMPSON: And we will make
11 substitutions of redacted copies as agreed.

12 JUDGE DALE: Excellent.

13 QUESTIONS BY MR. THOMPSON:

14 Q. Now, in the course of your employment at
15 Ameren in the fall of 2004, you had occasion to
16 exchange e-mails with other people you were working
17 with?

18 A. Yes, sir.

19 Q. And those e-mails were done at the time?

20 A. Yes, sir.

21 Q. And some of the people that you exchanged
22 e-mails with were Mr. Cooper?

23 A. Yes, sir.

24 Q. And Mr. Pierie?

25 A. Yes, sir.

1 Q. Mr. Bluemner?

2 A. Yes, sir.

3 Q. Mr. Hawkins?

4 A. Yes, sir.

5 Q. Jeff Scott?

6 A. Yes, sir.

7 Q. Those are all people you worked with at the
8 plant?

9 A. Correct.

10 MR. THOMPSON: If I could have a moment,
11 Your Honor?

12 JUDGE DALE: Yes.

13 MR. THOMPSON: I have a packet of e-mails
14 here, Your Honor, that I'm going to show to
15 Mr. Zamberlan, and I'd like to mark them as Exhibit 7.

16 There will eventually be many, many e-mails in
17 this case, and so I would identify this one by the
18 e-mail that appears at the top of the first page,
19 which is from Mr. Zamberlan to Mr. Pierie, and is
20 dated December 2, 2004 at 1:41 p.m.

21 MR. HAAR: Mr. Thompson, do you have extra
22 copies so we can follow along?

23 MR. THOMPSON: I do.

24 (Hearing Exhibit No. 7 was then marked for
25 identification by the Court.)

1 QUESTIONS BY MR. THOMPSON:

2 Q. The e-mail on top of the front page, dated
3 December 2, 2004 at 1:41 p.m., from Mr. Zamberlan to
4 Mr. Pierie.

5 I wonder if you would take a look at the top, the
6 very top message, and then read that message for me?
7 It starts, "Tom."

8 A. Tom, they were supposed to do that today.
9 I thought it was the 125 volt DC, but we were up at
10 the Upper Reservoir to pull up the Hi level Warrick
11 probes to 1596.5, and we heard a terrible noise come
12 from the Warrick relay. It lasted a couple seconds.
13 We were either going to replace it or swap it with the
14 high level probe to see if it is a relay problem or
15 something else. That is the current status.

16 Q. Okay. And this is referring to the
17 possibly improperly operating relay in the Warrick
18 probe system that is making a noise in the box; is
19 that correct?

20 A. Yes, sir.

21 Q. Do you know if that was ever swapped or
22 replaced?

23 A. I don't recall, sir.

24 Q. And this e-mail seems to indicate that the
25 probes were moved on that day, doesn't it?

1 A. This e-mail says we were up there to do
2 that, we heard the buzzing noise, but it doesn't
3 complete the statement whether it was done or wasn't
4 done at the time.

5 Q. Do you happen to remember, today, whether
6 it was done or not?

7 A. I don't recall.

8 Q. Do you know who you were up there with?

9 A. I don't recall. At the time, as I've told
10 the gentlemen from Highway Patrol -- the officers from
11 the Highway Patrol -- I believe it was Bob Scott or --
12 I just went blank on his name -- another technician
13 who generally worked with me when I was down at the
14 plant.

15 Q. Could it be Mr. Pierie?

16 A. I don't believe he was on site; otherwise,
17 he would have known, and I wouldn't have sent him an
18 e-mail.

19 Q. And in fact, his question that you were
20 responding to was, "Did we replace the bad wire coil?"

21 A. Yes, sir.

22 Q. And I think you indicated you don't recall?

23 A. Correct.

24 Q. What is a software timer?

25 A. A software timer would be a piece of

1 program that would -- you take an input, and when it
2 sees the input, it would time for some amount of time
3 that you program into it, and then generate an output.

4 Q. On the second page in this packet, there's
5 an e-mail from you to Cooper, copied to Pierie, dated
6 December 2nd, 2004 at 7:35 a.m. Do you see that in
7 the middle of the page, second page?

8 A. Yes, sir.

9 Q. Could you read the very last sentence of
10 that?

11 A. All four of these points have timers on
12 them to verify that the signal is accurate and not
13 intermittent.

14 Q. And those points that you're referring to
15 are, in fact, the Warrick probes?

16 A. Yes, sir.

17 Q. And so there was some sort of software
18 delay built into the logic circuit?

19 A. That is correct, sir.

20 Q. Programmed in?

21 A. Yes, sir.

22 Q. And would you agree with me that the reason
23 was to prevent a momentary blip in the signal from
24 stopping the operation?

25 A. That would be correct. Yes, sir.

1 Q. So that, in other words, it was to make it
2 harder for the probes to stop the operation?

3 A. Quite the opposite. It was to make sure
4 that is a valid operation.

5 Q. In other words, that it was a real
6 emergency?

7 A. Correct.

8 Q. And this e-mail also indicates that -- in
9 fact, why don't you just go ahead and read the first
10 sentence of that, too?

11 A. I have to yield to Tom Pierie on the wiring
12 design, since I did not do that, but I can tell you
13 that a high and low Warrick probe going into the Upper
14 Reservoir PLC and a high and low Warrick probe going
15 into the Common PLC.

16 Q. So, both of those PLCs -- am I correct in
17 believing -- that if they received the right sort of
18 activation signal from a Warrick probe, they had the
19 power to send signal -- produce output -- that would
20 stop operation?

21 A. Yes, sir.

22 Q. And that was automatic?

23 A. Yes, sir.

24 Q. The operator didn't have to intervene?

25 A. No, sir.

1 Q. What does it mean if the probes are set up
2 in series?

3 A. When the probes are set up in series, it
4 would essentially mean both probes would have to
5 indicate a problem in order for an output to occur.

6 Q. And if they are set up in parallel?

7 A. It would be one or the other would have to
8 show a problem for an output to occur.

9 Q. Now, isn't it true that the high probes
10 were set, essentially, one above the other at
11 different elevations; isn't that correct?

12 A. To the best of my memory. Yes, sir.

13 Q. And if they were set in series, then water
14 would have to touch both probes simultaneously?

15 A. No, not simultaneously. It could be one
16 probe. It could be one second, one minute, one hour,
17 one day, hit the other probe, and then it would occur.

18 Q. And with the time delay, would it have to
19 hit each probe for the length of the delay?

20 A. Yes, sir.

21 Q. Do you recall how long the delay was?

22 A. I do not, sir.

23 Q. If I told you it was 60 seconds, would you
24 have any reason to disagree?

25 A. No, sir.

1 Q. Are you familiar with the report, produced
2 by Ameren's independent consultant, referred to as the
3 Rizzo Report?

4 A. Vaguely.

5 Q. Have you read it?

6 A. Not that I remember, sir.

7 Q. And if I told you that report says the
8 delay as 60 seconds, you would have no reason to
9 disagree?

10 A. I would have to look at the PLC program to
11 see what it was, but I have no reason to disagree,
12 sir.

13 Q. Let's take a look back at Exhibit No. 6.
14 And I'm looking at Paragraph 4 of Exhibit 6.

15 Now, you made some corrections to that paragraph,
16 but my interest is in a part you made no correction
17 to.

18 Could you read Paragraph 4 down to the start of
19 the line that you removed?

20 A. Certainly.

21 Zamberlan stated, during November or
22 December 2004, there had been some problems with the
23 Warrick probes. He stated that the probes were
24 tripping for no reason, preventing the reservoir from
25 filling.

1 Zamberlan stated, he talked to either Bob Scott or
2 Ron Brooks and explained how to remove them from the
3 logic. This made a program loop around where the
4 probes come in, basically taking out one level of
5 protection.

6 Q. And the next?

7 A. Zamberlan said, following this, the
8 programming on the probes was changed from parallel to
9 series.

10 Q. Do you know who made that change?

11 A. I did, sir.

12 Q. And who authorized it, if you know?

13 A. Anything I did at the plant was reviewed
14 with the plant staff before any changes were made.

15 Q. So, you would have discussed it with
16 Mr. Cooper, for example, or Mr. Scott -- Jeffery
17 Scott?

18 A. Yes, sir.

19 Q. Maybe both?

20 A. Maybe.

21 Q. And they would have agreed that was a
22 change that was sensible to make?

23 A. Yes, sir.

24 Q. And these were, after all, new instruments,
25 weren't they?

1 A. Yes, sir.

2 Q. And they had just been installed that fall?

3 A. Yes, sir.

4 Q. And you were still in kind of the shake-out
5 period, if that's the right term?

6 A. Yes, sir.

7 Q. And so, would you consider that to be a
8 normal sort of adjustment that you might make to get
9 new instruments finally calibrated and working
10 properly?

11 A. I'm not sure what you're asking, sir.

12 Q. Well, they were originally set up in
13 parallel?

14 A. Correct.

15 Q. And they were changed to series?

16 A. Yes, sir.

17 Q. And if I'm -- am I not correct -- that the
18 precipitating reason was because of the apparently
19 baseless tripping that had occurred?

20 A. Yes, sir.

21 Q. So, this was done as an adjustment to make
22 the system work better?

23 A. Correct.

24 Q. It wasn't intended to remove the fail-safe
25 or backup operation?

1 A. No, sir.

2 Q. I'm going to --

3 MR. THOMPSON: May I approach, Your Honor.

4 JUDGE DALE: Yes.

5 QUESTIONS BY MR. THOMPSON:

6 Q. I'm not going to mark this. But I'm going
7 to show you Data Request No. 24 that we received from
8 Mr. Hawkins in response to a data request.

9 And that would indicate that, in fact, there was
10 kind of a shake-down period, with respect to the new
11 instrumentation; do you see that?

12 A. Yes, sir.

13 Q. And can you see on there, does it say how
14 long that shake-down period was?

15 A. It states that the start up period lasted
16 from approximately November 17th until December 2nd,
17 2004.

18 Q. And in the course of that period, the
19 reservoir was gradually filled higher and higher;
20 isn't that correct? Do you see the chart there
21 showing numbers?

22 A. I guess I wouldn't say gradually, it was
23 filled. Yes, sir.

24 Q. Each day it was filled a little higher,
25 wasn't it?

1 A. Not necessarily.

2 Q. Okay. And do you recall what the standard
3 operating depth was?

4 A. To the best of my recollection, it was
5 1596.

6 Q. And if you know, how much free board was
7 there at 1596?

8 A. I don't recall.

9 Q. But you're not a Dam Safety Engineer, are
10 you?

11 A. No, sir.

12 Q. And that would be someone else's problems;
13 would it not?

14 A. Yes, sir.

15 Q. And if you were told that was the right
16 elevation then it was okay with you?

17 A. Yes, sir.

18 Q. Were you aware at any time that the
19 retaining wall, or the parapet wall, of the Upper
20 Reservoir was not level?

21 A. Yes, sir.

22 Q. So, you knew that was the case?

23 A. I knew of it. Yes, sir.

24 Q. But so far as you knew, 1596 was a safe
25 level, with respect to the actual elevation of the

1 parapet wall?

2 A. To the best of my knowledge. Yes, sir.

3 MR. THOMPSON: Thank you very much,

4 Mr. Zamberlan. I have no further questions.

5 QUESTIONS BY MS. BAKER:

6 Q. During this shake-out period for the
7 probes, did you have any redundant systems behind them
8 to verify what the Warrick probes were telling you?

9 A. Inside the programming for the continuous
10 level transmitters there was a hard coded value that
11 basically set a top level of 1596.5.

12 What that was, was a way of backing up the backup
13 system -- in my mind, as I was programming the
14 system -- to generate an output if it ever got to that
15 point.

16 Q. Do you know if those redundant systems were
17 retained within the logic circuit?

18 A. To the best of my knowledge, they were
19 retained in the logic circuit. Yes, ma'am.

20 MS. BAKER: That's all the questions I
21 have.

22 MR. SCHAEFER: Judge, Kurt Schaefer for the
23 Department of Natural Resources. Miss Valentine had
24 to leave, so if it's okay with the Commission, I'll
25 actually be cross-examining.

1 JUDGE DALE: Okay.

2 MR. SCHAEFER: Is it all right if I sit,
3 Your Honor?

4 JUDGE DALE: Please make sure you use your
5 microphone.

6 QUESTIONS BY MR. SCHAEFER:

7 Q. I want to ask you, first of all, we're
8 aware that you were involved by the Highway Patrol;
9 correct?

10 A. Yes, sir.

11 Q. Were you under oath, were you sworn in,
12 when you gave that testimony?

13 A. I actually don't recall.

14 Q. And other than the officer who interviewed
15 you, who else was present during both of your
16 interviews?

17 A. During both of the interviews, I believe
18 Ken Slavens -- or one of his people that work with
19 him -- were there, one of my partners in the firm was
20 present.

21 Q. Anyone else present at either one of those?

22 A. I believe the representative from Ameren
23 was present.

24 Q. Do you recall who that was?

25 A. I think it was Mr. Haar was present, and

1 there may have been two officers from the Highway
2 Patrol, but I'm not very clear on that, sir.

3 Q. And do you recall if you were under oath or
4 not?

5 A. I don't recall, sir.

6 Q. You don't recall being sworn in?

7 A. No, sir.

8 Q. Is it fair to say that testimony was not
9 under oath?

10 A. To the best of my knowledge, that's how I
11 think it happened. But again, I don't really recall
12 the beginning portion of the interviews.

13 Q. Now, are you aware that FERC did some of
14 its own investigations of the incident from
15 December 14, 2005?

16 A. Yes, sir.

17 Q. And are you aware that there are -- let me
18 state it this way, have you seen the report, primarily
19 authored by Paul Rizzo as an independent consultant
20 hired by Ameren?

21 A. Again, I vaguely know of it. I don't
22 remember ever reading it in any great detail, anything
23 like that.

24 Q. But you are aware that that was actually
25 the report conducted by Ameren?

1 A. I'd have to take your word on it. I didn't
2 pay attention to who --

3 Q. Are you aware that that report was actually
4 conducted through the law firm that was representing
5 Ameren at the time, Foley and Lardner?

6 A. I don't necessarily recall who was doing
7 what at the time.

8 Q. Were you ever interviewed by Paul Rizzo or
9 anyone acting with Paul Rizzo in conducting that
10 investigation?

11 A. I don't remember Paul Rizzo's name. I was
12 interviewed by FERC, and I was interviewed by the
13 Highway Patrol. Other than that, I didn't have any
14 statements with anybody else.

15 Q. The next report in time would have been the
16 FERC Staff Report, have you seen that?

17 A. Again, I know of it. I have not studied it
18 in any great detail or read it.

19 Q. Do you think you were interviewed by
20 someone from FERC?

21 A. I definitely was interviewed by someone
22 from FERC.

23 Q. Who interviewed you from FERC?

24 A. I don't know.

25 Q. Do you remember the date of that interview?

1 A. I do not recall. It was a large room of
2 people that were there, so --

3 Q. And you don't recall anything from the FERC
4 report, but you did look at it?

5 A. I know it exists, that's the best I can do
6 for you.

7 Q. Are you aware if any information you
8 provided was actually used in that FERC report?

9 A. Again, I don't recall the report, so I
10 can't tell you.

11 Q. Are you aware if FERC had an independent
12 panel of consultants also conduct an investigation?

13 A. It may be those -- that independent panel
14 that I talked to. I remember talking to a group of
15 engineers about things. But again, it's a vague
16 recollection.

17 Q. Did you ever look at the FERC Independent
18 Panel Report?

19 A. No, sir.

20 Q. Do you know if any information you may have
21 supplied was used in that report?

22 A. I'm sorry, I don't.

23 Q. But you have looked at the statements you
24 gave to the Highway Patrol?

25 A. Yes, sir.

1 Q. In fact, some information you gave to the
2 Highway Patrol, whether it was something you said or
3 something taken incorrectly by the officer, some
4 information was incorrect in that report?

5 A. Yes, sir.

6 Q. When was the last time you were at the
7 Upper Reservoir?

8 A. It may have been as late as February 2004,
9 but again, that recollection is vague.

10 Q. Do you recall what you did the last time
11 you were at the Upper Reservoir?

12 A. I believe I was looking at the wireless
13 communication between the Upper Reservoir and main
14 tower on site.

15 Q. Were you there -- the last time you were
16 there -- for the purpose of adjusting any of the
17 gauges of the probes.

18 A. No, sir.

19 Q. Are you aware there's indication, that
20 Ameren has stated, that possibly you were the last one
21 to raise the probes in February '05?

22 A. I didn't recall that. No, sir.

23 Q. I believe you said that you were aware, in
24 at least December of '04, that the normal operation
25 level was 1596?

1 A. Yes, sir.

2 Q. But as we saw from e-mail you were involved
3 in, December 2nd, 2004, there was discussion about
4 raising the Warrick probes, at least the high probes,
5 to 1596.5?

6 A. That is correct, sir.

7 Q. Did you have any concern, at the time, that
8 you were actually involved in a conversation about
9 raising the probes above the operating level?

10 A. No, sir. It's an emergency backup which --
11 its function is, when it acts, it shuts down the plant
12 with a rather large stress on the equipment.

13 The function of the system is to operate at 1596
14 and shut down the system in a controlled manner, which
15 prevents the early deterioration of the equipment.

16 The safety backup is set at a higher level so that
17 the system doesn't race to see which one trips the
18 unit first.

19 Q. But for the unit to work at all, it has to
20 actually come in contact with the water?

21 A. For the Warrick probe?

22 Q. Yes.

23 A. Yes, sir.

24 Q. If you raise it above the water level it
25 won't work; isn't that correct?

1 A. In a perfect world, sir, the Warrick probe
2 is never supposed to touch water, that probe. Because
3 it's an emergency eye.

4 So, if it goes past -- for whatever reason the
5 operating level is not controlled -- and it goes past
6 the operating level, that is when the Warrick probe
7 would touch water and then shut down the plant.

8 Q. But you pretty much guarantee that if you
9 raise it above the possible water surface that it
10 could ever reach?

11 A. I don't understand the question, sir.

12 Q. At 1596, how much free board was left
13 before you ran over the top of the wall?

14 A. I really don't recall.

15 Q. So, you certainly agree with me, that if
16 you raise the Warrick probes higher than the very top
17 of the wall, the water will run over the wall before
18 it will ever hit the Warrick probes; isn't that
19 correct?

20 A. That would be common sense, sir.

21 Q. Thank you.

22 Maybe you said this in your previous answers. Do
23 you recall, did you actually raise the Warrick probes
24 at any time?

25 A. My memory of the accident at Taum Sauk was,

1 I was involved with the continuous level transmitters.
2 We raised those probes at one point to adjust the
3 calibration on those probes.

4 Q. And that was in, approximately, December
5 2004?

6 A. Early December 2004. Yes, sir.

7 I do not recall ever having assigned anybody,
8 worked with anybody, rode with anybody to the Upper
9 Reservoir for the express purpose of raising the
10 Warrick probes. So, I do not recall any event
11 associated with raising the probes.

12 Q. But after that time that you were there,
13 December 2004, you never raised the probes after that;
14 did you?

15 A. No, sir.

16 Q. Are you aware of anyone else at Ameren that
17 raised the probes after that?

18 A. No, sir.

19 Q. Are you aware of whatever probes were even
20 adjusted between December 2004 and December 2006 --
21 2005, excuse me?

22 A. Not to my knowledge. I have no knowledge
23 of that at all.

24 Q. You mentioned, on the piezometers, which
25 were averaged by the logic circuit, that the operator

1 could actually evaluate and look at different
2 information at different times?

3 A. Yes, sir.

4 Q. Could that information be saved on a
5 computer or printed out so it could be referenced at a
6 later date?

7 A. I believe there was a historian on site
8 that would collect the level data, although they
9 wouldn't collect -- to the best of my knowledge -- all
10 three transmitters at the same time.

11 Q. When you say a historian on site, do you
12 mean a piece of equipment or a person?

13 A. Sorry about that. The historian,
14 essentially, is a computer which looks at the control
15 system and says, I want to read this point, this
16 point, and this point and stores it in memory.

17 Q. What was the name of that system, did it
18 have a name?

19 A. I believe -- and again, this is the best
20 recollection I have -- it was a Wonderware Industrial
21 SQL Server.

22 Q. Wonderware?

23 A. That's the name if it -- Industrial SQL
24 Server.

25 Q. SQL Server?

1 A. Yes, sir.

2 Q. What does SQL stand for?

3 A. Simple query language, I think, but I

4 really don't know. It's a data base.

5 Q. And were you involved in actually

6 installing or programming that data base?

7 A. No, sir.

8 Q. But information on the equipment that you

9 installed would go into that data base?

10 A. Yes, sir.

11 Q. And are you aware, is it a practice of

12 Ameren to maintain that information?

13 A. To the best of my knowledge. Yes, sir.

14 Q. Do you know how long they maintained that

15 information?

16 A. No, sir.

17 Q. Who at Ameren, that you worked with, would

18 know that?

19 A. To the best of my knowledge, it would be

20 Chris Hawkins, as he designed the system.

21 Q. Who is Chris Hawkins?

22 A. He's an engineer for Ameren, to the best of

23 my knowledge.

24 Q. For Ameren?

25 A. Yes, sir.

1 Q. And again, I believe you testified that you
2 were actually involved in changing the Hi and the
3 Hi-Hi from the parallel to series; is that correct?

4 A. Yes, sir.

5 Q. And why did you do that?

6 A. The system at the time was generating
7 spurious trips of the unit.

8 Q. What do you mean "spurious trips" of the
9 unit?

10 A. It would be the equivalent of you driving
11 down the road in your automobile and it shut off.
12 That would be a spurious trip.

13 Q. It was acting like water was hitting it,
14 and it was shutting off the system; is that correct?

15 A. Incorrect. It was mostly generated --
16 completely generated -- by the lower probes which are
17 always in the water, they are always conducting. And
18 again, to the best of my knowledge, there was a
19 problem with that part of the system.

20 Q. So, if the lower probes were
21 malfunctioning, why would you rewire the upper probes
22 to be in series and raise them to a higher level?

23 A. The higher level, again, was so the system
24 would shut down properly in the event of a normal
25 operate. The half a foot above it was a safety.

1 The programming to change it from parallel to
2 series was, again, done to make sure that it was a
3 true fault, which would have been also compared to the
4 continuous level transmitters.

5 Q. So, is it your testimony today that this
6 spurious tripping of the system was actually not from
7 wave action on the Hi-Hi and the Hi but was, rather, a
8 result of the malfunction of the low probes?

9 A. I have no knowledge of that.

10 Q. You have no knowledge of any wave action on
11 Hi and the Hi-Hi?

12 A. No, sir.

13 Q. Let me ask you this; explain to me,
14 physically, on the low -- the low probes -- how were
15 those physically attached?

16 A. If my -- you mean the physical installation
17 of those probes?

18 Q. Yes.

19 A. Those probes were installed down some
20 rather large pipes, or conduits. They slid down into
21 the reservoir and were located at some point down in
22 the bottom of the reservoir as being the accurate
23 spot.

24 Q. What do these things look like down in the
25 bottom?

1 A. The low probes?

2 Q. Yeah.

3 A. If I can think of a good description. It
4 would be like a mini Mag flashlight, that size
5 roughly. Again, these are vague recollections, I
6 didn't do much of them. It would be that, you know,
7 similar weight with batteries in it, something heavy
8 that would just lay down inside the pipe.

9 Q. So, do you recall, actually, what the
10 system looked like that ran up the side of the
11 reservoir on the south side that went up to the
12 control box?

13 A. Yes, sir.

14 Q. There was a series of black PVC tubes, I
15 assume, that ran down the side to the bottom?

16 A. Yes, sir.

17 Q. And at the bottom of those tubes is where
18 you had this thing that looked like a mini Mag
19 flashlight?

20 A. Somewhere in those tubes. I don't think it
21 was the bottom, I think it was a little higher than
22 that. But somewhere in that tube. Yes, sir.

23 Q. And there's a cable connected to that
24 thing?

25 A. Yes, sir.

1 Q. And the cable runs up through that PVC pipe
2 and goes up to the box?

3 A. The PVC pipes come up into an enclosure,
4 but the wire actually leaves that enclosure and goes
5 over to the PLC that was up there.

6 Q. Which was up kind of inside the box?

7 A. No, it was inside a building next to the
8 box.

9 Q. And let me ask you this; the wires --
10 that's running down there -- is that wire kind of
11 pulled taught -- kind of tight -- or does it have a
12 lot of slack in it?

13 A. It doesn't have slack but it's not real
14 tight either.

15 Q. Is a function of that device how tight or
16 how loose that cable is?

17 A. No, sir. It's strictly conductivity.

18 Q. Are you aware of the piezometers that were
19 also on that system?

20 A. Yes, sir.

21 Q. Were you involved at all in adjusting the
22 piezometers?

23 A. When we first installed the system, we had
24 the probes in place and I was involved with -- I
25 believe it was Bob Scott -- to adjust those probes for

1 the first installation. After that, we didn't touch
2 them.

3 Q. And was this also in 2004?

4 A. Yes, sir.

5 Q. After 2004, did you work on piezometers at
6 all?

7 A. No, sir.

8 Q. So, lets say December 2004, is it fair to
9 say, after that, you didn't do anything with the
10 piezometers?

11 A. I believe that's correct. Yes, sir.

12 Q. Let me ask you about the piezometers,
13 because they also functioned off that black PVC cable,
14 the tubing, that came down the side; correct?

15 A. Correct.

16 Q. And then there's some part of that
17 piezometer down under the water; correct?

18 A. Yes, sir.

19 Q. Does it matter how far that thing is from
20 the bottom of the reservoir?

21 A. Certainly.

22 Q. Because you adjust it either close or far
23 from the bottom depending on what you want the reading
24 to be; correct?

25 A. The system functions as a differential

1 pressure transmitter, so basically it looks at where
2 ever it is in the water and it will tell you how much
3 water is above it.

4 Q. Based on how much pressure is coming down
5 on it?

6 A. Correct.

7 Q. So, if it's closer to the bottom or higher
8 up from the bottom, it's going to sense that pressure
9 distance. In other words, how much water is up on top
10 of it; correct?

11 A. Correct.

12 Q. Now, that piezometer, does it float down
13 there?

14 A. No.

15 Q. But it's fixed, it's somehow stationary?

16 A. It's stationary by the weight of the probe.

17 Q. And then it's attached to a cable, and the
18 cable goes up the side and goes to that black PVC
19 pipe?

20 A. That is correct.

21 Q. And the cable comes out of the box on top?

22 A. Yes, sir.

23 Q. And now -- a similar question that I asked
24 you about the low probe -- but does it matter how taut
25 or how loose that cable is that's attached to that

1 piezometer as it's going up the side and into the box.

2 A. It's less a matter of how taut it is versus
3 if the capillary tube -- if you want to call it
4 that -- that ran down the cable, whether it had dirt
5 or water or something else in it that would prevent it
6 from sensing the atmosphere verses the amount of water
7 of those two pressures.

8 Q. Now, you were involved in installing all
9 this equipment after the lining was installed in 2004;
10 correct?

11 A. I was involved with the probes. Yes, sir.

12 Q. Were you involved in how those PVC pipes
13 were going to be attached to side of that reservoir?

14 A. No, sir.

15 Q. Do you know how they were attached?

16 A. I have a recollection of it. Yes, sir.

17 Q. They were attached by turnbuckles, weren't
18 they, that held them onto the side?

19 A. I guess so. I would call it a conduit
20 clamp. I guess they have many names.

21 Q. Do you recall how many clamps were supposed
22 to hold that thing down?

23 A. No, sir.

24 Q. But if there weren't enough clamps, and the
25 black PVC pipe with the cables inside were allowed to

1 sway as much as ten to 15 feet from side to side,
2 would that affect the reading you were getting from
3 the piezometers telling you how much water was in that
4 reservoir?

5 A. If the continuous level transmitter moved,
6 changed heights by some method, it would change the
7 reading of the level transmitter. Yes, sir.

8 Q. And in addition to the information that was
9 being supplied to the PLC by the low and the high
10 probes, was information also being supplied to the PLC
11 by the piezometers?

12 A. Yes, sir.

13 Q. And you were involved in programming the
14 PLC?

15 A. Yes, sir.

16 Q. But the PLC was only as good as what the
17 piezometers were telling you?

18 A. That is correct.

19 Q. So, if piezometers weren't working
20 correctly, basically it was faulty data in the PLC?

21 A. Correct, sir.

22 Q. Did you ever discuss with Ameren that there
23 was faulty data coming from the piezometer going to
24 the PLC?

25 A. The time that I was on the site, everything

1 was installed and working properly. So I had no
2 action of discussing that at any time.

3 Q. Were you ever involved with Ameren -- for
4 lack of a better term -- determining a fudge factor,
5 trying to figure out how much water was in there when
6 the piezometers were off?

7 A. No, sir.

8 Q. One more quick question.

9 At the time that the low probe was apparently
10 malfunctioning, how did you know it was
11 malfunctioning?

12 A. The system had on that probe an alarm that
13 would be generated. And when you know there's water
14 in the reservoir, and the alarm comes in and out, you
15 know that it's malfunctioning.

16 And in this case, that's what was happening. It
17 was an alarm would come in and go away, come in and go
18 away.

19 Q. So, at some point, you were aware that an
20 alarm was going off and it shouldn't be going off?

21 A. Yes, sir.

22 Q. Did you ever go and look and see how much
23 was actually in the reservoir?

24 A. The continuous level transmitters -- when I
25 was on site -- were working properly. And you could

1 tell from those that there was water in the reservoir.
2 And you could see the alarm coming in and out, which
3 pointed to the fact that there was a problem with that
4 part of the system.

5 Q. So, you never physically looked to see, you
6 just relied on the information you were getting from
7 the other gauges and sensors?

8 A. My job was to verify the data inside the
9 PLC, how it was acting, to make sure it wasn't a PLC
10 that was generating a problem, or something like that.

11 Q. And at one point during your previous
12 testimony, you said you didn't have as much knowledge
13 of that system as others at Ameren; is that correct?

14 A. Yes, sir.

15 Q. Who at Ameren had more knowledge than you?

16 A. That would be Tom Pierie.

17 Q. Because I believe you said, on the Hi and
18 the Hi-Hi, there was the ability to program into the
19 system a delay to basically make sure that the sensors
20 had to be wet, for a certain period of time, before
21 they would actually either sound an alarm or shut off
22 the system; is that correct.

23 A. That is correct.

24 Q. How long of a delay could you program into
25 that?

1 A. To be honest, I'd have to look at the PLC
2 programming manual, because we don't generally do
3 anything longer than three seconds, to a little over a
4 minute, depending on the system.

5 Q. Why is that?

6 A. It's just typical. The PLC itself,
7 theoretically, could put any length of delay on there
8 if you program it properly.

9 Q. So, if you were experiencing some kind of
10 temporary wave action, couldn't you just program in a
11 delay to compensate for that instead of moving the
12 probe up to where they didn't work at all?

13 A. Theoretically, yes.

14 JUDGE DALE: Thank you.

15 Were there questions from the Bench?

16 COMMISSIONER GAW: Good evening,
17 Mr. Zamberlan. Some of these things may have been
18 covered, I will try to avoid duplication.

19 QUESTIONS BY COMMISSIONER GAW:

20 Q. I think you gave your educational
21 background?

22 A. Yes, sir.

23 Q. I want to know your employment history,
24 please?

25 A. Again, I was employed with Ameren.

1 Q. And what time frame?

2 A. Roughly 1992 to 1998 or 1999, I apologize,
3 I don't know.

4 Q. What positions did you hold?

5 A. I was an engineer for the company.

6 Q. And for which Ameren affiliate?

7 A. AmerenUE.

8 Q. And who did you work under?

9 A. At the first job within Ameren, I was
10 working for Eric Stratman. The second job was with
11 Mike Knott, K-N-O-T-T. The third assignment within
12 Ameren would have been for Bob Horine, H-O-R-I-N-E.
13 And then my final assignment would have been for Bob
14 Ferguson.

15 Q. Give me the titles that you held in each
16 one of those positions, or what it was that you were
17 doing in each one of those positions?

18 A. I was an engineer for all those positions.

19 Q. But what did you do, you said you were
20 transferred to different positions. I want to know
21 specifically what it was that you were doing in these
22 positions?

23 A. My first position; I was a Plant Engineer,
24 I was responsible for daily operation of the plant as
25 far as my systems were concerned. I was responsible

1 for analyzing new projects as they were brought to the
2 plant in the areas I was concerned with.

3 I was responsible for the computer systems,
4 networking systems at the plant. I was responsible
5 for the communications systems at the plant. At times
6 I was responsible for the environmental controls of
7 the plant. At times I was responsible for the
8 generators at the plant, the transformers at the
9 plant. Essentially, systems from 5 volts to 345kV.

10 Q. What plant or plants were you responsible
11 for?

12 A. I was assigned to Labadie Power Plant.

13 Q. And when you say you were responsible for
14 the generators, what do you mean by that?

15 A. Responsible for the generators, that would
16 entail understanding their proper operation;
17 understanding, when a fault occurred, how to assess
18 the fault, troubleshoot the fault, figure out what to
19 do to fix it; and not "oversee" the people fixing it,
20 but at least understand that the work they're doing is
21 proper.

22 Q. Okay. And your next position was under
23 Mike Knott?

24 A. Mike Knott, yes.

25 Q. What was that position?

1 A. It was a stint working with the IT group
2 for Ameren.

3 Q. Out of which office?

4 A. That was out of the office at 1901
5 Chouteau.

6 Q. And how long did that one last?

7 A. Not a very long time.

8 Q. What about the first one?

9 A. Roughly four years. Three, four years.

10 Q. Then you moved on to -- is it Bob?

11 A. Bob Horine.

12 Q. What was that responsibility?

13 A. I was the generator specialist for UE.

14 Q. What does that mean?

15 A. I was responsible -- much like I was at the
16 plant -- for the generator, but for all the generators
17 within the Ameren system.

18 Q. What would be your job doing that, was it a
19 consulting type job, was it a management job?

20 A. It was more like a consulting job. The
21 plants were still responsible for their equipment;
22 however, during times when an overhaul would take
23 place or a fault occurred or some other event
24 happened, I would help out with assessing the system,
25 figuring out what needed to be fixed, figuring out

1 what preventative maintenance programs may or may not
2 need to be applied to the system, things like that.
3 Helping plan future outages.

4 Q. What was Bob Horine's position at that
5 time?

6 A. I believe he was a Superintendent of
7 Turbine Maintenance.

8 Q. Is he still with the company?

9 A. No, sir.

10 Q. Is he retired?

11 A. Yes, sir.

12 Q. Were you also -- did you also work in
13 conjunction, in that position, with the Taum Sauk
14 Plant?

15 A. I had knowledge of the plant. I assessed a
16 few things of the plant. But at the time, I had never
17 been down to the plant.

18 Q. Do you remember specifically what you did
19 assess, or do, in regard to the Taum Sauk Plant?

20 A. I reviewed the winding maintenance reports
21 for many years to make sure things were looking
22 proper. Try to assess the condition of the windings,
23 if we needed to plan for a rewind.

24 Q. Tell us what a rewind is?

25 A. A rewind would be the replacement of the

1 copper inside the generator that generates
2 electricity.

3 Q. How long did you have that position?

4 A. I believe that was for a couple years.

5 Q. Do you remember approximately when you left
6 that position?

7 A. No, sir. I don't.

8 Q. Then you went to work under Bob Ferguson?

9 A. Yes, sir.

10 Q. Do you remember when that was?

11 A. I want to say, maybe 1997.

12 Q. And what was that position, what did it
13 involve?

14 A. Bob was in charge of the Power and Controls
15 Group for Ameren or ENC Electrical Group, it has many
16 names.

17 Q. What did it do?

18 A. The function of the group is to essentially
19 design projects to be installed at the plants, act as
20 consultants when an event occurs and they need extra
21 help with troubleshooting or whatever, provide
22 assistance or direction in budgeting of new Capital
23 projects, helping plan outages and some aspects for
24 major overhauls.

25 Q. And is that area, or division -- I'm not

1 sure what the right term is -- is it still in
2 existence at Ameren?

3 A. Yes, sir.

4 Q. Is Bob Ferguson still there?

5 A. Yes, sir.

6 Q. In that same position?

7 A. I think so.

8 Q. And you say you did plan outages, or work
9 to plan outages, in that position?

10 A. Yes, sir.

11 Q. And can you tell me, when an outage was
12 planned, were there any others, besides that
13 particular department, that were consulted about
14 planning outages for generators?

15 A. There were many different divisions. The
16 various groups inside of ENC would have been involved
17 with it.

18 Q. ENC meaning --

19 A. Engineering and Construction Group.

20 The Turbine Maintenance Group would have been
21 consulted for direct turbine and generator related
22 activities. The plant would have been consulted for
23 direct activities, and then a group called Power Plant
24 Maintenance would have been consulted for those
25 activities.

1 Q. Who was in that group at the time?

2 A. I apologize, I don't remember.

3 Q. That's all right. I didn't hear you

4 mention anyone regarding those that might have been

5 responsible for the marketing of energy, were they not

6 consulted --

7 A. Not to my knowledge.

8 Q. -- at that time, is that correct?

9 A. Correct.

10 Q. And do you know when you left Ameren again?

11 A. It was roughly '98/'99.

12 Q. And did you go directly to work for LDP?

13 A. No, sir. I went to work for Fru-Con

14 Engineering.

15 Q. And tell me who that is?

16 A. Fru-Con Construction Company is a large

17 construction company in St. Louis. They had a

18 division called Fru-Con Engineering that did

19 engineering projects for various clients.

20 Q. How long did you work with them?

21 A. The first time, it was three years.

22 Q. You worked for them more than once?

23 A. Yes, sir.

24 Q. What did you do after you left them the

25 first time?

1 A. After the first time, I went and joined GE
2 Automation to open an automation office for them.
3 Shortly after I was hired on by them, they changed
4 their mind and didn't want to open an automation
5 office, which kind of left me in the lurch. I
6 continued to work for them for a little while.

7 Fru-Con was getting ready to start designing
8 several power plants. They asked me if I would come
9 back and run the automation group. I did, and stayed
10 with them for a while, until January 1st, 2003, when I
11 became a partner with LDP and opened the St. Louis
12 office.

13 Q. And LDP, how long had it been in existence
14 at the time, do you know?

15 A. At the time, it would have been 65,
16 70 years.

17 Q. And who were the -- how many partners,
18 approximately, were there in the group at the time you
19 joined?

20 A. I believe the number is, approximately,
21 eight.

22 Q. And how many are there now?

23 A. I believe we added another five. We're up
24 to their thirteen, or so.

25 Q. Do you know whether or not LDP, at the time

1 you joined, had any relationship with Ameren?

2 A. To the best of my knowledge, they had not
3 done any work for Ameren that I knew. I discovered
4 later on they had done some very minor work for CIPS,
5 which became part of Ameren down the road.

6 Q. But at the time they had done the work for
7 Central Illinois Power they were not part of Ameren?

8 A. Correct.

9 Q. That system was not a part of Ameren?

10 A. Correct.

11 Q. In regard to them, the time frame
12 subsequent to you joining LDP Consulting, did LDP have
13 a relationship with Ameren?

14 A. Yes, sir.

15 Q. When did that occur in relationship to your
16 joining LDP?

17 A. It was, roughly, in the early 2003 time
18 frame where we started doing some work.

19 Q. And you joined when?

20 A. January 1st, 2003.

21 Q. So, fairly shortly after you joined LDP,
22 LDP received a contract with Ameren?

23 A. To the best of my knowledge. I'm a little
24 fuzzy there but to the best of my knowledge.

25 Q. Did you have any involvement in the

1 relationship between LDP and Ameren?

2 A. Yes, sir.

3 Q. Can you describe that involvement, please?

4 A. From LDP's perspective, I was the one who
5 was responsible for developing a relationship and
6 maintaining a relationship with Ameren.

7 Q. Okay. And did you make the initial contact
8 with Ameren?

9 A. Yes, sir.

10 Q. Who did you talk to?

11 A. Bob Ferguson.

12 Q. What was the initial relationship between
13 LDP and Ameren about, what was the job generally?

14 A. It was actually to assist -- if I remember
15 correctly -- assist in the budgeting process for
16 Capital projects.

17 Q. Can you just, very generally, describe what
18 that would mean?

19 A. Not that this was a project, but let's say
20 they were going to replace a turbine. Somebody would
21 be involved with that budgeting process. Well, for
22 Bob Ferguson's group, it was replacing transformers at
23 the plants or replacing electrical equipment at the
24 plants, thing like that. I was to help him with the
25 budgeting and project assessments.

1 Q. Okay. And at some point, did the work that
2 you were doing through LDP for Ameren change, and if
3 so, can you describe it?

4 A. I guess I don't understand what you mean by
5 change.

6 Q. Other than what you've just told us in
7 regard to helping with budgeting items, did it change
8 and go into other areas?

9 A. At one point we had an engineer that was,
10 essentially, contracted to Ameren for various things
11 under their direction. We did some work for the
12 Turbine Maintenance Group developing -- and again, I
13 don't remember the title of the documents -- but it
14 was related to generator outage maintenance items.

15 We did some work for the AmerenUE on the
16 combustion turbine side, just very small projects.

17 And then we were awarded the Taum Sauk Project.
18 Actually, not awarded the Taum Sauk Project, they
19 contracted me as a Contract Engineer to work with Tom
20 on the Taum Sauk Project.

21 Q. Tom who?

22 A. Tom Pierie.

23 Q. And when did that occur?

24 A. It would be spring 2004 -- no, excuse me.
25 It was later than that because it was a tight

1 schedule. It would have been May or June -- and
2 again, fuzzy memory -- 2004.

3 Q. And your specific role in regard to this
4 work was?

5 A. I was to work with Tom on the programming
6 of PLCs for the control replacement at Taum Sauk.

7 Q. Now, how long was that contract supposed to
8 last with that job?

9 A. It was through the outage of December 2004
10 to get the project up and running, and that was it.

11 Q. Just for clarification, when you say outage
12 at Taum Sauk, you're talking about what?

13 A. At the time, this would have been a major
14 outage where the unit was shut down for overhauls, and
15 at the same time the outage was for the installation
16 of the liner at the Upper Reservoir.

17 Q. Had you been involved, in any way, in
18 dealing with others that were working on this project
19 at Taum Sauk that involved this outage?

20 A. I worked with Tom Pierie; Art Fishman, who
21 was a drafter there; and Chris Hawkins.

22 Q. I think you've said who Chris Hawkins --
23 what his position is -- can you refresh my memory?

24 A. He's an engineer that also works for Bob
25 Ferguson, works with Tom Pierie.

1 Q. What's the relationship, in the structure
2 of Ameren, between Bob Ferguson and Tom Pierie?

3 A. Tom works for Bob Ferguson.

4 Q. Is he, Bob Ferguson, Tom Pierie's direct
5 supervisor?

6 A. Yes, sir.

7 Q. In the course of your work involving Taum
8 Sauk, how often would you go down to the site at
9 Proffit?

10 A. Early on, it wasn't extremely often. It
11 was visits to meet with Jeff Scott or Rick Cooper to
12 understand how some wiring might be and understand how
13 the system was put together already, the existing
14 system.

15 As we got closer to the outage, those trips had
16 picked up. And then, during the outage, we were down
17 on-site working with the electricity on the install
18 process, making sure the PLCs were programmed properly
19 and communicating to each other, things like that.

20 Q. I want to ask you about the contract. Did
21 the contract pay a lump sum for your work, or was it a
22 payment by the hour, or some other arrangement?

23 A. It was a time immaterial type
24 arrangement -- a T and M type arrangement -- where we
25 were paid by the hour.

1 Q. Any minimum guarantee to the job?

2 A. No, sir.

3 Q. Did you then send bills on as the job
4 progressed, or was it a bill that was sent at the end
5 of the project?

6 A. It would have been monthly invoicing sent
7 to Ameren, for the project, for my hours worked.

8 Q. And how did you keep track of your hours?

9 A. We have a time sheet system that we keep
10 track of hours.

11 Q. And when you record your time, do you do
12 that yourself?

13 A. Yes, sir.

14 Q. And that time as it's recorded, do you make
15 any notations about what you're doing when you're
16 making those records?

17 A. No, sir.

18 Q. You just write down so many hours?

19 A. And I forget the project number that LDP
20 had assigned to it, but we'd put down the project
21 number and how much time we worked on the project.

22 Q. And there are no recordings at all in
23 regard to what you've actually done other than --

24 A. No, sir.

25 Q. -- how many hours you spend?

1 A. Correct.

2 Q. Do you keep notes in regard to what you do
3 on your jobs?

4 A. Not on that project, sir. I had been
5 chided for that already.

6 Q. Pardon me?

7 A. I had that discussion with others about
8 keeping better notes with future projects.

9 Q. With others like who?

10 A. Like, guys I work with. Paul Young, who is
11 one of my partners. Did you keep notes? No, I
12 didn't. You should really keep notes.

13 Q. Do you keep notes on any of your jobs?

14 A. Now I do.

15 Q. Did you prior to the Taum Sauk dam
16 collapse?

17 A. No, sir.

18 Q. Do your other partners keep notes?

19 A. Some do, some don't.

20 Q. Did they have a change, in regard to their
21 keeping of notes, subsequent to the Taum Sauk dam
22 collapse?

23 A. There's a few who are thinking twice about
24 it. Yes, sir.

25 Q. So, there would be a schedule then of the

1 time that you've spent dealing with this project.

2 Would those time sheets reflect where you actually
3 were?

4 A. No, sir.

5 Q. Did you bill for mileage?

6 A. I believe I did. Yes, sir.

7 Q. Did you bill for stays overnight?

8 A. Yes, sir.

9 Q. Did you stay overnight at the Taum Sauk
10 site? Was that a yes?

11 A. Yes, sir.

12 Q. The court reporter may have difficulty
13 picking it up.

14 A. I apologize.

15 Q. In regard to the job, other than those
16 individuals that you've mentioned, who else would you
17 have been dealing with at Ameren involving the Taum
18 Sauk project?

19 A. And that's besides Chris Hawkins, Tom
20 Pierie, Art Fishman? Well, of course, Rick Cooper and
21 Jeff Scott down at the plant. The maintenance guys
22 that worked for Jeff down at the plant. Bob Ferguson
23 would have been involved at some level because he's
24 Tom's boss, and I was contracted to him.

25 I believe, for the most part, to the best of my

1 knowledge, that's everybody I worked with.

2 Q. Okay. And these conversations that you
3 would have had with these individuals -- let me strike
4 that.

5 Of the individuals that you named, was there
6 anybody in particular that you were under the
7 impression they were in charge of this project, in
8 that group that you were talking about?

9 A. It would be Tom Pierie, at least for --
10 excuse me -- for part of the project. Chris Hawkins
11 had responsibility for the data historian that was on
12 site and a few other pieces of that. Tom Pierie had
13 responsibility for the controls up there.

14 Q. Once again, run through with me -- Chris
15 Hawkins --

16 A. Chris Hawkins was responsible for the data
17 historian that was placed on site and some data
18 collection in regards to the data historian.

19 Q. And Tom Pierie?

20 A. Tom Pierie was responsible for the controls
21 upgrade. That would be the overall -- the PLC
22 programming design, etc., wiring design, overseeing
23 American Governor in their installation.

24 Q. I want to stop you for one second. Who is
25 American Governor and what is their installation?

1 A. American Governor is a company that
2 produces hydroelectric turbine governors, the part of
3 the system that controls the speed of the water wheel,
4 both in generate and in pump mode. They were
5 replacing the existing system with a PLC based system.

6 Q. What had been in there before, in a general
7 sense?

8 A. It was more of a hard wired control system
9 with relays, physical wiring, things like that.

10 Q. The previous system, were you able to do
11 regulation with Taum Sauk, for instance?

12 A. I don't know. Again, I don't know what it
13 was -- that old system. I don't know what it was
14 doing.

15 I believe the new system somewhat replicated the
16 old system. The new system was designed for
17 regulating Taum Sauk as far as how much power
18 generated, things like that.

19 Q. And after the installation of this new
20 system, Taum Sauk was capable of doing, for instance,
21 regulation?

22 A. Best of my knowledge, yes, sir.

23 Q. Now, go ahead. You were explaining some
24 things?

25 A. Additionally, Tom was responsible for

1 monitoring budget, monitoring contractors, things like
2 that. Monitoring consultants or contract employees.

3 Q. Now, when you were dealing with Tom Pierie
4 or Chris Hawkins, if you made any -- first of all,
5 would you report to both of them in their areas?

6 A. Somewhat. Yes, sir. Yes, sir.

7 Q. Can you tell me the parameters of what you
8 would do to, first of all, give them information?

9 A. If the "whatever" I was working on happened
10 to affect the data historian -- or that portion of the
11 system -- any designs I came up with would have to be
12 reviewed and approved by Chris Hawkins, and the plant,
13 and in some respects Tom Pierie, since I was working a
14 lot for him as well.

15 On the flip side, if a design I was working on
16 affected the control system on the rest of the plant,
17 it would be reviewed by the plant, and reviewed by Tom
18 Pierie, and in some cases, Chris Hawkins, if Tom
19 wasn't available.

20 Q. Were there occasions, when you would be
21 making decisions, when you would need their approval
22 in order to move forward?

23 A. Yes, sir.

24 Q. What was the protocol there?

25 A. Basically, it involved design review

1 points, where we would be at a point in the project
2 where this is what we want to proceed with on the
3 design of the PLCs, for instance, and Tom or Chris
4 would say, "I like that approach, let's move with it."

5 Or if they didn't like that approach, he would
6 say, "Maybe we should do that instead."

7 We would work through those parameters and proceed
8 with the project.

9 Q. Tell me, if you could, give me an example
10 of a decision you might make, in regard to the
11 project, where you would not -- it would not be
12 protocol to tell Tom?

13 A. Not any instance that I can recall. But
14 they wouldn't have been involved with that because I
15 was working for them.

16 Q. Sure, okay. I want to spend a little bit
17 of time understanding your involvement with the safety
18 features at Taum Sauk.

19 And first of all, I want you to, if you would --
20 and I know you've touched on this -- but I want you to
21 generally describe, to the extent that you know, what
22 the safety system was at Taum Sauk prior to the
23 changes that were made in the liner and other the
24 other changes that were made in '04?

25 A. To the best of my knowledge, there were

1 some type of conductivity probe -- mounted on the
2 Upper Reservoir parapet wall for the highs and down in
3 the reservoir for the lows -- which essentially
4 functioned the same as the new ones, to the best of my
5 knowledge.

6 Q. What are you basing that on?

7 A. During the course of the design review,
8 part of our function was to review the existing
9 electrical design of the plant, because it was relay
10 based, and convert that logic to PLC logic.

11 So, part of it was interpreting the existing
12 drawings on the system -- my direct, what I had to
13 do -- and convert it to logic programming inside the
14 PLC.

15 Q. Did you actually see this system?

16 A. Not the physical system. No, sir.

17 Q. But you saw drawings of it, or pictures, or
18 what did you see?

19 A. There would be schematic diagrams that
20 described how the system worked.

21 Q. Now, the new system that was there, first
22 of all, I want you to describe it for me -- I know
23 you've already been through quite a bit of this -- but
24 I want you to describe it for me?

25 A. The new system -- as a point of

1 clarification; the whole system or just the Upper
2 Reservoir? Or how far do you want to go?

3 Q. I want you to give me a -- how long would
4 it take you to do the whole system?

5 A. I could probably provide a synopsis which
6 would give you the idea without spending too much
7 time.

8 Q. Lets start there and see where we go.

9 A. The control system that was going to be
10 installed was a series of programmable logic
11 controllers -- PLCs -- which were located at the Upper
12 Reservoir, the Lower Reservoir, Unit 1, Unit two,
13 Common PLC, liquid rheostat and the governor system.

14 Q. I want you to tell me what the liquid
15 rheostat is?

16 A. The liquid rheostat is a system that was
17 used to start the water wheel spinning before it was
18 connected across the line for pump operation.

19 Q. And the governor?

20 A. The governor was the system that controlled
21 the speed of the turbine during operation.

22 Q. So, you could control how much energy
23 output there was or how fast the water was being
24 pumped back up?

25 A. That is correct.

1 Q. Go ahead.

2 A. The Upper Reservoir PLC was used to bring
3 in inputs from the Upper Reservoir and communicate it
4 to the plant. The Lower Reservoir PLC was used to
5 bring inputs from the Lower Reservoir and send them
6 back to the plant, as well as generate an output to
7 control the gates at the lower dam for how much they
8 opened or closed.

9 The liquid rheostat PLC was to make the liquid
10 rheostat work. The governor PLCs -- there were
11 several -- were used to make the governors work.

12 Unit 1 and Unit 2 PLCs were designed to be the
13 ultimate controllers for the system. They would
14 replace the existing relay logic with software that
15 analyzed inputs and generated outputs to make the
16 plant function.

17 Q. Now, how did those -- how are those things
18 related to safety?

19 A. The upper reservoir PLC brought in two
20 Warrick probes, which would be the backup safeties for
21 the Upper Reservoir.

22 The Common PLC -- I forget to mention the Common
23 PLC, I apologize -- it was used to bring in inputs
24 that went to both units where both units need the
25 information. But you couldn't wire them to both

1 units, you wired to the one PLC and communicated the
2 information to the others.

3 Two Warrick probes came into the Common PLC. Both
4 those PLCs brought in the probes, communicated it to
5 the appropriate PLC -- Unit 1 or Unit 2 -- and the
6 Unit 1 PLC or the Unit 2 PLC analyzed that data and
7 generated an output that would either shut it down, if
8 an event occurred, or let it run.

9 Q. There was -- you said, I think -- you
10 established there were two Warrick probes that were
11 designed to be -- to deal with the backup system to
12 ensure that the water didn't rise above some level?

13 A. Yes, sir.

14 Q. There were also lower Warrick probes that
15 were designed to do what?

16 A. To keep the unit from running dry and going
17 too low, essentially.

18 Q. It has been described earlier, there can be
19 some harm to the generating units if the water got too
20 low; is that accurate.

21 A. To the best of my knowledge. Yes, sir.

22 Q. Is it also a problem, if they get too low,
23 of actually being able to pump back up if you don't
24 have water up over the pumping units or not?

25 A. My recollection is yes, sir. But it's

1 fuzzy. I think that's correct.

2 Q. Those are four Warrick probes that you just
3 described?

4 A. Yes, sir.

5 Q. Is it true that there's a fifth one?

6 A. To the best of my knowledge, there were
7 only four probes at the Upper Reservoir; a Lo and a Lo
8 Lo, a Hi and a Hi-Hi.

9 There's a reference probe, if that's what you're
10 talking about.

11 Q. Is that reference probe a Warrick probe?

12 A. Not in the strictest sense.

13 Q. What sense is it?

14 A. It's a probe that -- if I remember
15 correctly -- generates or detects the voltage from the
16 Warrick probes so that it -- the electricity has to
17 have a conductive path, so when you get a probe wet,
18 and it either has a voltage or it has to sense that
19 voltage -- and I forget which it is -- it would
20 conduct.

21 And you need the reference probe to provide that
22 return path for the current, so that you actually get
23 a signal generated instead of just having a probe
24 sitting out there and it can't conduct anything.

25 Q. Where is that probe placed?

1 A. Again, I think -- fuzzy recollection --
2 that it was actually down at the bottom by the lower
3 Warrick probes.

4 Q. Did that probe play into your work on the
5 software?

6 A. No, sir. That was strictly for the relay
7 system that would detect when the conductivity
8 occurred. It would close a contact on that relay
9 system, and the PLCs I worked with would detect that
10 contact closure, and that would be the input to the
11 system.

12 Q. So, was that a critical element in order
13 for the top two probes to communicate with the system?

14 A. The reference probe?

15 Q. Yes.

16 A. Yes, sir.

17 Q. Also for the two lower probes?

18 A. Yes, sir.

19 Q. And how was it connected, again, with the
20 other four probes?

21 A. It's a reference. It provides -- and
22 again, I apologize, I don't recall it very well -- it
23 provides a path for the current to flow between the
24 probe that is wet and the reference probe so you have
25 a complete circuit, so you can generate a relay

1 output.

2 Q. What I'm asking is, how is that
3 connection -- is it a hard wire connection? I'm
4 trying to understand that.

5 A. It's much like the Warrick probe, in that
6 it has a cable that's connected to it that runs all
7 the way back up the black pipes and then to the relay
8 house at top of the hill.

9 Q. How does it connect, for instance, to the
10 two high probes?

11 A. It's all through the Warrick relays mounted
12 inside the relay house with wiring down there.

13 Q. So, in essence, there's a wire connection
14 that ends up connecting all of the system?

15 A. Yes, sir.

16 Q. Okay. Now, do you have any specific
17 training regarding dams or dam safety?

18 A. No, sir.

19 Q. And what was your involvement in regard to
20 the setting of the Warrick probes themselves?

21 A. During the initial portion of the project,
22 I was working on the PLC programming code, as we've
23 discussed, and the continuous level transmitters, the
24 piezoelectric transmitters. I received inputs from
25 the Warrick system into the PLCs.

1 Q. How did you receive them?

2 A. They were either wired into the Upper
3 Reservoir PLC or over a cable that would run from the
4 Upper Reservoir down to the plant into the Common PLC.

5 Q. Were you there when the information was
6 initially available from the Warrick probes, when you
7 were --

8 A. When we were testing them? Yeah, I was
9 looking at them down in the plant to make sure they
10 were coming in.

11 Q. Who were you working with?

12 A. That would be Tom Pierie.

13 Q. Who was he working with, if you know?

14 A. I don't know. I believe it was Sachs
15 Electric, but it could have been a plant guy. I don't
16 recall.

17 Q. But you do know you were working with Tom
18 Pierie?

19 A. Yes, sir.

20 Q. Do you know approximately when that was?

21 A. No, sir.

22 Q. Can you give me an estimate of a month?

23 A. It would have been during the outage, which
24 I believe was mid-November time frame, I think. But
25 again, vague recollection.

1 Q. Do you know whether the Warrick probes --
2 the Hi and Hi-Hi probes -- were set at the same time
3 as the Lo and Lo Lo probes?

4 A. I don't recall directly. I would venture a
5 guess they were, because they were the same system,
6 but I don't recall.

7 Q. But as far as your involvement in the
8 testing of it, do you recall whether that was the same
9 time?

10 A. When we did the testing, all the probes
11 were there, we saw inputs. Yes, sir.

12 Q. How about the piezometers, were they tested
13 about the same time?

14 A. They were checked for as best we could
15 without any water in the reservoir.

16 Q. Yes.

17 A. And then the day we filled the reservoir,
18 or started to fill the reservoir, is when we started
19 analyzing the piezoelectrics to make sure they were
20 functioning properly.

21 Q. When you say checked them the best you
22 could, describe what that means?

23 A. When we connected into the system, a bad
24 transmitter would essentially give no information back
25 to the PLC. We were able to sense that each

1 piezoelectric was reading something, and that they
2 were electrically working on the system. It required
3 some other things to occur, such as putting water in
4 the reservoir in order to determine whether they were
5 functioning properly, the rest of them.

6 Q. Now, in regard to the Warrick probes, how
7 did you determine that they were functioning?

8 A. To the best of my knowledge -- and again, I
9 believe this is how Tom tested them -- he put a
10 reference probe and a probe in a bucket of water.
11 Because we needed water to conduct between the probes
12 in order to show they were functioning.

13 Q. Would you also have to have water on the Hi
14 or Hi-Hi probes when you were testing them, or would
15 it just be the reference probe that you would put in
16 water?

17 A. Both the Warrick probe -- whichever the
18 case may be, Hi-Hi or Lo Lo -- would have to be
19 touching water when the reference probe is touching
20 water in order for the system to work. Again, best of
21 my knowledge.

22 Q. Now, when you did this test initially,
23 would it have been necessary for both the Hi and Hi-Hi
24 probes to be underwater to be able to see whether one
25 of the probes was working?

1 A. No, sir.

2 Q. And that was because --

3 A. The way the PLC works, each probe is wired
4 to an individual point. So it would be the equivalent
5 of looking at light bulbs. When a point would come
6 on, you would the see light bulb go on the PLC -- or
7 actually, inside the computer, you would see the data
8 register turn on.

9 Q. Initially they were done in parallel?

10 A. Yes, sir.

11 Q. Which would have allowed you to discover
12 whether a probe was working just by having water on
13 one of the probes and the reference probe; correct?

14 A. Even when it was in series you would still
15 be able to see the individual points come in to
16 determine whether they were working.

17 Q. Okay, that's fair. I'm going to jump with
18 that comment so I don't miss this.

19 In what was done after these two Hi and Hi-Hi
20 probes were changed from parallel to series, was there
21 an ability for someone to see something on a computer
22 screen, or hear something with an alarm, that would
23 reflect that only one of the probes had been hit with
24 water for the required length of time?

25 A. Yes, sir. There was an alarm generated off

1 one of the probes on the highs -- I don't recall which
2 one it was -- but one of the probes was tied to an
3 alarm inside the system that would generate an alarm
4 any time it touched water.

5 Q. But that was not true of both of them, or
6 was it?

7 A. It was not true of both of them, only one
8 of those probes generated an alarm.

9 Q. And would it require -- your testimony is
10 that it would have not required both probes to have
11 been in water?

12 A. Not for the alarm. No, sir.

13 Q. And who would have received that alarm?

14 A. The alarm would have come up on the
15 operator's screen down at the -- I think it's level
16 three -- down in the plant where the operators watched
17 the system.

18 Q. Which plant?

19 A. Taum Sauk.

20 Q. What if there was no one in the plant?

21 A. I think, and again vague recollection, I
22 believe there was -- that alarm could be seen over the
23 system, where the intent was for the alarm to be seen
24 over the system at Osage. But that part of the system
25 I didn't do anything with, so I don't recall what was

1 being passed and what wasn't.

2 Q. So, in essence, you cannot testify here
3 today that, during the nighttime hours, that that
4 alarm would or would not have been visible -- assuming
5 that it went off -- to anyone?

6 A. To be honest, I would have to do more
7 research before I could give you an accurate answer.

8 Q. And at the time you were doing this work,
9 and you changed the system to series from parallel,
10 wouldn't you have known that information?

11 A. Again, it was outside my responsibility --
12 I guess is the best way to put it -- as far as what
13 information would be passed down to the Osage Plant.

14 Q. Were you aware or were you not,
15 Mr. Zamberlan, that the Taum Sauk facility was not
16 staffed at night?

17 A. Oh, I'm aware of that. I just don't know
18 what information off the system was passed down there.
19 It's quite possible that that alarm point was passed
20 down there, I just don't know.

21 Q. Okay. Then who was responsible to ensure
22 that someone would have been available to see that
23 alarm, who was responsible?

24 A. Again, from a power operations perspective,
25 I don't know that side of the business as far as who

1 is watching the board, or doing whatever.

2 The system I'm talking about would have been the
3 system Chris Hawkins was working on, which collected
4 data from the plant and passed it along to Osage.

5 Q. I'm jumping ahead, but would Chris Hawkins
6 have known about your changing the system from
7 parallel to series on Warrick probes?

8 A. I did not tell him specifically, but that
9 doesn't mean he didn't know. I don't know what he
10 knew at the time.

11 Q. Well, if he's responsible -- and you know
12 he's responsible -- for this communication back and
13 forth with Osage, where was the check to ensure that
14 this alarm, if it went off when no one was at the Taum
15 Sauk plant, could have been heard by anyone.

16 A. Again, I don't know. That was, again, not
17 part of the design work that I was tasked to do.

18 Q. But you're the one that changed it,
19 Mr. Zamberlan?

20 A. We're talking about two different things
21 though, sir.

22 Q. That could be, but I'm trying to follow
23 you, sir.

24 A. The alarm was a single point, on either the
25 Hi or Hi-Hi probe, that any time it came in an alarm

1 was generated. That's completely separate from the
2 parallel and series programming that affected the
3 tripping of the plant. They were two totally
4 different things.

5 Q. Well, they certainly could have been
6 related together?

7 A. They use the same data.

8 Q. Yes. All right. Now, at what point in
9 time were you contacted about making this change from
10 parallel to series on the Warrick probes?

11 A. I forget the time frame. It was somewhere
12 in the December/January/February time frame. Again, I
13 apologize for not knowing the date.

14 Q. Who contacted you?

15 A. The initial contact was a phone call from
16 the plant that they were having problems with the
17 system.

18 Q. Who was it that called?

19 A. I believe it was Bob Scott.

20 Q. Who is Bob Scott?

21 A. He is a technician -- or whatever the
22 appropriate term is for his responsibility -- at the
23 plant.

24 Q. And how does he fit into the hierarchy on
25 the supervisor --

1 A. Best of my knowledge, he worked for Jeff
2 Scott.

3 Q. And what's his position?

4 A. Again, best of my knowledge, he was a
5 Supervisor and Plant Engineer at Taum Sauk Plant.

6 Q. And who does he report to?

7 A. Rick Cooper.

8 Q. And who does Rick Cooper report to?

9 A. I really don't know.

10 Q. How does Rick Cooper's position interrelate
11 with Tom Pierie's position?

12 A. Rick Cooper -- to the best of my
13 knowledge -- is operations, and plant maintenance, and
14 things like that.

15 Tom Pierie is projects, Capital projects,
16 engineering and construction.

17 If a project was at Taum Sauk, Tom wouldn't
18 necessarily report directly to Rick but would have
19 Rick involved with the decisions going on down there.

20 Q. Okay. And you have a call that comes in.
21 And to the best of your ability, recount what you were
22 told?

23 A. Best of my knowledge, Bob called and said
24 he couldn't get the unit to go into pump-mode or
25 gen-mode -- I'm not sure which it was -- to one of the

1 modes, and he wanted to know how we could get it
2 working.

3 So, I walked him through how to bypass the alarm
4 point, or the trip point, at that time, so he could
5 get the unit working.

6 Q. Okay. Again, what was -- the problem was
7 that the unit was shut down?

8 A. The unit shut down. Again, the spurious
9 trip we talked about earlier. It just shut down.

10 Q. I'm going to come back to this spurious
11 trip thing. But right now your testimony is that you
12 were being asked how do we get one of the generating
13 units back online?

14 A. Yes, sir.

15 Q. Do you know which one it was?

16 A. No, sir.

17 Q. And you explained to him how to do that?

18 A. There is a way we could do it so he could
19 get the unit back online and keep an eye on things.

20 Q. And what was that?

21 A. We programmed in the equivalent of a jumper
22 that went around the Warrick probe contact input so
23 they could get the unit working.

24 Q. Now, Mr. Zamberlan, at this point in time,
25 does it enter into your mind that there could have

1 been a reason for that probe to go off?

2 A. We went through that during the call.

3 Q. Tell me what the conversation was?

4 A. Again, the conversation would have been
5 something to the affect of: He had this trip occur,
6 what caused it, I believe it was a false indication on
7 the Warrick probe.

8 Q. Did he tell you which one?

9 A. No.

10 Q. Keep going.

11 A. We went through whether or not it was
12 valid. He said no, there's water in the reservoir.
13 So, okay. So, it's -- I believe it was the lower
14 probe then, if the water is in the reservoir, it came
15 in.

16 He asked, how can we get it working. I said, you
17 can do this. I said, you know, it removes your
18 Warrick probes. He said, okay, we need to get it
19 working.

20 I walked him through how to do that, and they got
21 the unit back running to the best of my knowledge.

22 Q. So, he told you there was water in the
23 reservoir?

24 A. Best of my knowledge.

25 Q. And you then said, well it must be one of

1 the low probes; correct? Something to that affect?

2 A. I don't recall. He could have said it was
3 the low probe. Again, it had something to do with the
4 Warrick probes. We validated that it wasn't an actual
5 problem, and then we determined a way to get it
6 working for them.

7 Q. Now, your earlier -- are you changing your
8 testimony now, Mr. Zamberlan?

9 A. No, sir. Again, it's the best of my
10 knowledge. I don't know the exact words.

11 Q. But your testimony earlier was that you
12 came to the conclusion that it was one of the low
13 probes because there was water in the reservoir. Are
14 you changing your story?

15 A. Then I must have misspoke on that, sir.

16 Q. So, you believe he's the one that said it's
17 the low probe?

18 A. No, I don't know, sir.

19 Q. At the time, would you have been concerned
20 that it might have been one of the high probes that
21 was actually generating the signal?

22 A. In the -- I believe -- I believe they were
23 in generate mode, which would have only used the lower
24 probes as part of the tripping scheme. And when you
25 are in one mode or the other, the other probes, they

1 don't have an affect.

2 Q. When was the event?

3 A. It was late.

4 Q. Late being --

5 A. Eight p.m. at night, 9 p.m. at night,
6 something like that. I think it was 8 p.m.,
7 thereabouts, I think.

8 Q. Do you recall what day?

9 A. No, sir.

10 Q. Is there a record of that?

11 A. I don't recall, sir.

12 Q. Do you recall specifically asking him the
13 question about whether or not he was sure that it was
14 a low probe that was issuing the signal and not one of
15 the high probes?

16 A. I do not recall at the time, sir.

17 Q. So what you did, basically, was to -- I
18 don't want to put words in your mouth, and maybe you
19 said it this way -- but you basically jumped the
20 system around the safety?

21 A. That is correct, sir.

22 Q. It would be like -- you've got a riding
23 lawnmower?

24 A. No, sir.

25 Q. Do you have a push mower?

1 A. Yes, sir.

2 Q. Does it have one of those bar things on it
3 that, if you turn it loose, the bar comes down and the
4 motor shuts off?

5 A. Yes, sir.

6 Q. Something like disconnecting it?

7 A. Yes, sir.

8 Q. Now, is this a temporary disconnection that
9 was done?

10 A. Yes, sir.

11 Q. How do you know that?

12 A. That was the intent of it.

13 Q. Well, I understand that may have been your
14 intent, but how do you know that it was temporarily
15 done?

16 A. I do not know.

17 Q. And again, the individual you were talking
18 to, what was his training in regard to --

19 A. He was a technician at the plant. He was
20 the one that worked with the PLCs, instrumentation,
21 things like that.

22 Q. So, you had some confidence in his
23 knowledge about being able to follow your direction?

24 A. Very much confidence in his abilities.

25 Q. Did you tell him how to make -- turn the

1 safety devices back on?

2 A. Yes, sir.

3 Q. Did he tell you whether or not, while you

4 were on that phone call, whether or not he did it?

5 A. We couldn't do it at the time.

6 Q. Couldn't do what?

7 A. Turn those back on at the time.

8 Q. You could not?

9 A. No, sir.

10 Q. Do you know if they were turned on

11 subsequently?

12 A. To the best of my knowledge, they were.

13 Q. Do you know how long it was before they

14 were turned on?

15 A. No, sir.

16 Q. And when they were turned off, did it turn

17 off all the Warrick probes or just the low ones?

18 A. I don't recall which ones we did. I think

19 it was just the low ones, but I don't recall

20 specifically.

21 Q. Is it possible that it was all four?

22 A. I guess it is possible. Yes, sir.

23 Q. Now -- and again, you don't recall how soon

24 afterwards the safety switches were turned back on?

25 A. No, sir.

1
2 INDEX

3 JAMES ALEXANDER

4 QUESTIONS BY:

PAGE NO.

5	Ms. Valentine	17
6	Commissioner Gaw	20
7	Chairman Davis	22
8	Commissioner Gaw	41
9	Mr. Thompson	45
10	Ms. Baker	51
11	Commissioner Murray	53
12	Chairman Davis	55
13	Commissioner Clayton	58
14	Chairman Davis	61
15	Commissioner Clayton	62
16	Commissioner Gaw	82
17	Commissioner Appling	86
18	Mr. Haar	92
19	Ms. Valentine	104

20 ANTHONY ZAMBERLAN

21 QUESTIONS BY:

22	Mr. Thompson	111
23	Ms. Baker	146
24	Mr. Schaefer	147
25	Commissioner Gaw	167

26 EXHIBITS

27	EXHIBIT NO.	DESCRIPTION	MKD.	RCVD.
28	1	PowerPoint Presentation	42	109
29	2	Interview of James Alexander	50	50
30	3	FERC Report	84	109
31	4	Drawing	108	109
32	5	Zamberlan Interview 01/23/06	126	134
33	6	Zamberlan Interview 12/07/06	126	134
34	7	E-mail dated 12/02/04	135	

35 (Original exhibits were retained by the Court.)