

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

STATE OF MISSOURI

Filed  
December 04, 2012  
Data Center  
Missouri Public  
Service Commission

PUBLIC SERVICE COMMISSION

TRANSCRIPT OF PROCEEDINGS

Evidentiary Hearing

June 5, 2012

Jefferson City, Missouri

Volume 4

In the Matter of the Third )  
Prudence Review of Costs )  
Subject to the Commission- ) File No. EO-2011-0390  
Approved Fuel Adjustment )  
Clause of KCP&L Greater )  
Missouri Operations Company. )

HAROLD STEARLEY, Presiding,  
DEPUTY CHIEF REGULATORY LAW JUDGE.

STEPHEN M. STOLL,  
COMMISSIONER.

✓ Staff Exhibit No. 397  
Data 10/24/12 Reporter X5  
File No. ER-2012-0174  
ER-2012-0175

1 can be done. It's just it's a lot easier to buy gas  
2 locally. And so we don't take physical delivery.

3 Q. Okay. So hedge is used solely to protect  
4 the natural gas price of where you're buying it here  
5 locally, the local distributor?

6 A. Yes.

7 JUDGE STEARLEY: Okay. Thank you. Any  
8 other questions from the Bench?

9 (No response.)

10 JUDGE STEARLEY: All right. Any recross  
11 based on questions from the Bench?

12 MR. FISCHER: Yes, Judge. Oh, I'm sorry.

13 JUDGE STEARLEY: We'll get to redirect in  
14 just a few minutes.

15 MR. THOMPSON: No recross.

16 JUDGE STEARLEY: Now you may redirect.

17 MR. FISCHER: Okay. Thank you, Judge. I  
18 jumped ahead here.

19 REDIRECT EXAMINATION BY MR. FISCHER:

20 Q. Let's go to Judge Stearley's questions  
21 there at the end and make sure I understand what you're  
22 saying. He was asking how often you settle. Do you  
23 recall that?

24 A. Yes.

25 Q. Would you explain whether you wait 'til the

1 monthly settlement date to deal with these natural gas  
2 futures contracts?

3 A. Generally we do.

4 Q. Okay. Would you explain that -- how that  
5 process works and how that -- because you're dealing with  
6 an hourly electric price, how that would be important?

7 A. Well, generally the settlement is the sale  
8 price of the contract. The purchase price varies  
9 continuously throughout the day and across the whole time  
10 that the contract's been traded. So the purchase price of  
11 August 2009 gas has been varying for almost seven years  
12 continuously. So the purchase price is whenever you  
13 bought it at -- whatever price you bought it at. It  
14 varies.

15 The settlement price is the point at which  
16 the NYMEX brings to a close that futures contract, and if  
17 you will, it's essentially a touch point of where the  
18 futures market and the cash market come together. They  
19 essentially have to converge at some point for the whole  
20 thing to work. And that settlement price is that point of  
21 convergence where futures and cash come together, and  
22 that's why it is a single price.

23 It's used a lot of times in analysis, but  
24 it is the average of the last 30 minutes of trading on the  
25 exchange for that contract.

1 Q. But the electric prices vary hourly  
2 throughout the month; is that right?

3 A. Yes, they do.

4 Q. Well, how does a monthly natural gas  
5 settlement help you hedge the hourly prices?

6 A. Well, it comes back to, one, you've got  
7 multiple pieces happening. One as I was referring to, on  
8 the purchase side your price is moving on gas just like  
9 the electricity price is moving. It's moving all the  
10 time.

11 The settlement, what you're looking for  
12 when you make a hedge is you've bought a futures, you've  
13 sold a futures, and the gain or loss from that is what I'm  
14 referring to as this bucket of money. That bucket of  
15 money is then used to offset whatever was happening in the  
16 cash or the physical market.

17 So if I can go to my Schedule WEB-9, I  
18 think it's a little easier to talk from a picture. On  
19 Schedule WEB-9, which is part of my surrebuttal, I  
20 illustrate how this works with real numbers. And what you  
21 see in essentially the cell that I call B1, which is under  
22 the column labeled physical market, you see where it's  
23 showing that GMO needed 982,000 megawatt hours. It needed  
24 that for August. Well, that's what it needs on average.  
25 And then to offset that need, it went out to the futures

1 market and bought 793 contracts of natural gas. So those  
2 two volumes are essentially equivalent, 982,000 megawatt  
3 hours versus 793 contracts. We had a need. We bought a  
4 futures contract.

5 Then it comes time when we actually really  
6 do need that electricity, so we go out and first we would  
7 sell the futures contract. That happens right at the end  
8 of the month before. And you can see on the column that I  
9 labeled C under futures market, it says sell. That's  
10 saying we sold 793 contracts at a value of \$4.34, and we  
11 have a loss of \$14 million, which this is roughly  
12 equivalent to the 14.8 that everybody's been referring to.

13 On the physical market side, you see that  
14 we come in, we buy electricity, but we're buying at a  
15 price much lower than what we thought we were going to  
16 have to pay. So we experienced a real gain of  
17 \$12.8 million. That's how they work. They sync up with  
18 each other.

19 **Q. So is that a real world example of what I**  
20 **was talking about in the opening where the gains and**  
21 **losses offset each other?**

22 **A. Yes. These are real GMO numbers. They**  
23 **don't exactly sync to the 14.8 because I took out some of**  
24 **the more complicated hedges, but this is what we're**  
25 **looking at. It's showing how the offset and how you buy**

1 one, sell the other, and then you reverse it.

2 Q. Would that roughly equate to the \$1.80 that  
3 Mr. Thompson was referring to per megawatt hour or not?

4 A. Well, if you only looked at the futures  
5 side, you get to the \$1.80 or something like that, but if  
6 you recognize both sides of the hedge, there is really no  
7 adjustment.

8 Q. Well, did you do an analysis of that \$1.80  
9 effectively and whether that was a reasonable cost for the  
10 insurance that you were buying to cover the risk of the  
11 electric price spikes?

12 A. I did. But if you'd like to go back to the  
13 one schedule that Mr. Thompson gave me from Ms. Mantle's  
14 testimony, that would be an easy place just to even  
15 eyeball it without even going into my own testimony of  
16 schedule where it's --

17 Q. That's Schedule 9, I believe.

18 A. This one (indicating).

19 Q. Yes.

20 A. In the lower right-hand corner you'll see  
21 it refers to total purchases and it says total purchases,  
22 the dollar cost was on average \$26.86. Well, \$1.80 of  
23 \$26 is less than 10 percent. And where I live, sales tax  
24 is almost 9 percent. So what's a reasonable amount to pay  
25 for this insurance? Industry rule of thumb, as long as

1 you're less than 30 percent, you've done well. We've done  
2 very well.

3 Q. At the time of settlement, has the company  
4 decided whether it will purchase power in the following  
5 month or whether it will generate electricity?

6 A. No.

7 Q. Okay. I'd like to go to Exhibit No. 7 that  
8 the Staff put in front of you that had the NYMEX natural  
9 gas contract settlement price chart or graph. Do you have  
10 that?

11 A. Yes. Is that the one labeled Schedule  
12 WEB-12?

13 Q. Yes. Mr. Blunk, where on that chart did  
14 Katrina happen?

15 A. Katrina was in '05, wasn't she? I don't  
16 remember exactly.

17 Q. What happened in August of 2008 where the  
18 spike began, if you know?

19 A. I'm sorry. I'm not remembering the event.

20 Q. Okay. Do you recall if the Commission's  
21 natural gas price volatility mitigation rule was adopted  
22 after the Katrina event?

23 A. Well, the Commission issued a joint report  
24 that was following, I believe it was Katrina and Rita, and  
25 that was -- the report came out in 2006 because they have

1 a picture of it on the front cover.

2 Q. Do such events affect electricity or  
3 natural gas prices?

4 A. Yes.

5 Q. In what way?

6 A. Well, for example, the hurricanes, they led  
7 to a spike in the price of natural gas, and since natural  
8 gas is the primary on the margin fuel, if your primary on  
9 the margin fuel is going up, then the market price for  
10 electricity is going to follow it. And natural gas is  
11 always the cause, a primary cause for what's driving the  
12 price of electricity in Southwest Power Pool.

13 Q. Would you expect that if Katrina hit the  
14 natural gas fields in New Orleans, that that would affect  
15 your margin on electricity cost?

16 A. Oh, it definitely would. It definitely  
17 would, because it would so impact the price for natural  
18 gas that it's going to in turn, since that is primary --  
19 the fuel for the on-peak power in Southwest Power Pool,  
20 it's going to drive up the price for electricity.

21 Q. Did you expect Katrina to hit New Orleans?

22 A. Well, not before 2005.

23 Q. Do you expect the hurricane to hit  
24 New Orleans this year?

25 A. I don't personally, no.



1           Q.       Do you think it's wise to have some  
2 insurance in case electricity prices would spike for some  
3 reason?

4           A.       Yes.

5           Q.       You were asked a question about your direct  
6 testimony on page 17, and you were asked to read into the  
7 record, I think, the first sentence regarding simply to  
8 liquidate or liquidity?

9           A.       Yes.

10          Q.       Would you explain what that reference  
11 relates to?

12          A.       Putting it in context, this is testimony  
13 from Case No. ER-2007-0004, and it is testimony referring  
14 to why GMO would choose to use cross hedges as opposed to  
15 trying to use an electric forward contract to hedge price  
16 risk. It's also worth noting that that testimony was in a  
17 case that first introduced GMO's fuel clause.

18                   But liquidity is the reason why you would  
19 choose to cross hedge instead of just signing a contract  
20 with another electricity provider. If you just sign a  
21 contract with another electricity provider, you'd still  
22 get price insurance, but getting out of that contract  
23 should your volume change, you're going to have to sell,  
24 shall we say, at a loss because that other person, they  
25 don't -- it's not a good secondary market. So you have to

1 pay a consequence to get out of the contract.

2 Q. Would you turn to the next page of your  
3 testimony that continues to discuss that topic.

4 A. Yes.

5 Q. Are there other reasons listed there that  
6 would suggest that using natural gas futures contracts  
7 rather than these other financial tools makes good sense?

8 A. Yes, there are. I mean, liquidity is a  
9 very big one. The natural gas market, it trades a factor  
10 of, I don't know for sure, like 30 times the actual volume  
11 of gas. It's very liquid. You can easily get in. You  
12 can get out. Basically no penalty for doing that. There  
13 is credit party risk. If I signed or if the company  
14 signed a bilateral contract with another counter party,  
15 we'd have to worry about their credit risk.

16 The futures exchange, when you purchase a  
17 futures contract, your counter party is technically the  
18 exchange itself or the NYMEX. The NYMEX is guaranteed by  
19 the clearing members, and the clearing members include a  
20 large number of very financially strong institutions,  
21 large banks, large players in the industry. They have and  
22 have maintained very high credit ratings.

23 Another value is simply the volume you can  
24 deal in. If I use NYMEX futures, we can take a very small  
25 bite. For example, one contract is the equivalent of

1 nearly 1,000 hours of electricity. And if we did a  
2 bilateral contract, I probably couldn't fine tune it.

3           Maybe take a larger quantity or lesser  
4 quantity. Again, if we had to adjust the volumes, which  
5 we do have to adjust volumes from time to time, making  
6 that adjustment if it's a contract, a bilateral contract,  
7 as the buyer, I'm essentially going to pay a price to make  
8 the change. On the futures exchange, I mean, the broker  
9 fee in this stuff is insignificant, so there's no penalty.

10           **Q. If you're going to use financial**  
11 **instruments to hedge your electricity price risk, do you**  
12 **know of any better financial instrument than the natural**  
13 **gas futures NYMEX?**

14           A. No, not for what we're dealing with.

15           **Q. Does any of this discussion that you have**  
16 **here on page 17 or 18 suggest that the company isn't**  
17 **hedging to protect customers?**

18           A. The purpose of our hedging program really  
19 is to protect customers. The fuel clause, the customer is  
20 the one that bears the energy market risk. So all the  
21 hedging is for the benefit of the customer. There is no  
22 benefit to the company of any of this hedging. There is  
23 no benefit to the company.

24           **Q. So you're indifferent whether you -- if the**  
25 **Commission says don't cross hedge anymore, what would be**

1 the company's response?

2 A. We would probably stop hedging, hedging  
3 altogether. There's no -- the company has no benefit from  
4 employing this hedging program. It is strictly for the  
5 benefit of the customer.

6 Q. Does the company -- does Kansas City  
7 Power & Light Company, to your knowledge, hedge in Kansas?

8 A. No. We do not hedge in Kansas because in  
9 Kansas KCPL has a fuel clause. Again, when there's a fuel  
10 clause in place, the hedging is for the benefit of the  
11 customer. There is no benefit to the company for a hedge  
12 program. There's no motive, no benefit, no reason to do  
13 it.

14 Q. But again, do you know if Katrina's going to  
15 hit again this year?

16 A. No, I do not if Katrina or Rita's going to  
17 hit.

18 Q. Mr. Thompson asked you a number of  
19 questions about the Kase program and the Hedge Model and  
20 Easy Hedge. Do you recall those?

21 A. Yes.

22 Q. Would you explain to Commissioner Stoll and  
23 Judge Stearley just how this Kase program works, in  
24 layman's terms?

25 A. Yes. Probably the easiest thing to do is

1 talk from a picture again. I guess this is Schedule 9, my  
2 graph. It's a little easier to see from the picture. In  
3 general, what the Kase hedge program is doing is it is  
4 creating a moving average. Is there a way I can draw,  
5 draw a picture?

6 JUDGE STEARLEY: Well, we could use the  
7 ELMO. Have you got some paper perhaps he could draw on  
8 and display it up there?

9 MR. FISCHER: Mr. Blunk, if you'd go to the  
10 machine over here, we'll give you a piece of paper, and I  
11 believe the Judge in his magic can project it onto the  
12 wall.

13 JUDGE STEARLEY: We'll see about that.

14 MR. FISCHER: Or if you want to put that on  
15 there and draw on that, that will work, too.

16 THE WITNESS: Okay.

17 MR. FISCHER: Judge, can you see this from  
18 your vantage point?

19 JUDGE STEARLEY: I can. It's a little  
20 gray, but we can see it.

21 BY MR. FISCHER:

22 Q. Go ahead, Mr. Blunk. Please explain your  
23 answer.

24 A. You've seen this chart. You've seen the  
25 line which it was essentially the market price for gas,

1 and while these are monthly prices, we assume these are  
2 daily because we track this daily.

3           What I've drawn, if you will, I've drawn  
4 kind of a thick line that kind of follows more like the  
5 moving average. So the middle line, which kind of goes  
6 through the middle, from the Kase hedge program we would  
7 consider something about where the prices are more or less  
8 at as a normal price.

9           If it's just moving a little bit today or  
10 tomorrow, you might not do anything. But if a price gets  
11 outside of a range, so, for example, it would cross this  
12 line, we'd say prices are running away. We need to have  
13 done something to protect ourself. Under the Kase hedge  
14 program, it would say you probably should buy a few caps,  
15 unless you don't need gas in that period. It's really  
16 looking out and saying prices that spike like that, that  
17 spike is only going to last six, maybe nine months. And  
18 if it's not going to come in and affect you, don't do  
19 anything. Just ride it out.

20           On the other hand, we would come in and  
21 this is saying, oh, well, that's probably a very  
22 opportunistic price. We want to buy into that. We want  
23 to take a little bite, buy into it, take another bite, buy  
24 into it and see if prices go down and continue to ride  
25 them down.

1           So if you think of it as a high price zone,  
2 a low price zone and a middle zone, in the middle zone  
3 where it's just kind of like normal day-to-day stuff, you  
4 might not place any hedges because it does cost money to  
5 place a hedge. But if it's going high, you're going to do  
6 things to protect yourself. If it's going low, you're  
7 going to take advantage of that opportunity and you're  
8 going to ride it down.

9           **Q.       Mr. Blunk, is the Kase program then market**  
10 **insensitive?**

11           **A.       No. It's very market sensitive. It is**  
12 **giving a lot of consideration to the market. In fact, the**  
13 **Kase program -- well, going back to the joint report of --**  
14 **you might not have a copy of it, but in 2006 there was a**  
15 **report done by -- it's called the Joint Report on Natural**  
16 **Gas Market Conditions, PGA Rates, Customer Bills and**  
17 **Hedging Efforts of Missouri's Natural Gas Local**  
18 **Distribution Companies.**

19           I referred to it in my testimony. That  
20 report identified things that it thought were important in  
21 a hedging program. One of them was that it needed to give  
22 consideration and have flexibility to react to markets,  
23 and the Kase hedge program does that. In fact, of the  
24 various bullets that that report identifies, the Kase  
25 program lines up best of any program that I know of.

1 Q. Do you still exercise professional judgment  
2 even though you have Kase?

3 A. Yes, we do. Those lines that I drew, those  
4 are based on statistics, and they tell us this might be a  
5 good time to trigger. Just because we have a trigger  
6 doesn't mean we'll go out and place a hedge.

7 We are in constant consultation with Kase,  
8 who is the provider of the program, and every time we have  
9 a trigger, we talk to them, because that -- the triggers  
10 are statistical. I mean, it's kind of like any kind of  
11 test, you might get a false reading. So we discuss with  
12 them their interpretation and is that consistent with what  
13 we know about the market based on things we read in the  
14 marketplace and what we're knowing about the market.

15 Q. Are you trying to outguess the market?

16 A. If I could truly outguess the market, I  
17 might not have to be in this seat.

18 Q. When prices for natural gas plummet like  
19 they did during this period, what do you typically expect  
20 would happen with electricity spot prices?

21 A. It will follow the gas prices down.

22 Q. Is that a bad thing for consumers?

23 A. Oh, no. Oh, no. In fact, that's what we  
24 saw and I showed in my Schedule WEB-9 was that the price  
25 of gas came down on the futures side, the price of



1 electricity came down on the cash or physical market side.

2 Q. If Katrina or Rita or something like that  
3 had hit during this period, would you have expected  
4 natural gas prices to have fallen?

5 A. Oh, no. No. If a major hurricane had gone  
6 through -- gone through the gas-producing region of the  
7 Gulf like Katrina and Rita did, it would have driven gas  
8 prices up.

9 Q. From the shareholder perspective, assuming  
10 that you have an FAC in place, do you care if a Katrina  
11 hits?

12 A. As a share -- well, from the company's  
13 perspective, its risk goes through the fuel clause, so no.  
14 As a ratepayer, I'm a GMO ratepayer, I do care.

15 Q. You care very much?

16 A. I do.

17 Q. Okay. Talking about the Kase program, how  
18 does Kase differ from a cost averaging program perhaps  
19 like a one-third program?

20 A. Under the one-third program, and that's  
21 probably -- the market neutrality portion of the one-third  
22 program versus Kase, under that market neutrality piece,  
23 what Aquila was doing was -- and I'll exaggerate to  
24 illustrate the point. I don't know the exact pieces of  
25 it. But it's like as if on the second Tuesday of every

1 month they bought 1/12 of whatever the requirement was,  
2 and whatever the market was, they triggered on that, which  
3 is why Mr. Hyneman referred to it as a very rigid program,  
4 and it was. The way that was implemented, if it was the  
5 second Tuesday of the month, you did what you had to buy.

6 Under the Kase program, it doesn't give  
7 consideration to that. It's looking at what's happening  
8 in the marketplace? Are prices trending up or are they  
9 trending down? And depending which way they're going  
10 affects what acts you will take. It will affect the level  
11 of action you will take.

12 So the two are very different in that the,  
13 what we've referred to as the one-third program being  
14 market neutral is very rigid, very, very locked in, but  
15 Kase is not.

16 **Q. Would you explain under the Kase program**  
17 **when you would typically make decisions on when to hedge**  
18 **or whether to hedge and how that would work?**

19 **A.** The Kase hedge program as we're employing  
20 it looks out up to three years, which again is consistent  
21 with what the recommendations in the joint report said.  
22 The joint report said you should look out three years or  
23 more. We're looking out three years.

24 Most of our hedges are not placed three  
25 years in advance. Only if -- you remember I showed when

1 the prices are low, it's in the low price zone, and when  
2 they are really low prices, then we'll look out three  
3 years and we'll place them. If they're high prices, we  
4 don't want to lock into those for a long time.

5 So on average, it looks like that Kase  
6 triggers -- and this is simple average over what's  
7 happened. It's not a way to read the rules, but just on  
8 average, based on what's happened, we tend to place hedges  
9 about 11 to 12 months out. That's an average.

10 Q. Could you build a power plant in 11 or 12  
11 years, a coal plant like Iatan 2?

12 A. 11 or 12 years?

13 Q. I mean 11 or 12 months?

14 A. No. No, we could not build a coal-fired  
15 power plant in 11 months.

16 Q. Are you likely to be able to secure  
17 significant amounts of capacity for 11 months out?

18 A. You couldn't construct it that quick, no.

19 Q. If the company had built generation,  
20 natural gas or otherwise as suggested by Mr. Thompson,  
21 would the company continue to hedge as it does today?

22 A. Yes, and I discussed that in my prefiled  
23 testimony. If the company had built gas-fired generation  
24 or, as Ms. Mantle kind of implies, purchased Aries, which  
25 is now known as Dogwood, we would have employed the same

1 hedges. We probably would have had the exact same hedge  
2 volume. We would have used Kase. We would have had  
3 exactly the same hedge adjustment. It would look just  
4 exactly the same to the ratepayer, except for the cost of  
5 capital, which cost of capital does not go through the  
6 fuel clause.

7 Q. And that's because that's a natural gas  
8 fired plant?

9 A. Yes.

10 Q. Okay. When you make the decision to hedge  
11 your expected purchased power, do you know at that point  
12 what your generation fleet is and do you have any control  
13 about what that generation fleet, how that's going to  
14 change in 12 months?

15 A. No. I don't have control over as I make  
16 the hedge program, no.

17 Q. So as a decision-maker, under the  
18 circumstances that you know at the time, you know what the  
19 generation is, what your capabilities are?

20 A. Yes.

21 Q. And what your spot purchased power  
22 requirements are likely to be?

23 A. Yes. We have projections of those things.  
24 We know what our capacity is, our fleet is, and we  
25 projected what we think are fuel requirement is and what

1 we think we will then supplement it with out-of-the-market  
2 purchases are.

3 Q. Going back to your Schedule WEB-9 that you  
4 referred to earlier, the real life example of what the  
5 physical market gain was and what the futures market loss  
6 was.

7 A. Yes.

8 Q. There is under that table a dollar offset  
9 ratio of 109.6 percent?

10 A. Yes.

11 Q. What does that show?

12 A. That 109.6 percent is dividing the  
13 14 million by the 12.8 million. And what that is showing  
14 is how well did the actual hedges that were placed in the  
15 futures market, how well did they project the risk that we  
16 had in the physical market. And at 109.6 percent, that  
17 suggests this is a very good hedge. The guidelines  
18 established consistent with a variety of parties, and  
19 we've referenced several of them, implement -- well, not  
20 implementation, but accounting firms and applying FASB's  
21 rules, commodity futures trade exchange, they are all  
22 suggesting that anything between an 80 percent and either  
23 120 or 125 percent represents a good hedge, and that fits  
24 very nicely inside that bound.

25 Q. But isn't that a hindsight review? You

1 knew what happened now?

2 A. Oh, yes, this is hindsight. We know  
3 exactly what happened at this point.

4 Q. When you put in these hedges, did you know  
5 what was going to happen?

6 A. No, we did not know. We had to rely on  
7 historical correlation analysis.

8 Q. That's what you relied on, correct?

9 A. Yes.

10 Q. When natural gas prices are falling like  
11 they did in this case, would you expect to have some  
12 losses in the hedging program or not?

13 A. If you're only looking at the derivative  
14 side, yes.

15 Q. Is that necessarily a bad thing from your  
16 perspective?

17 A. No. It just simply could be indicating the  
18 hedge worked as designed, because when you put a hedge in  
19 place, you are essentially saying I'm going to lock into a  
20 price, and the way you lock into a market that you cannot  
21 control or you can't get a contract for is you go to the  
22 futures market, and the two are moving in parallel. So  
23 all the gains I have on one side will offset the losses on  
24 the other or all the losses on the other will offset the  
25 gains. The issue is, at the end of the day, you're coming

1 to essentially a net zero.

2 Q. Well, if natural gas prices are going the  
3 other way, would you expect -- and they're skyrocketing,  
4 like apparently they did in October of '08 and then again  
5 in October of 2010 --

6 A. Yes.

7 Q. -- what would you expect electric prices to  
8 be doing?

9 A. They also would skyrocket.

10 Q. Now, on the derivative side, what would you  
11 expect in your hedging program?

12 A. The natural gas futures contracts would  
13 have a significant gain. In other words, we'd make a lot  
14 of money there. That would fill my little bucket of money  
15 that I keep referring to, and I can then use that bucket  
16 of money to offset what's happened on the cash or the  
17 physical market for electricity. I've got all this, if  
18 you will, this insurance proceeds to help pay for this now  
19 higher price electricity.

20 Q. Well, since you had all those gains, is  
21 that a good thing?

22 A. I don't know if you'd say it's good or bad.  
23 It's -- you need to take the two, and the two of them wash  
24 each other out.

25 Q. So the company's indifferent, is that what

1 you're saying?

2 A. Yes. Doesn't matter to the company.

3 Q. The Staff seems to suggest -- well, strike  
4 that.

5 Gas prices that are the low level today,  
6 the \$2, \$3 range, would you still recommend the Commission  
7 continue to hedge or not?

8 A. Oh, yes. Yeah. The Kase program is going  
9 to help us exercise how we do that, but we're looking at  
10 historically low gas prices, and as a buyer, I'm looking  
11 if I want to lock something in, I want to lock in low  
12 prices. So this is really an optimal time to be hedging.  
13 I would want to continue the program that would allow us  
14 to lock in these lower prices, and how far we can carry  
15 them in the future remains to be seen, but this is -- this  
16 is a good time to be hedging, good time to be placing  
17 hedges, which is consistent with how our program works.  
18 Identifies these low prices and we'd be placing hedges.

19 MR. FISCHER: Judge, I think that's all I  
20 have. Thank you very much.

21 JUDGE STEARLEY: All right. That concludes  
22 redirect. You may step down, and thank you for your  
23 testimony, Mr. Blunk.

24 We are at about 11:35. Do the parties wish  
25 to start the next witness testimony or do you want to