

1
2 STATE OF MISSOURI
PUBLIC SERVICE COMMISSION

3
4 TRANSCRIPT OF PROCEEDINGS
Evidentiary Hearing

5 October 27, 2009
6 Jefferson City, Missouri
Volume 9

7
8
9
10 In the Matter of Missouri Gas)
Energy and its Tariff Filing to)
11 Implement a General Rate)File No. GR-2009-0355
Increase For Natural Gas Service)

12
13 RONALD D. PRIDGIN, Presiding,
SENIOR REGULATORY LAW JUDGE.

14
15 ROBERT M. CLAYTON III, Chairman,
JEFF DAVIS,
16 TERRY JARRETT,
KEVIN GUNN,
ROBERT KENNEY,

17 COMMISSIONERS.

18 REPORTED BY:
Pamela Fick, RMR, RPR, MO CCR #447
19 Midwest Litigation Services
20
21
22
23
24
25

1 APPEARANCES:

2 PAUL A. BOUDREAU, Attorney at Law
JAMES C. SWEARENGEN, Attorney at Law
3 DEAN L. COOPER, Attorney at Law
Brydon, Swearengen & England, P.C.
4 312 East Capitol
P.O. Box 456
5 Jefferson City, MO 65102-0456
(573)635-7166
6 paulb@brydonlaw.com

7 TODD JACOBS, Attorney at Law
3420 Broadway
8 Kansas City, MO 64111

9
FOR: Missouri Gas Energy, a Division of
10 Southern Union Company.

11 CHARLES W. HATFIELD, Attorney at Law
KHRISTINE A. HEISINGER, Attorney at Law
12 Stinson, Morrison Hecker, LLP
230 West McCarty Street
13 Jefferson City, MO 65101
(573)636-6263
14 chatfield@stinson.com

15
FOR: ONEOK Energy Marketing Company.
16

17 MARK W. COMLEY, Attorney at Law
Newman, Comley & Ruth
18 601 Monroe, Suite 301
P.O. Box 537
19 Jefferson City, MO 65102
(573)634-2266
20 comleym@ncrpc.com

21 FOR: City of Kansas City, Missouri.

22

23

24

25

1 SHELLEY A. WOODS, Assistant Attorney General
2 SARAH MANGELSDORF, Assistant Attorney General
3 P.O. Box 899
4 Supreme Court Building
5 Jefferson City, MO 65102
6 (573)751-3321
7 shelley.woods@ago.mo.gov

8
9 FOR: Missouri Department of Natural
10 Resources.
11

12 STUART CONRAD, Attorney at Law
13 Finnegan, Conrad & Peterson
14 3100 Broadway, Suite 209
15 1209 Penntower Office Center
16 Kansas City, MO 64111
17 (816)753-1122
18 stucon@fcplaw.com

19 DAVID WOODSMALL, Attorney at Law
20 Finnegan, Conrad & Peterson
21 428 East Capitol, Suite 300
22 Jefferson City, MO 65101
23 (573) 635-2700
24 dwoodsmall@fcplaw.com

25 FOR: Midwest Gas Users Association.

26
27 JEREMIAH D. FINNEGAN, Attorney at Law
28 Finnegan, Conrad & Peterson
29 3100 Broadway, Suite 209
30 1209 Penntower Officer Center
31 Kansas City, MO 64111
32 (816)753-1122
33 jfinnegan@fcplaw.com

34 FOR: University of Missouri - Kansas
35 City.
36 University of Central Missouri.
37 Superior Bowen Asphalt Company, LLC.

38
39
40
41
42

1 WILLIAM D. STEINMEIER, Attorney at Law
2 MARY ANN (GARR) YOUNG, Attorney at Law
3 William D. Steinmeier, P.C.
4 2031 Tower Drive
5 P.O. Box 104595
6 Jefferson City, MO 65110
7 (573)734-8109
8 wds@wdspc.com
9

10
11 FOR: Constellation New Energy - Gas
12 Division, LLC.
13

14 MARC D. POSTON, Senior Public Counsel
15 P.O. Box 2230
16 200 Madison Street, Suite 650
17 Jefferson City, MO 65102-2230
18 (573)751-4857

19 FOR: Office of the Public Counsel
20 and the Public.
21

22 KEVIN THOMPSON, Chief Staff Counsel
23 LERA L. SHEMWELL, Deputy Counsel/Gas
24 ROBERT S. BERLIN, Senior Counsel
25 JENNIFER HERNANDEZ, Legal Counsel
ERIC DEARMONT, Legal Counsel
SAM RITCHIE, Legal Counsel
JAIME OTT, Legal Counsel
P.O. Box 360
200 Madison Street
Jefferson City, MO 65102
(573)751-3234

FOR: Staff of the Missouri Public
Service Commission.

1 P R O C E E D I N G S

2 JUDGE PRIDGIN: All right. Good
3 morning. We're on the record. This is the second
4 day in the rate case hearing, ER-2009-0355. I
5 understand on today's schedule is cost of capital,
6 first witness being Mr. Hanley for MGE, Mr. Murray
7 for Staff will follow, Mr. Lawton from Public Counsel
8 will be the final cost of capital witness. And I
9 believe that's all that's on the schedule for today.

10 Is there anything counsel needs to bring
11 to my attention before Mr. Hanley takes the stand?

12 MR. SWEARENGEN: Judge, Jim Swearengen
13 for Missouri Gas Energy. I was planning to make what
14 I hope turns out to be a brief opening statement on
15 this issue, if that would be okay.

16 JUDGE PRIDGIN: That's certainly fine.
17 And I think we had discussed that yesterday and every
18 party has the option to make an opening statement at
19 the beginning of every topic if you wish.

20 MR. SWEARENGEN: Thank you.

21 JUDGE PRIDGIN: Certainly. Mr. Poston?

22 MR. POSTON: I just had a clarification
23 about yesterday on the -- my motion that -- to have
24 official notice of the customer notices. And was
25 it -- what you were saying was that MGE should file

1 its objections and then I would have an opportunity
2 to file --

3 JUDGE PRIDGIN: Yes, sir.

4 MR. POSTON: -- ours?

5 JUDGE PRIDGIN: Yes, sir.

6 MR. POSTON: Okay. Well, I don't need
7 to file anything until I've heard their -- their
8 objection. Okay.

9 JUDGE PRIDGIN: That was my intention,
10 yes.

11 MR. POSTON: Okay. Just clarifying.
12 Thank you.

13 JUDGE PRIDGIN: You're welcome.
14 Anything else before Mr. Hanley takes the stand?

15 (NO RESPONSE.)

16 JUDGE PRIDGIN: All right. Mr. Hanley,
17 if you will come forward to be sworn, please.

18 MR. SWEARENGEN: Well, I'm going to go
19 ahead, your Honor.

20 JUDGE PRIDGIN: Oh, I'm sorry,
21 Mr. Swearengen, you just told me. The coffee hasn't
22 kicked in. Whenever you're ready, sir.

23 MR. SWEARENGEN: That's okay. Thank
24 you, your Honor. Good morning, Commissioners, Judge
25 Pridgin. May it please the Commission, I am Jim

1 Swearengen appearing today on behalf of Missouri Gas
2 Energy.

3 The issue before you this morning
4 concerns the cost of capital, and as the Commission
5 knows, with any rate case you have traditional cost
6 of capital issues which involve generally the capital
7 structure of the utility that you're regulating and
8 the cost components of that capital and you look at
9 those items for purposes of setting rates.

10 I have lifted from our file statement of
11 position on the issues a document that I think
12 summarizes the parties' positions on this, and I'm
13 going to hand that out. I think that document may be
14 helpful this morning as we go through this -- this
15 issue.

16 The first cost of capital issue that I
17 want to talk about and that we're going to deal with
18 involves capital structure. And that issue simply
19 concerns how the particular utility that we're
20 looking at, in this case Missouri Gas Energy, is
21 capitalized. And by that we mean how much debt does
22 it have on its books, how much equity does it have on
23 its books.

24 And normally, that's not a difficult
25 question to answer if you're looking at a public

1 utility. The parties pick a particular point in
2 time, they look at the books of the company at that
3 point in time and see how much equity it has, how
4 much long-term debt, how much short-term debt, maybe
5 it's got preferred stock, what have you. And it's
6 usually not a real -- a big issue to determine the
7 components.

8 With Missouri Gas Energy, however, it's
9 not that simple and that's because Missouri Gas
10 Energy, as you know, is not a standalone public
11 utility, it's an operating division of Southern Union
12 Company. And consequently, Missouri Gas Energy does
13 not have an independent capital structure. It
14 doesn't issue debt, it doesn't issue equity. So in
15 every rate case I've been in involving this company,
16 when we get into the question about what capital
17 structure should be used for ratemaking purposes, if
18 you go back and look at the past cases, at least the
19 last couple of cases where this issue has come up,
20 you'll see that the Commission has decided to use the
21 actual Southern Union Company corporate capital
22 structure for ratemaking purposes.

23 And if you read those decisions, what
24 you see is the Commission said, well, we're going to
25 do that because that's -- if you want to buy stock in

1 Missouri Gas Energy, you've got to buy Southern
2 Union, and Southern Union's management has decided to
3 capitalize itself in a certain fashion and so that's
4 what we're going to use for ratemaking purposes.

5 Now, I think working beneath all of this
6 is the fact that Southern Union historically and to
7 this day has been thinly capitalized from an equity
8 standpoint, particularly when compared to the normal
9 natural gas company. And that's to say that the
10 amount of equity in Southern Union's capital
11 structure when you look at it is significantly lower
12 than the equity you would find in a gas company
13 that's comparable to Missouri Gas Energy.

14 And because equity is normally more
15 expensive than debt, the less equity that's in the
16 capital structure for ratemaking purposes, the lower
17 the revenue requirement. So I think the temptation
18 has always been there for the Commission to use that
19 corporate capital structure where it's thin in equity
20 in order to hold down the revenue requirement in a
21 rate case. And of course, we don't think that
22 approach is consistent with sound economic theory.

23 We believe that sound economic theory
24 would indicate that because Southern Union Company is
25 in no way representative of a local gas distribution

1 company, its actual capital structure and cost
2 components are also unrelated to a normal natural gas
3 distribution company and you shouldn't use that
4 corporate capital structure for ratemaking purposes.

5 So what do you do? Well, we say there
6 are two ways to deal with that. One -- and that's --
7 an economic theory would support this. One is do
8 what the company and the Staff are suggesting in this
9 case and that is use a more balanced or
10 representative capital structure, a hypothetical
11 capital structure.

12 The other way to do it which is probably
13 politically less palatable is to use the Southern
14 Union capital structure but adjust the rate of return
15 that you authorize in order to compensate for that
16 thin equity which would cause you to be awarding in
17 this case a pretty significant ROE. So we think the
18 most appropriate approach would be to use a
19 hypothetical capital structure.

20 In any event, that issue is going to be
21 in front of you today. Mr. Hanley is the company
22 witness, Mr. Murray is the Staff witness on this
23 topic and the other cost of capital topics and
24 Mr. Lawton is the Public Counsel witness.

25 The position of the parties, I think,

1 are accurately reflected on that document that I've
2 handed to you. If you look over on the left-hand
3 side, you'll see the various ratios of the capital
4 structure components. The first one is Missouri Gas
5 Energy's proposal. We recommend 41 percent long-term
6 debt, 10.94 percent short-term debt and a 48 percent
7 common equity ratio. The Staff's position follows
8 immediately and they're at 40 percent long-term,
9 8-plus short-term, and the Staff recommends a 51
10 percent common equity ratio.

11 Now -- so you can see that on capital
12 structure, the company and the Staff are fairly
13 close. Both the company and Staff have based their
14 proposed hypothetical capital structures on a study
15 of a proxy group of what they believe to be
16 comparable gas companies, companies that are
17 comparable to Missouri Gas Energy.

18 While the company and Staff differ
19 somewhat as to what the exact ratios ought to be as
20 well as their cost, both parties recognize that MGE
21 is an operating division of Southern Union Company,
22 and for ratemaking purposes you should use a capital
23 structure for MGE that's based on capital structures
24 of comparable companies and not based on Southern
25 Union's capital structure.

1 The Public Counsel, if you look down,
2 you can see the Public Counsel is an outlier on this
3 issue and the Public Counsel is urging that you do
4 what you did in the past, use the Southern Union
5 corporate capital structure. And the Public
6 Counsel's reason for this is primarily that's what
7 you have done in the past if you read his testimony.

8 Once you decide what capital structure
9 you're going to use, you must then decide the cost of
10 the various components. If you look again at the
11 exhibit, moving over to the next column under cost,
12 you can see that with regard to long-term debt,
13 there's not a great difference among the parties with
14 MGE's at 6, Staff 5.92, Public Counsel 6.25.

15 There's an argument, however, as to the
16 cost of common equity component. The company's
17 testimony on this issue -- and this is usually a
18 tried issue in these cases -- the company's position
19 is that a 10.5 percent return on equity would be
20 appropriate. Interestingly on this one, if you look
21 down at the Staff's position on this, if you -- if
22 you read the Staff's testimony, you'll see that the
23 Staff's study is based on a nine-company proxy group
24 and it actually supports a cost of equity range of 9
25 and a quarter on the low side to 10.25 on the high

1 side.

2 But the Staff witness, and he'll explain
3 why, apparently elected to ignore this and instead is
4 using a range of 9.25 to 9.75 with a 9.5 midpoint,
5 and that's reflected on the exhibit. And the Public
6 Counsel has a range of 9.5 to 10.5 and he has settled
7 on the midpoint of 10.

8 Now, in most of the cases I've tried,
9 the spreads are usually different than this. They're
10 really not that far apart. We've got the company at
11 10.5 depending what the range you look at. For the
12 Staff, they may be at 10 and a quarter, and I think
13 the Public Counsel witness will say that the high
14 side of their range is appropriate. So it's not that
15 great a difference here in terms of percentages that
16 we've seen in past cases.

17 With regard to short-term debt cost,
18 there's an issue. If you look at the exhibit again,
19 you'll see that, consistent with its position that
20 the corporate capital structure ought to be used,
21 Public Counsel is supporting the actual short-term
22 debt cost of Southern Union which is 4.92 percent.
23 MGE's evidence supports a 5.42 percent prospective
24 short-term rate. And the outlier on the short-term
25 debt issue then is the Staff.

1 If you look at the -- the exhibit and
2 read the Staff's testimony, you'll see that the Staff
3 relies on a spot short-term cost rate based upon a
4 study of only two companies. And based on that, the
5 Staff concludes a short-term debt cost rate of only
6 .89 percent should be used for setting rates in this
7 case.

8 Now, on -- on the exhibit and I think on
9 the Staff's statement of position, they rounded that
10 up to 1 percent, and that's what is reflected on the
11 document. So the -- really, the only debt issue here
12 is this argument between the company and the Staff as
13 to the appropriate short-term debt cost.

14 Another cost of capital issue that's not
15 shown on this exhibit concerns the question as to
16 whether or not the Commission's adoption of the
17 straight fixed variable rate design issue which
18 you're going to hear later, whether or not the
19 adoption of that rate design will reduce Missouri Gas
20 Energy's risk which in turn should cause the
21 Commission to make a downward adjustment in the
22 company's revenue requirement. At least that's how
23 we understand the issue from the Public Counsel's
24 prepared testimony.

25 If you look at the Public Counsel's

1 statement of position on the issues, you'll see that
2 the Public Counsel has given you an alternative
3 approach. You can either reduce the revenue
4 requirement by \$1.8 million or reduce the return on
5 equity by 50 basis points. We don't think that
6 this -- this reduction of the ROE is something that
7 the Public Counsel has really preserved in his direct
8 testimony, but in any event, we don't believe that
9 there is factual support for either type of
10 adjustment, either a revenue adjustment or a cost of
11 equity adjustment should you authorize the straight
12 fixed variable rate design in this case.

13 Both MGE and I think the Staff will tell
14 you that -- and the evidence will show that any risk
15 reduction that results from the straight fixed
16 variable rate design is already reflected in the
17 calculation of the appropriate return on common
18 equity. For example, the company suggested 10.5 ROEs
19 based on a proxy group of gas companies that already
20 have in place a rate design or decoupling provisions
21 that are similar to the straight fixed variable rate
22 design. And thus, any reduced risk is already
23 accounted for when you calculate their cost of
24 equity.

25 I think of interest on this point is the

1 fact that we believe the Commission has looked at the
2 same conceptual issue previously in the last rate
3 case involving Union Electric Company where the
4 company had requested a fuel adjustment clause, and I
5 believe the Commission awarded that to the company.

6 There was an argument that the ROE for
7 Union Electric should be reduced because of that, but
8 the Commission concluded in that case with regard to
9 Ameren that if the proxy companies had similar
10 mechanisms to cover fuel costs, any reduced risk that
11 the fact of that was already reflected in the
12 calculation of the appropriate return on equity and
13 therefore no downward return on equity adjustment
14 needed to be made. And we think we have the same
15 concept in this case and think that that should be
16 the result.

17 Those conclude my -- my opening comments
18 and I can call our witness Mr. Hanley at this time.

19 JUDGE PRIDGIN: Mr. Swearingen, thank
20 you. Anything further from counsel before Mr. Hanley
21 takes the stand?

22 (NO RESPONSE.)

23 JUDGE PRIDGIN: All right. Mr. Hanley,
24 if you'd come forward and be sworn, please.

25 (The witness was sworn.)

1 JUDGE PRIDGIN: Please take a seat, sir.

2 Mr. Swearengen, when you're ready.

3 MR. SWEARENGEN: Thank you, Judge.

4 DIRECT EXAMINATION BY MR. SWEARENGEN:

5 Q. Mr. Hanley, would you state your name
6 for the record, please.

7 A. Frank J. Hanley, H-a-n-l-e-y.

8 Q. And by whom are you employed and in what
9 capacity?

10 A. I am employed by AUS Consultants, I am a
11 principal and director.

12 Q. Have you caused to be prepared for
13 purposes of this rate proceeding before the Missouri
14 Public Service Commission certain direct, rebuttal
15 and surrebuttal testimony in question-and-answer
16 form?

17 A. Yes, I have.

18 Q. And do you have copies of that testimony
19 in front of you?

20 A. I do.

21 MR. SWEARENGEN: For the record, I
22 believe your direct testimony had been marked as
23 Exhibit 13 and your rebuttal has been marked as
24 Exhibit 14 and your surrebuttal as Exhibit 15. Your
25 Honor, does that --

1 JUDGE PRIDGIN: That's what I show, yes.

2 MR. SWEARENGEN: Thank you.

3 BY MR. SWEARENGEN:

4 Q. Mr. Hanley, let me ask you first of all
5 with regard to your direct testimony, are there any
6 changes or corrections that you need to make to that?

7 A. Yes, I have -- in the direct I have one
8 minor correction, a footnote is incorrect. At
9 page 29 at footnote 8 is incorrect. It was certainly
10 a reference to a Morin text which was previously
11 mentioned, so the footnote 8 should read, "Id., at
12 pp 428, 430-431." And that would be the only
13 correction to the direct testimony.

14 Q. With regard -- thank you. With regard
15 to your rebuttal testimony, are there any changes
16 that need to be made?

17 A. Yes, again, very minor. That would be
18 at -- I'm sorry -- not in the rebuttal, I misspoke.
19 No corrections to the rebuttal. There is --

20 Q. Okay. How about your surrebuttal?

21 A. -- on -- on -- on the surrebuttal. On
22 Exhibit 15, schedule FJH-37, that consists of two
23 pages. In the caption it -- on each page it reads --
24 it presently reads "Missouri Gas Eastern." Eastern
25 is incorrect. It should read "Missouri Gas Energy."

1 It was a spreadsheet formatting it, got confused with
2 Panhandle Eastern. And that would be true on pages 1
3 and 2. Those are the only corrections.

4 Q. Pages 1 and 2 of your schedule 37?

5 A. 37, yes, sir.

6 Q. Okay. And with those corrections,
7 Mr. Hanley, if I asked you the questions in
8 Exhibits 13, 14 and 15, would your answers today
9 under oath be the same?

10 A. Yes, they would.

11 Q. And would they be true and correct to
12 the best of your knowledge, information and belief?

13 A. Yes.

14 MR. SWEARENGEN: With that, your Honor,
15 I would offer into evidence Exhibits 13, 14 and 15
16 and tender Mr. Hanley for cross-examination. Thank
17 you.

18 JUDGE PRIDGIN: Mr. Swearengen, thank
19 you. 13, 14 and 15 have been offered. Any
20 objections?

21 (NO RESPONSE.)

22 JUDGE PRIDGIN: Hearing none, 13, 14 and
23 15 are admitted.

24 (EXHIBIT NOS. 13, 14 AND 15 WERE
25 RECEIVED INTO EVIDENCE AND MADE A PART OF THE

1 RECORD.)

2 JUDGE PRIDGIN: Mr. Hanley is ready for
3 cross-examination. Mr. Poston, do you have
4 questions?

5 MR. POSTON: Yes.

6 JUDGE PRIDGIN: I see no other parties
7 here. I see only Staff and OPC, so --

8 MR. POSTON: Yes.

9 CROSS-EXAMINATION BY MR. POSTON:

10 Q. Good morning, Mr. Hanley.

11 A. Good morning, sir.

12 Q. First I'd like to ask if -- if an
13 investor wants to invest in MGE, they need to invest
14 in Southern Union; is that correct?

15 A. Yes.

16 Q. And I'd like -- if you could please --
17 well, your recommendation in your direct testimony,
18 you recommended an 11.25 percent return on equity; is
19 that correct?

20 A. Yes, that was correct at the time early
21 in the year. Of course, then in the rebuttal
22 testimony, I did an update which reflects more
23 current market conditions.

24 Q. Okay. Can you tell me the total revenue
25 increase MGE requested in its initial filing?

1 A. Gee, I don't recall the exact number,
2 no, and I -- I -- nor could I tell you what the
3 difference is as a result of the update.

4 Q. Okay.

5 A. But clearly, the update is lower.

6 Q. Okay. And so now you said you're
7 recommending a 10.5 percent. And does this mean all
8 of your calculations in market data in your direct
9 testimony has been superseded by your rebuttal?

10 A. Yes, sir, that's correct.

11 Q. Has the company revised its rate request
12 downward to reflect the fact that you lowered your
13 ROE?

14 A. Well, I -- I don't know exactly how to
15 answer that. I don't know whether they've filed new
16 exhibits, but I think by virtue of their
17 acknowledgment of my updated cost of common equity
18 capital, that certainly they -- they would -- they
19 recognize that the -- all else equal, that the
20 revenue requirement would be lower.

21 Q. If you could please turn to your --
22 let's see, it's your direct testimony, your schedule
23 FJH-15 on page 6 of 9.

24 A. Okay. I'm there.

25 Q. And on line 4, that line says,

1 "Forecasted three- to five-year total annual market
2 return"; is that correct?

3 A. Yes, sir.

4 Q. And the number you gave is 28.85
5 percent, right?

6 A. Yes.

7 Q. Can you explain what is that, what does
8 that number represent? That's what investors expect
9 in a three- to five-year period, the return to be?

10 A. Based upon the Value Line forecast of
11 capital market appreciation, that -- at that point in
12 time represented what the annual total return could
13 have been expected.

14 Q. According to your calculations?

15 A. No. According to Value Line. This --
16 I've simply taken the Value Line three- to five-year
17 data and reduced it to a single -- what a single year
18 is. So mine is a mathematical determination from the
19 Value Line data, and that's what it was at that time.
20 And I might add for Commission's point of interest
21 that at least for the first year, that was very
22 conservative because the market has recently
23 increased by more than 50 percent since February.

24 Q. Mr. Hanley, if I could interrupt, you
25 probably would be better served just to answer the

1 question and not volunteer any information. That
2 will avoid an objection and it will avoid irritating
3 the Commission and will make me happy.

4 And that -- that number, you -- you
5 didn't like that number, did you? You ended up
6 giving it a 20 percent weight on that footnote; is
7 that right?

8 A. Well, I wouldn't characterize it as I
9 didn't like it. I felt that over the three- to
10 five-year period that it would recede. And I believe
11 that more recent data confirms that that -- that was
12 an accurate assumption on my part.

13 Q. And where have you shown that 20 percent
14 weight? Have you provided any analysis to show how
15 you came up with that?

16 A. No, there -- there could be no analysis.
17 It was a judgment in my attempt to -- to be
18 conservative.

19 Q. Okay. Would 21 percent have been a --
20 an okay number to use as well?

21 A. Well, it would have been a peculiar
22 number. I certainly wouldn't use something like a
23 21 percent, but...

24 Q. 15 percent, would that have been a good
25 number to use?

1 A. I think that would have been too
2 conservative, frankly, and I think something much
3 higher than 20 percent would have been -- been not
4 realistic over the longer term.

5 Q. Something much higher than 20 percent
6 would not have been?

7 A. (Nodded head.)

8 Q. Okay. If you could please turn to --
9 this is your rebuttal testimony. You've got schedule
10 FJH-21, and looking at page 39 of 55?

11 A. Yes.

12 Q. And this is a revision, is -- is it not,
13 of the schedule we just looked at, right?

14 A. It -- it's -- yes, it's an -- it's an
15 update, reflects the more current data, correct.

16 Q. And now on line 4 you're saying that a
17 market investor expects a 17.09 percent return; is
18 that right?

19 A. I'm saying that that is the annual rate
20 of total return from the Value Line forecast, yes.

21 Q. And the weight you give this number now
22 is 40 percent, right?

23 A. Yes.

24 Q. And that's different than the weight you
25 gave the -- the prior number in your direct

1 testimony, right?

2 A. It is.

3 Q. And where are the analysis -- where is
4 the analysis that provides this 40 percent number in
5 your testimony?

6 A. Well, again, as with the -- the prior
7 one, because I didn't think that the 28 percent was
8 realistic on a going-forward basis, I think by giving
9 this 40 percent weight, which is a judgment call to
10 be sure, that it -- it tempered because the -- there
11 has been a lot of market appreciation already this
12 year. Expectations would certainly have declined on
13 the part of investors. And so rather than giving
14 equal weight along with the historical data, I just
15 simply -- my judgment gave it a 40 percent weight.

16 Q. What about a 30 percent weight, would
17 that have been appropriate weighting to give this
18 since it's just a judgment call?

19 A. No, I don't think so, because the closer
20 we get to what could reasonably be considered a norm
21 I think under more normal kind of conditions
22 investors would be inclined to give equal weight to
23 the historical as well as the forecast data.

24 Q. So if this -- the -- the line 4 were to
25 change again, your weighting may change as well,

1 right?

2 A. Well, yes, it would certainly depend
3 upon the market conditions, although I would hope
4 that they wouldn't be extreme as they were late last
5 year or the early part of 2009.

6 MR. POSTON: I think that's all I have.
7 Thank you.

8 JUDGE PRIDGIN: Mr. Poston, thank you.
9 Mr. Thompson?

10 MR. THOMPSON: Thank you, your Honor.

11 CROSS-EXAMINATION BY MR. THOMPSON:

12 Q. Good morning, Mr. Hanley.

13 A. Good morning.

14 Q. My name is Kevin Thompson and I
15 represent the Staff. Now, Mr. Hanley, your resume or
16 your CV in your direct testimony indicates you've
17 testified over 300 times; is that correct?

18 A. Yes.

19 Q. And I wonder if you could tell me how
20 many of those times you've testified on behalf of a
21 company that is seeking a rate increase?

22 A. Well, I couldn't give you an exact
23 count, but the majority of the times.

24 Q. So most of the time you work for
25 companies?

1 A. Yes.

2 Q. But you've also worked for commissions,
3 haven't you?

4 A. I have on a few instances, yes.

5 Q. And -- and for the staff of a commission
6 from time to time?

7 A. Yes.

8 Q. Okay. Have you ever worked for a public
9 counsel or consumer representative?

10 A. No, I've -- I have not.

11 Q. Okay. Now, I wonder if you could tell
12 me what -- what exactly is the goal of financial
13 analysts when you're -- when you're attempting to
14 determine a cost of common equity? Isn't it true
15 that you're trying to determine what investors expect
16 in terms of a return?

17 A. Yes, sir.

18 Q. Okay. And that's something that can
19 change from moment to moment, is it not?

20 A. It -- it does change. It's -- it's in a
21 constant state of change, yes.

22 Q. Okay. Now, it's true, isn't it, that
23 there's a -- there's a fundamental philosophical
24 difference of approach between you and Mr. Murray,
25 Staff's expert; isn't that correct?

1 A. I would say so, yes.

2 Q. For example, Mr. Murray relies on the
3 discounted cash flow model or DCM, right?

4 A. He does.

5 Q. Now, you do use that model?

6 A. I do.

7 Q. But your approach is to use that
8 together with other methodologies?

9 A. Yes, sir.

10 Q. Okay. I wonder, Mr. Hanley, if you can
11 tell me what sources you relied on to determine the
12 growth rate that you used in your discounted cash
13 flow analysis.

14 A. Forecasted, analyst-forecasted earnings
15 per share growth.

16 Q. Do you recall which analyst?

17 A. Well, I used Value Line and Reuters.
18 Individual analysts aren't identified, but they're an
19 assemblage of different analysts.

20 Q. Okay. So those were the companies that
21 the analysts worked for when you say Reuters and
22 Value Line?

23 A. I -- I don't understand. Those were the
24 companies?

25 Q. Well, as you said, individual analysts

1 aren't identified by name; rather, by the institution
2 that employs them, correct?

3 A. Right.

4 Q. Okay.

5 A. Right.

6 Q. Okay. And you believe, do you not, that
7 investors rely on those growth rates for purposes of
8 evaluating investment opportunities?

9 A. Yes.

10 Q. Okay. And when we say "investors," we
11 mean both individual and institutional investors,
12 don't we?

13 A. True.

14 Q. Okay. And institutional investors might
15 be pension funds or insurance companies, correct?

16 A. They might be.

17 Q. Okay. And do you believe that investors
18 research the support or basis for growth rate
19 forecasts; for example, the ones you cited on page 1
20 of schedule FJH-14?

21 A. If investors research?

22 Q. Right. In other words, do they accept
23 them at face value or do they try to look beyond them
24 to determine where the analysts came up with them and
25 how sound they might be?

1 A. Well, I don't -- honestly don't believe
2 there's any way to know with an absolute certainty,
3 but my sense tells me is, is that by and large, at
4 least individual investors don't. They would be
5 inclined to be influenced by them, would not look
6 further because I don't think they would have -- they
7 wouldn't presume to have a greater level of knowledge
8 and expertise than the analysts making the forecast.

9 Q. Okay. What about institutional
10 investors?

11 A. Well, I -- I -- I don't know. I -- I
12 suspect that they -- they look and seriously consider
13 those forecasts and in some instances perhaps make
14 their own as well. I -- again, there's no way to
15 know with any absolute certainty.

16 Q. Okay. How about you, did you research
17 the basis for those forecasts?

18 A. No, beyond accepting them what they are
19 or where there is like in the -- in the circumstance
20 of Value Line, of course, you can get a sense of what
21 they're thinking in their forecast by their write-up.
22 In other instances, you only have the forecasted rate
23 of growth, not their rationale.

24 But we do know that the -- the analysts
25 take into account both the historical performance as

1 well as an -- an idea about the future expectation
2 because they're in constant communication with the
3 managements and so forth so they have an idea of --
4 of what's going on, what's happening and what's
5 likely to happen.

6 Q. Okay. Now, with respect to your
7 schedule FJH-14 and the projected growth rates that
8 you show there in column 2, do you happen to know
9 what analysts provided those growth rates?

10 A. No. As I indicated in a prior response,
11 their identities aren't revealed. We simply know the
12 number of analysts --

13 Q. Okay.

14 A. -- in each instance.

15 Q. Do you know the companies that -- that
16 these --

17 A. No.

18 Q. -- forecasts came out of?

19 A. No.

20 Q. Okay. Now, with respect to the analyst
21 reports of forecast costs of common equity that
22 Mr. Murray reviewed, you testified in your
23 surrebuttal testimony that they should not be relied
24 on; isn't that correct?

25 A. Yes, sir.

1 Q. Do you have an opinion as to -- as to
2 which equity research reports should be relied on and
3 which should not be?

4 A. Well, yes, I -- actually I -- I -- well,
5 not the equity research reports. I don't think any
6 of those should be relied on. And if you'd like to
7 know why, I can tell you, but --

8 Q. I would like to know why.

9 A. Okay. May I tell you now?

10 Q. Yes, sir. Yes, sir.

11 A. Okay. There -- number one, under the
12 efficient market hypothesis, information has to be
13 either freely or very inexpensively readily
14 available. Such -- those reports are not. They
15 don't meet that requirement. Second of all -- oh,
16 and I should interject at this point that in contrast
17 to the analysts' forecasts, they're free and at no
18 cost available on the Internet to investors. And the
19 Value Line, of course, is a very inexpensive
20 subscription, but also it only takes a trip to the
21 business reference section of better libraries
22 anywhere for access to -- to the Value Line data.

23 But then going back to the equity
24 reports, they do not explain at all how they do what
25 they do, what their inputs are. And I don't think it

1 takes a great level of expertise to come to the
2 conclusion that something is wrong when they project
3 the same rate of return on common equity for
4 different companies with vastly different credit
5 ratings. Whether it's a double A-rated company, they
6 show maybe 9 percent, and for a single A or a triple
7 B company, they show the same cost of equity. Common
8 sense says that won't be so.

9 Q. Okay. Now, isn't it possible that some
10 of the growth rates that you relied on, you said you
11 don't know the source of those, may have been
12 provided from those analysts?

13 A. Well, that's the problem with the equity
14 research reports. We don't know. We don't know what
15 they rely on, we don't know the inputs. They don't
16 reveal what they do or how they do it. And as I
17 said, the end result, the bottom line intuitively
18 is -- is just crazy. And I looked at some of those
19 results, and when they're the same for companies with
20 vastly different credit ratings, it tells me
21 something is seriously wrong.

22 Q. Okay. Now, you've heard of Goldman
23 Sachs; isn't that correct?

24 A. Yes, sir.

25 Q. And would you agree with me that Goldman

1 Sachs is an influential investment company?

2 A. It's an important investment company.

3 Q. And it's reasonable to believe, is it
4 not, that Goldman Sachs has institutional clients?

5 A. I think so, yes.

6 Q. Okay. And the other companies that
7 Mr. Murray cited also have institutional clients, do
8 they not?

9 A. One would assume, yes, sir.

10 Q. Okay. Do you happen to know what
11 percentage of the stock of your comparable companies
12 are owned by institutions?

13 A. Well, just a little bit over half.

14 Q. Okay. Now, would it surprise you if I
15 told you that an institutional investor that is a
16 client of any of the asset managers cited by
17 Mr. Murray would be given access to equity research
18 reports?

19 A. No, that wouldn't surprise me at all.
20 The other almost half wouldn't have access to it, and
21 frankly, they're just as important. But even if
22 they're given access to the report, I think their
23 assessment would have to follow mine regardless of
24 how influential one may think Goldman Sachs or some
25 other similar firm may be when they project the same

1 common equity cost rate for different companies with
2 vastly different credit ratings.

3 Q. Now, the risk premium method and the
4 capital asset pricing method are both very sensitive
5 to the estimation of the equity risk premium; isn't
6 that correct?

7 A. That's -- that's -- well, that's true,
8 yeah, sure.

9 Q. I mean, that's a crucial input --

10 A. Sure. Sure.

11 Q. -- to both of those? So if an analyst
12 were to get the equity risk premium wrong, then the
13 results of the analysis would be wrong; isn't that
14 correct?

15 A. Well, yes, but, you know, frankly,
16 that's true with any of the models.

17 Q. Okay.

18 A. And the discounted cash flow model, you
19 get the -- the growth rate wrong, and you get -- you
20 got the wrong answer.

21 Q. So it's true, then, that for any of
22 these techniques, the results are only as good as the
23 inputs?

24 A. True, but that's also why one should use
25 multiple models and not rely upon a single one,

1 especially the discounted cash flow methodology.

2 Q. Now, with respect to your proxy
3 companies, you would agree with me, would you not,
4 that -- that you and Mr. Murray and Mr. Lawton all
5 used essentially the same proxies? I mean, you used
6 a few more than Mr. Murray, and Mr. Lawton used more
7 yet; isn't that correct?

8 A. Well, we apparently all tried to use --
9 get what we believe their representative gives
10 distribution companies, yes, sir.

11 Q. Okay. So there's a lot of identity
12 between the three different lists?

13 A. Yes.

14 Q. Okay. And isn't it true that your proxy
15 companies all have unregulated operations?

16 A. Yes -- well, yes, that is true.

17 Q. And does that not increase their risk?

18 A. Well, not necessarily. It -- I mean, it
19 really depends on the success or lack of success of
20 unregulated operations. That's sort of consistent
21 with portfolio theory --

22 Q. Okay.

23 A. -- if -- if there's a balancing or not.

24 Q. All right. Well, would you agree that
25 the straight fixed variable rate design, if it's

1 adopted and implemented by the Commission in this
2 case, would decrease MGE's business risk?

3 A. Well, it does, it has, but no deduction
4 from common equity should be appropriate in this case
5 because the proxy companies, particularly my proxy
6 companies, overwhelmingly have decoupled mechanisms.

7 Q. But on the other side of that coin, you
8 have proposed an adder if, in fact, the straight
9 fixed variable rate design is not adopted; isn't that
10 correct?

11 A. Yes. And the reason that I have is,
12 it's because if the straight fixed variable rate
13 design goes away, then there is an increase now in
14 Missouri Gas Energy's business risk, whereas,
15 previously there was a decrease by the -- by its
16 implementation. And if the proxy companies have --
17 overwhelmingly have these similar-type mechanisms,
18 their reduced risk is there. And so any common
19 equity cost rate derived from those proxy companies
20 reflects a lower level of risk than Missouri Gas
21 Energy would have absent the straight fixed variable
22 rate design.

23 Q. Okay. So leaving aside the question of
24 any adjustment up or down, I think we're in
25 agreement, are we not, that with the straight fixed

1 variable rate design, there's less risk than there is
2 without it?

3 A. True.

4 Q. Okay. Now, isn't it true that
5 Mr. Murray reviewed the investment expectations of
6 the Missouri State Employees Retirement System as a
7 test of reasonableness?

8 A. That's true, he did.

9 Q. And he -- and he found, did he not, that
10 MOSERS' expectation for large capitalization domestic
11 equities is only 8.5 percent?

12 A. Yes, he did.

13 Q. Okay. Now, you criticized his reliance
14 on MOSERS, did you not?

15 A. I did, and I do.

16 Q. Okay. Now, would you agree that a -- a
17 pension fund necessarily has a long-term investment
18 horizon?

19 A. It depends on how you define it. Now,
20 let me explain.

21 Q. Okay.

22 A. Mr. Murray relies exclusively to get
23 where he does, and I think you've pretty much
24 acknowledged that by your prior line of questioning
25 on the discounted cash flow. And the method that he

1 uses is the constant growth infinite horizon model.

2 Now, that -- infinity, we have no
3 conception of -- that means without end, forever and
4 ever and ever. And in practical terms, however, with
5 the discounted cash flow concept, when you discount
6 at whatever the -- the rate is that you do, it -- it
7 oftentimes takes you something in the magnitude of
8 like 40 years to get pretty close to zero present
9 value, 40 years.

10 And -- and vis-à-vis, that discounted
11 cash flow infinite horizon, ten years is not a
12 long-term horizon. And so when I refer to that in my
13 testimony, that it's a relatively short horizon, that
14 was the context that I talked about compared to the
15 infinite assumed horizon in the discounted cash flow
16 method.

17 Q. Okay. Do you know of any investors that
18 invest on a 40-year horizon?

19 A. Well, for those who believe in the
20 discounted cash flow methodology, everyone who does
21 because the presumption of the model is infinity.

22 Q. Okay. Now, you updated your study in
23 your rebuttal testimony, did you not?

24 A. I did, yes, sir.

25 Q. And you reduced your recommendation from

1 11.25 percent to 10.5 percent, correct?

2 A. That's correct, yes, sir.

3 Q. And you explained, did you not, that at
4 the time of your original study, the market was at a
5 historic low?

6 A. I did.

7 Q. Okay. And there was therefore a huge
8 potential for appreciation?

9 A. Yes.

10 Q. Okay. And when you updated, you pointed
11 out that the market, in fact, has increased by 46.71
12 percent, so there is no longer quite such a potential
13 for huge appreciation, would you agree?

14 A. That's correct.

15 Q. Okay. And you filed your rebuttal
16 testimony in September; is that right?

17 A. I believe that's correct, yes, sir.

18 Q. And your direct testimony was prepared
19 in March?

20 A. I think that's correct, yes.

21 Q. Okay. So a six months -- six months had
22 passed?

23 A. Well, probably closer to seven because I
24 think it was using a lot of February data --

25 Q. Okay.

1 A. -- at the time.

2 Q. Now, you also testified that MGE rate
3 cases come at three-year intervals; isn't that
4 correct?

5 A. Well, I said from the last one, and it's
6 a reasonable assumption.

7 Q. Okay.

8 A. I mean, I didn't say it like it's etched
9 in stone, but I think it's a reasonable assumption.

10 Q. So the task facing the Commission in
11 this case, would you agree, is to set a rate that
12 will be reasonable now and for three years into the
13 future?

14 A. Well, that's precisely -- yes, and that
15 is precisely why I made some of the judgments that I
16 did in order to temper that market appreciation.

17 Q. Okay. So I guess what I'm trying to
18 understand is the recommendation you made in March is
19 no longer valid in September, six or seven months
20 later, yet the Commission's task is to set a rate
21 that will be valid for three years. Is it possible
22 that you didn't temper your recommendation quite
23 enough?

24 A. Which -- what -- you're talking about my
25 updated recommendation or the -- I -- I don't

1 understand the question.

2 Q. Well, what if this hearing had been held
3 five months ago? What if the Commission had adopted
4 your original recommendation, the one that you
5 yourself threw out when the time came to file your
6 rebuttal testimony? Does that mean that the
7 Commission would have been led into setting a rate
8 that was too high?

9 A. Well, you know, all one can do,
10 including commissions, is to look and analyze the
11 market data that is available at the time and utilize
12 the best judgment. We could say perhaps it's
13 unfortunate that the financial crisis arose when it
14 did and it was, you know, pretty much near its valley
15 at the -- at the time of the gathering of this -- of
16 the original data, but I don't think at that time no
17 one knew whether some of these measures would work,
18 how quickly they would work or if they would work at
19 all.

20 So it seems that they are certainly
21 working and the markets are -- are clearly recovering
22 and we look at what we could do. There is not among
23 us, I think, a Nostradamus that can predict with any
24 great degree of certainty the terms these markets
25 will take. We -- in other words, we utilize the data

1 we have, we make the best judgments that we can based
2 on those data.

3 Q. Okay. Now, have you reviewed
4 Mr. Murray's corrected schedules 20-1 through 20-7?

5 A. I have.

6 Q. And it's true, is it not, that on those
7 schedules he presents equity analysts' predictions
8 for your proxy companies?

9 A. Well, there are a number of them.
10 They're -- I don't think they're all of them, but --

11 Q. Maybe for his proxy companies?

12 A. -- as I recall. For his proxy
13 companies, I think, because there's seven, yeah.

14 Q. Okay. And would you have any reason to
15 disagree with me if I told you that the average of
16 those 30 forecasts is 8.24 percent?

17 A. No, it wouldn't surprise me. And what
18 also surprises me is, is that -- well, of course, I
19 wish I had it in front of me. Is -- could -- is it
20 possible?

21 Q. What do you need, sir?

22 A. If you want me to comment on
23 Mr. Murray's schedules, I don't have them here with
24 me.

25 MR. THOMPSON: I think we can get them

1 for you. May I approach, your Honor?

2 JUDGE PRIDGIN: You may.

3 MR. THOMPSON: Here you are, sir.

4 THE WITNESS: Thank you. Yeah, one of
5 the things that I did have in memory in corrected
6 schedule 20-1 -- this is Mr. Murray's schedule I'm
7 looking at -- I notice the comments that I said
8 previously still apply, that there -- that these
9 results are counterintuitive. We don't know exactly
10 what they do or the inputs into them.

11 And you talk about updating. Well, if
12 you believe Goldman Sachs is so sophisticated, and
13 I've suggested that since early in this year common
14 equity cost rates have gone down.

15 Another counterintuitive here is, is
16 they showed 8.5 percent on March the 9th, which was
17 in the -- if you will, the belly of the beast of the
18 market. And lo and behold, as of August 31, they
19 show an increase up to 9 percent, a counterintuitive
20 movement, although their -- I -- so I -- I think
21 their base was wrong and I think their movement is
22 wrong and in the wrong direction.

23 So I -- I -- for the reasons I've
24 stated, I -- I don't really put much stock in these.
25 I don't think anyone really would. They're just

1 counterintuitive.

2 BY MR. THOMPSON:

3 Q. Okay. Now, with respect to capital
4 structure, you and Staff both propose a hypothetical
5 capital structure, is that not correct?

6 A. It is, yes, that's correct.

7 Q. And that is based on the characteristics
8 of your proxy group?

9 A. Yes.

10 Q. Okay. Now, with respect to long-term
11 debt, isn't it true that you did not update your
12 embedded cost of long-term debt?

13 A. Well, it -- it is true, but had I done
14 so, frankly, it would have increased -- and I can
15 tell you because it did it after the point was raised
16 because I didn't think it made any difference -- it
17 increased it by one basis point. Instead of 6.08 as
18 of June, it would be 6.09 percent.

19 Q. Okay. With respect to short-term debt,
20 your corrected cost of short-term debt is 5.492
21 percent; is that right?

22 A. It is, yes, sir.

23 Q. Okay. And how did you determine the
24 cost of short-term debt?

25 A. Well, that would be as -- give me just a

1 moment. That would be as shown on schedule -- this
2 is part of Exhibit 15, the surrebuttal schedule
3 FJH-32 in footnote 3. And that was derived based
4 upon, as indicated there, an average rate of the
5 previous projected three-month LIBOR rate 2
6 percentage points or 200 basis points upfront fee and
7 2 and five-eighths percent or 262.5 basis points
8 spread over the LIBOR rate based upon the credit
9 rating of the proxy group.

10 Q. Okay. Now, isn't it true that since
11 you've used a hypothetical proxy -- or a hypothetical
12 capital structure, excuse me, that all of the
13 components should be based upon that -- the averages
14 of the proxy group?

15 A. No, and let me explain why. Here we are
16 talking about the short-term debt rate which is a --
17 a variable rate. When we talk about the long-term
18 debt cost rates, those rates are locked in for
19 extended periods of time and do not change. The
20 common equity cost rate is a forward-looking rate and
21 is to be representative over a future period of time.

22 The short-term debt rate is -- is going
23 to fluctuate, and as I indicated, that Missouri Gas
24 Energy does not have access to a commercial paper
25 market. In fact, at this point in time, even

1 Missouri Gas Energy would not in its credit -- I
2 mean, I'm sorry I misspoke -- Southern Union Gas does
3 not also want -- and once its current credit
4 agreement runs out in May of 2010, with the current
5 market conditions as they are, commercial paper is
6 only available, the market available to the very
7 largest and highest rated companies, double A- and
8 triple A-rated companies.

9 So this as shown in schedule FJH-32 is
10 what I believe is the best representation of the
11 likely rate that would have to be experienced on
12 average in the future by a company such as Missouri
13 Gas Energy which I presume to have the credit
14 standing equivalent to the proxy group, my proxy
15 group.

16 Q. Okay. Well -- but Mr. Murray testified
17 that, in fact, seven out of your nine proxies issued
18 commercial paper; isn't that correct?

19 A. Yeah. The point is, is they were --

20 Q. Excuse me, sir. Thank you. Laclede Gas
21 Company is one of your proxies, is it not?

22 A. It is.

23 Q. And would you be surprised to learn that
24 Laclede issues commercial paper?

25 A. No.

1 Q. And would you be surprised to learn that
2 according to Laclede's most recent 10Q, its cost of
3 short-term debt is only 0.4 percent?

4 A. No.

5 Q. And Laclede has only an A rating; isn't
6 that correct?

7 A. I believe that's correct. Without
8 checking, I'll accept it, yeah.

9 Q. Okay. And if I were to tell you that
10 Laclede has only 630,000 customers, would you have
11 any reason to disagree?

12 A. No.

13 Q. And New Jersey Natural Gas is also one
14 of your proxies, correct?

15 A. It is.

16 Q. And would you be surprised to learn that
17 New Jersey Natural Gas issues commercial paper?

18 A. No.

19 Q. And New Jersey Natural Gas has only
20 484,000 customers; is that correct?

21 A. Sounds about right.

22 Q. Okay. And that's smaller, is it not,
23 than MGE?

24 A. Well, it's pretty close. I mean, half a
25 million, it's plus or minus a little bit.

1 Q. Okay.

2 A. About the same.

3 MR. THOMPSON: Okay. Thank you very

4 much, sir. May I retrieve my exhibit?

5 JUDGE PRIDGIN: You may.

6 MR. THOMPSON: Thank you, Mr. Hanley.

7 THE WITNESS: Yes, sir.

8 JUDGE PRIDGIN: Mr. Thompson, thank you.

9 Time for bench questions. Commissioner Davis?

10 COMMISSIONER DAVIS: I'll pass for a

11 moment.

12 JUDGE PRIDGIN: Thank you. Commissioner

13 Jarrett?

14 COMMISSIONER JARRETT: I don't have any

15 questions.

16 JUDGE PRIDGIN: Commissioner Kenney?

17 COMMISSIONER KENNEY: No, thank you.

18 QUESTIONS BY COMMISSIONER DAVIS:

19 Q. Good morning, Mr. Hanley.

20 A. Good morning, Commissioner.

21 Q. Mr. Hanley, if I ask you what two plus

22 two is, what is the answer?

23 A. Four.

24 Q. Okay. So do you know the difference

25 when I ask you what two plus two is and when I ask

1 you to explain something?

2 A. Yes, sir.

3 Q. Okay. So we're clear?

4 A. Yes, sir.

5 Q. Okay. I guess I want to start,

6 Mr. Hanley, by saying my impression from reading your

7 direct testimony is that you plug in a bunch of

8 numbers, you don't like the results, so then you make

9 subjective adjustments to those numbers to achieve

10 the desired outcome. How do you respond to that?

11 A. I would respond by saying that any

12 expert witness has to use informed expert subjective

13 judgment, and I did that to the best of my ability

14 given my sense of the market conditions at that time.

15 Q. Okay. Now, do I recall correctly that

16 you testified most recently that your ROE

17 recommendation is now 10 and a half percent; is that

18 correct?

19 A. Correct, yes, sir.

20 Q. And do I also recall you saying that

21 absent a -- a straight fixed variable rate design, it

22 would be 10.75 percent?

23 A. Yes.

24 Q. And how do you come up with that

25 additional 25 basis points?

1 A. Well, again, your Honor, that's --
2 that's a subjective judgment. I don't believe anyone
3 can precisely quantify the value of such a clause. I
4 mean, it's just impossible to get inside investors
5 and be able to dissect the collective prices
6 investors pay and attribute some portion with any
7 degree of specificity to a single thing such as a
8 decoupling mechanism.

9 I just don't think that's possible. And
10 it is -- it is a matter of subjective judgment,
11 informed expert judgment, but it is just that, your
12 Honor, a judgment because nobody could precisely
13 quantify it.

14 Q. Okay. But what in your analysis, DCF,
15 CAPM, ECAPM, risk premium, comparative earnings that
16 you discarded, what -- what gets me to -- what --
17 what gets this Commission to 10.75?

18 A. Well, I -- I hope that looking at all of
19 the -- the inputs -- looking at all of the inputs
20 in -- in terms of the update that was contained in
21 the -- in the rebuttal Exhibit 14, that seeing that
22 the range of -- of data or the indicators there in
23 two of the models clustered closer up into the high
24 tens and the DCF model down in the -- in the nines,
25 the lower part of the nine now, looking at the

1 average of those models puts it in around 10.32.

2 And then there's the -- the small size
3 adjustment which I believe is appropriate, a very
4 conservative adjustment, 19 basis points. That would
5 put it up to 10.5.

6 And as I indicated, when you consider
7 the awards around the country, you know, that -- that
8 hover in the tens or -- or in the low tens, and take
9 into account the relatively small size of Missouri
10 Gas Energy, I think something around 10.5 is
11 appropriate, especially when compared to the proxy
12 companies, again, who in my opinion have over --
13 overwhelmingly do enjoy the benefits of -- of
14 decoupling, some only partial.

15 But for the most of them, they also have
16 decoupling that relates to changes in customer usage
17 as well. It promotes conservation which is, I think,
18 a good thing. And they overwhelmingly have that.
19 And so I don't see any need at all for any downward
20 reductions, so I think we should be pretty close
21 around 10.5 percent.

22 Q. Okay. You use 3.38 percent for your --
23 your risk-free rate; is that correct?

24 A. That was the original, your Honor, yes,
25 sir.

1 Q. Okay. So what are you -- what are
2 you -- what are you using now?

3 A. Well, that would be 4.67, and it has --
4 they have gone up considerably since early in the
5 year. If you remember, your Honor, that when this
6 financial crisis sort of mushroomed last fall --

7 Q. Uh-huh.

8 A. -- investors had an absolute panic and
9 there was this flight to quality. That flight to
10 quality drove the yields to governments very low --

11 Q. Right.

12 A. -- extraordinarily low. Well, their --
13 that -- that panic is abating and the yields have
14 been going back up. And the 4.67 percent which is
15 set forth in my update at schedule FJH-21, pages 50
16 and 51 of 55, there can be determined that the --
17 it's an average of the forecasted blue chip
18 economists' average yield for the six quarters ending
19 with the fourth quarter of 2010 which would be 4.67.

20 Q. All right. All right. I've had -- I've
21 had enough, Mr. Hanley, okay. So you use a
22 forecasted rate, correct?

23 A. Yes, sir.

24 Q. Okay. Mr. Murray does not, correct?

25 A. He does not.

1 Q. He takes an average of the last three
2 months, correct?

3 A. I -- I -- I think that that's correct.

4 Q. Or -- I mean --

5 A. It's some recent --

6 Q. -- if we average -- if we average the
7 three most recent months, we get approximately 4.3
8 percent, is that roughly correct?

9 A. It may well be, your Honor. I don't
10 know just off the top of my head.

11 Q. Okay.

12 A. Somewhere around there.

13 Q. Okay. Now, in -- you also use a -- a
14 forecast for your risk premium, correct? Isn't that
15 where you get these --

16 A. Well -- well, it's -- it's -- it's --
17 it's a blend. I -- I consider the forecast, I rely
18 on this long-term historical adjusted by beta, and I
19 also have a study of the returns on the S&P utility
20 index over a long historical period of time as well.

21 Q. Okay.

22 A. So there's more history than there is
23 forecast in my risk premium, let's put it that way.

24 Q. Okay. So you rely at least in part on
25 the Ibbotson book, do you not?

1 A. Yes, sir.

2 Q. And Ibbotson did an update in June,
3 correct? Were you aware of that?

4 A. Well, there -- the -- the -- well, the
5 book -- you mean bring it through 2008, which I
6 incorporated?

7 Q. Right. And then they -- then they do --
8 at some point thereafter they do it -- like a
9 six-month update? Are you aware of that? If you're
10 not, I --

11 A. I'm not. I haven't seen it.

12 Q. All right. So does -- does Ibbotson
13 make a recommendation about what is the appropriate
14 percentage to be used in a CAPM analysis?

15 A. I don't think specifically, no. Not --
16 not any specific recommend -- I don't think there is
17 a hard core.

18 COMMISSIONER DAVIS: Judge, can I get an
19 exhibit marked?

20 JUDGE PRIDGIN: Certainly.

21 (EXHIBIT NO. 94 WAS MARKED FOR
22 IDENTIFICATION BY THE COURT REPORTER.)
23 BY COMMISSIONER DAVIS:

24 Q. Okay. Mr. Hanley, can you turn to
25 page 200, please? What does -- what does page 200

1 say?

2 A. Table C-1, "Key variables in estimating
3 the cost of capital."

4 Q. Okay. And -- and just for the record,
5 this is the -- the book that you rely on in preparing
6 your rebuttal and your surrebuttal testimony?

7 A. Yes, sir.

8 Q. Okay. And so what does Table C-1 say
9 for those key variables? Do you want me to -- do you
10 want me to read it to you?

11 A. Long -- long -- "Long-term 20-year U.S.
12 treasury coupon bond yield 3.0."

13 Q. Okay. Keep going.

14 A. "Equity risk premium long horizon
15 expected. Equity risk premium historical large
16 company stock total returns minus long-term
17 government bond income returns, 6.5."

18 Q. Okay.

19 A. Keep reading?

20 Q. So you don't -- you don't think that's a
21 recommendation?

22 A. No. No, honestly I don't, sir. I mean,
23 there are lots -- lots of things to read in here and
24 they talk about forward-looking and whatnot, and
25 clearly, why they would say to use 3 percent when we

1 know that it's well over 4 percent and likely to be
2 well over 4 percent, would -- just wouldn't make any
3 sense.

4 I -- I don't think that they're saying
5 that this is something that one uses. I -- I think
6 what this indicates is things that they've done -- as
7 a matter of fact, I think that may be the long-term
8 average. I'm trying to find that.

9 Q. All right. Mr. Hanley, you're -- can we
10 move on here? Can you hand the book back to me,
11 please?

12 Now, is it your recollection for your --
13 from your recent review of this text that Table C-1
14 is, quote, the key variables in estimating the cost
15 of capital?

16 A. That's --

17 Q. That is your -- your recollection?

18 A. Yes, sir.

19 Q. And it said, "The long horizon expected
20 equity risk premium historical large company stock
21 total returns minus long-term government bond income
22 returns is 6.5," correct?

23 A. Yes, sir, I -- that was part of my
24 analysis, that 6.5 in my update.

25 Q. You don't see anything in there about

1 20 percent or 30 percent or 40 percent or 400 percent
2 or any other numbers, do you?

3 A. No, sir. They're --

4 Q. Okay.

5 A. -- they're -- they -- but they do
6 analyze the long-term historical, the total returns
7 of capital appreciation.

8 Q. Right.

9 A. And if we believe that investors have
10 expectations of the future, then they are influenced
11 as by what they might reasonably expect over a future
12 period of time.

13 Q. Are you aware that the Ibbotson book
14 contains a formula for calculating CAPM?

15 A. Yes, sir.

16 Q. And did you follow that formula in your
17 testimony when using their data?

18 A. Yes, sir.

19 Q. Did you follow it strictly or loosely?

20 A. Well, the standard CAPM is -- I -- it
21 is --

22 Q. Is the sky blue, Mr. Hanley?

23 A. Yes, sir, I followed the standard.

24 Q. You followed it -- you followed it
25 strictly?

1 A. As to the formula, yes, sir.

2 Q. And what about the inputs into the
3 formula?

4 A. Well, no, I didn't follow --

5 Q. Okay. Thanks -- thank you, Mr. Hanley,
6 thank you.

7 Now, Mr. Hanley, let me go back here.

8 Give me just a second. You do make reference to this
9 book in your rebuttal testimony, correct?

10 A. Yes, sir.

11 Q. And for the record, that was pages 59
12 and 60. Were those included?

13 A. I'm sorry, sir --

14 Q. Was that the portion on arithmetic
15 versus geometric mean?

16 A. Yes, sir.

17 Q. You included -- you included those
18 pages, correct?

19 A. Yes, sir.

20 Q. Would you say that we have an issue here
21 in front of this Commission as to whether it is most
22 appropriate to use the arithmetic or the geometric
23 mean when calculating CAPM?

24 A. Yes, sir.

25 Q. Okay. You agree with that. And it's

1 your recommendation that -- or it's your recollection
2 that Ibbotson recommends use of the arithmetic mean,
3 correct?

4 A. Yes, when estimating the cost of
5 capital.

6 Q. And why is that?

7 A. That's because the whole concept of risk
8 relates to the issue of volatility. In other words,
9 the more variable an investment is likely to be, the
10 more risk there is and perceived by investors. And
11 only the arithmetic mean takes into account all of
12 the data. If one looks at historical data and
13 historical returns, that gives you the best
14 expectation of a single period likely result.

15 In contrast, the geometric mean only
16 takes into account the initial and the terminal
17 period data and then constitutes -- calculates a
18 constant rate of growth which provides no insight
19 into the variability and therefore no insight into
20 risk.

21 Q. Okay. Now, Mr. Hanley, you make
22 reference in your testimony to the work of Dr. Roger
23 Morin; is that correct?

24 A. Yes, sir.

25 Q. Okay. Are you familiar with his book,

1 New Regulatory Finance?

2 A. Yes, sir.

3 Q. Okay. Is it an authoritative source in
4 the field of utility regulation?

5 A. I believe so. I -- quoted by many
6 people often.

7 Q. Okay. I'm going to read some passages
8 to you from that book and I'd like for you to tell me
9 if you agree or disagree. Can you do that?

10 A. Yes, sir.

11 Q. Okay. "The geometric mean answers the
12 question of what constant return you would have had
13 to achieve in each year to have your investment
14 growth match the return achieved by the stock market.
15 The arithmetic mean answers the question of what
16 growth rate is the best estimate of the future amount
17 of money that will be produced by continually
18 reinvesting in the stock market. It is the rate of
19 return which, compounded over multiple periods, gives
20 the mean of the probability distribution of ending
21 wealth."

22 A. I agree.

23 Q. Do you agree with that statement?

24 A. I do, yes.

25 Q. "While the geometric mean is the best

1 estimate of performance over a long period of time,
2 this does not contradict the statement that the
3 arithmetic mean compounded over the number of years
4 that an investment is held provides the best estimate
5 of the ending wealth value of the investment.

6 "The reason is that an investment with
7 uncertain returns will have a higher ending wealth
8 value than an investment which simply earns with
9 certainty its compound or geometric rate of return
10 every year. In other words, more money for terminal
11 wealth is gained by the occurrence of higher than
12 expected returns than is lost by lower than expected
13 returns." Do you agree with that statement?

14 A. I do, yes, sir.

15 Q. Okay. "In capital markets where returns
16 are a probability distribution, the answer that takes
17 account of uncertainty, the arithmetic mean is the
18 correct one for estimating discount rates and the
19 cost of capital."

20 A. I agree.

21 Q. Do you agree? "While the geometric mean
22 is appropriate when measuring performance over a long
23 time period, it is incorrect when estimating a risk
24 premium to compute the cost of capital."

25 A. I agree.

1 Q. Okay. That was page 133. All right.
2 On page 135, it indicates what academics have to say.
3 "What is the superior measure of investment
4 performance, the arithmetic average or the geometric
5 average? The geometric average has considerable
6 appeal because it represents the constant rate of
7 return we would need to earn in each year to match
8 actual performance over some past investment period.
9 It is an excellent measure of past performance" --
10 with past being in italics -- "however, if our focus
11 is on future performance, then the arithmetic average
12 is the statistic of interest because it is an
13 unbiased estimate of the portfolio's expected future
14 return assuming, of course, that the expected return
15 does not change over time.
16 "In contrast, because the geometric
17 return over a sample period is always less than the
18 arithmetic mean, it constitutes a downward-biased
19 estimator of the stock's expected return in any
20 future year." Is that correct?
21 A. I -- I agree with that statement.
22 Q. Do you agree with that?
23 A. Yes, I do.
24 Q. "Another way of stating the Bodie, Kain,
25 Marcus argument in favor of the arithmetic mean is

1 that it is the best estimate of the future value of
2 the return distribution because it represents the
3 expected value of the distribution." Do you agree
4 with that?

5 A. I agree with that, yes, I do.

6 Q. "Brigham and Ehrhardt, 2005, in their
7 widely used corporate finance text, point out that
8 the arithmetic average is more consistent with CAPM
9 theory as one of its key underpinnings assumptions is
10 that investors are supposed to focus in their
11 portfolio decisions upon returns in the next period
12 and the standard deviation of this return." Do you
13 agree with that statement?

14 A. I do, yes, sir.

15 Q. "To the extent that this next period is
16 one single year, the preference for the arithmetic
17 mean which derives from a set of single one-year
18 period returns follows." Do you agree with that?

19 A. Yes, sir.

20 Q. Okay. Brealey, Myers and Allen in their
21 leading graduate textbook in corporate finance opt
22 strongly for the arithmetic mean. The authors
23 illustrate this distinction between arithmetic and
24 geometric averages and conclude the arithmetic
25 averages are appropriate when estimating the cost of

1 capital."

2 Here's a quote: "The proper use of
3 arithmetic and compound rates of return from past
4 investments are often misunderstood. Therefore, we
5 call a brief time out for a clarifying example.
6 Suppose that the price of big oil's common stock is
7 \$100. There is an equal chance at the end of the
8 year the stock will be worth \$90, \$110 or \$130.
9 Therefore, the return could be minus 10 percent, plus
10 10 percent or plus 30 percent. We assume that big
11 oil does not pay a dividend.

12 "The expected return is one-third times
13 negative ten, plus ten, plus 30 equals 10 percent.
14 If we run the process in reverse and discount the
15 expected cash flow by the expected rate of return, we
16 obtain the value of big oil stock. Present value
17 would equal 110, divided by one dollar or
18 1.1 percent" -- 1.10 percent, I guess -- "equals
19 \$100. The expected return of 10 percent is therefore
20 the correct rate at which to discount the expected
21 cash flow from big oil stock. It is also the
22 opportunity cost of capital for investments which
23 have the same degree of risk as big oil.

24 "Now, suppose that we observe the
25 returns on big oil stock over a large number of

1 years. If the odds are unchanged, the return will be
2 minus 10 percent in a third of the years, plus 10
3 percent in a further third and plus 30 percent in the
4 remaining years. The arithmetic average of these
5 yearly returns is minus ten, plus ten, plus 30
6 divided by three equals plus 10 percent. Thus, the
7 arithmetic average of the returns correctly measures
8 the opportunity cost of capital for investments of
9 similar risk to big oil stocks.

10 "The average compound annual return on
11 big oil stocks would be .9 times 1.1, times 1.3" --
12 I'm going to call that to the one-third power, it
13 looks like -- "minus 1 equals .088 or 8.8 percent
14 less than the opportunity cost of capital. Investors
15 would not be willing to invest in a project that
16 offered an 8.8 percent expected return if they could
17 get an expected return of 10 percent in the capital
18 markets. The net present value of such a project
19 would be net present value equals, minus 100, plus
20 108.8 divided by 1.1 which equals negative 1.1.

21 "Moral: If the cost of capital is
22 estimated from historical returns or risk premiums,
23 use arithmetic averages, not compound annual rates
24 returns," in parentheses, "geometric averages." Do
25 you agree with that analogy?

1 A. I do, yes, sir.

2 Q. Okay. Then it goes on to cite Ibbotson
3 which you've already included in your testimony. And
4 then it states, "Lastly, on the practical side,
5 Bruner, Eades, Harris and Higgins have found that 71
6 percent of the text in trade books in their extensive
7 survey of practice supported use of an arithmetic
8 mean for estimation of the cost of capital." Do you
9 agree with that statement?

10 A. I do, yes, sir. I recall it.

11 Q. Are you aware of any public utility
12 commission in the country that has relied on a
13 geometric average setting a rate of return?

14 A. Not that I can recall offhand, your
15 Honor, no, sir. I mean, oftentimes they don't really
16 specify. You know, it's unfortunate a lot of orders
17 aren't terribly specific about certain things, but I
18 cannot recall where one has said we specifically rely
19 upon a geometric average, for instance. I -- I don't
20 recall a single instance of that.

21 Q. Okay. Mr. Hanley, you've reviewed
22 Mr. Lawton's testimony, his rebuttal and his
23 surrebuttal testimony, haven't you?

24 A. Yes, sir.

25 Q. Now, my recollection is that he seemed

1 to take issue with you for -- for using Value Line
2 data for -- for some of your forecasts and not --
3 maybe you and Mr. Murray, that you didn't -- didn't
4 use a broad enough spectrum. Do you -- do you recall
5 that criticism?

6 A. Sort of, I think. Probably, I think,
7 because I didn't use maybe Zacks or some -- some --

8 Q. Right, right.

9 A. I think that's --

10 Q. You didn't -- you didn't use Zacks?

11 A. Yeah.

12 Q. Okay. Now, you're -- you're a founding
13 member of SURFA, aren't you?

14 A. I am, yes, sir.

15 Q. That's right. Mr. Murray, he's on the
16 board now, isn't he?

17 A. He is, and I -- and I am not, so he
18 outranks me.

19 Q. Right. Do you know Dave Parcell?

20 A. I do indeed, yes, sir.

21 Q. Are you familiar with his book The Cost
22 of Capital: A Practitioner's Guide?

23 A. Very much so, yes, sir.

24 Q. It was -- it was prepared for the
25 Society of Utility and Regulatory Financial Analysts,

1 wasn't it?

2 A. Yes, sir.

3 Q. And would you agree with me that
4 Mr. Parcell's book is an authoritative source in the
5 cost of capital in the field of utility regulation?

6 A. Yes, I would say so.

7 Q. Okay. I'm going to read to you a
8 statement from that book. I want to see if you agree
9 with this. This is from page 8-28, No. 3. "Whose
10 projections are best? Finally a number of studies
11 have commented on the relative accuracy of various
12 analysts' forecasts. Brown and Rozeff, 1978, found
13 that Value Line was superior to other forecasts.
14 Chatfield, Payne or Hein and Moyer, 1990, page 438
15 found further Value Line to be more accurate than
16 alternative forecasting methods and that investors
17 place the greatest weight on the forecasts provided
18 by Value Line.

19 "Finally, Collins and Hopwood, 1980,
20 concluded that Value Line predictions are more
21 accurate than competing models as they produce fewer
22 and smaller extreme errors." Do you agree with
23 Mr. Parcell's statement there?

24 A. Well, I -- I -- I think they're all true
25 on those studies. Certainly that what you've read I

1 think is an accurate depiction from that -- that
2 book, yes, sir.

3 Q. Okay. Now, do you recall that
4 Mr. Murray used seven companies in his proxy group,
5 correct?

6 A. Yes, sir.

7 Q. You used nine?

8 A. Yes.

9 Q. And Mr. Lawton used 12?

10 A. Yes, he did.

11 Q. Okay. Which group is more susceptible
12 to selection bias?

13 A. Well, that's really difficult to say.
14 I -- I -- I do think that in Mr. Lawton's group,
15 several of the companies, they're -- and I understand
16 that they're -- they are in the -- from the Value
17 Line --

18 Q. Uh-huh.

19 A. -- group, the -- yes, distribution
20 group. And I -- frankly, I'm a little puzzled.
21 Maybe they have no better place to put them, but on a
22 couple of the companies, UGI being one, I forget off
23 the top of my head the other, but at least two of
24 those companies have very small -- low percentages of
25 their assets and their operating income derived from

1 gas distribution operations, well below 50 percent.

2 I don't recall the -- off the top of my
3 head the exact percentages, but I really don't think
4 that they are truly representative to be, you know,
5 in the group. Could I argue, frankly, that there's
6 anything wrong with Mr. Murray's group of nine? No.
7 My -- my selection was --

8 Q. Nine or seven?

9 A. Oh, I think seven is the -- has the best
10 based on my selection criteria, but there is -- there
11 is judgment. I think that -- because of the most
12 representative, I picked -- I mean, I picked the
13 seven that I think were -- were best. And I'm -- I'm
14 also surprised that he doesn't include Laclede in the
15 group which is a -- is a company from this state. I
16 found that rather surprising.

17 Q. Okay. Well, you're familiar -- are --
18 you've been doing this longer than -- than I have.
19 You're familiar with that whole argument that you
20 shouldn't include utilities from the same state
21 because you have that problem with circular
22 reasoning, are you familiar with that argument?

23 A. Not when it comes to market-determined
24 cost rates, no. I think they're as good to include
25 as -- as -- as anyone else. If you talk about what

1 was allowed on Laclede as some -- by -- by this
2 Commission as a basis for Missouri Gas Energy, yeah,
3 but I'm looking at market-determined cost rates.

4 Q. Okay. Mr. Hanley, would you agree with
5 me that your DCF analysis contemplates that the --
6 the dividends or earnings are all paid at the end of
7 the first year?

8 A. No, no, I wouldn't. It recognizes that
9 they're -- that they're paid quarterly, but I don't
10 use a quarterly compound model. What I've tried to
11 do is what they refer to as the one-half convention
12 which tends to be conservative, assume that the --
13 excuse me, I'm sorry -- assume that the dividends are
14 paid midway -- you know, midway through the period
15 rather than doing a quarterly compounded like
16 Dr. Morin who writes that text, for example, that you
17 referred to advocates a quarterly compounding model
18 which would produce a higher result. I've taken what
19 I think is a more conservative approach.

20 Q. But you used a semiannual approach?

21 A. Yes, sir.

22 Q. Is that anywhere in your testimony? Did
23 I just miss that?

24 A. I believe it's in there, yes, sir.

25 Q. Okay. Now, Mr. Hanley, both you and

1 Mr. Murray cite a -- a 2002 article by Drs. Fama and
2 French. Do you recall that? I think it's cited for
3 different reasons.

4 A. Yeah, I recall, and yes, you're correct.

5 Q. Do you have a copy of that article by
6 chance?

7 A. I do, but not with me at this -- at --
8 at the stand. May I retrieve it?

9 Q. Uh-huh.

10 A. May I --

11 Q. Uh-huh.

12 A. I have it, your Honor.

13 COMMISSIONER DAVIS: Okay. Can we get
14 this exhibit marked?

15 JUDGE PRIDGIN: This will be 95.

16 (EXHIBIT NO. 95 WAS MARKED FOR
17 IDENTIFICATION BY THE COURT REPORTER.)

18 BY COMMISSIONER DAVIS:

19 Q. Mr. Hanley, are you familiar with the
20 work of Drs. Fama and French?

21 A. Yes.

22 Q. Would you agree that this article is an
23 authoritative source in the field?

24 A. Yes.

25 COMMISSIONER DAVIS: And Judge, we may

1 get -- get an objection here, so -- anyway, I don't
2 know, but -- because I only -- we only have --
3 apparently have one copy right now. But I mean, do
4 any of the -- do any of the parties have an objection
5 to Mr. Hanley submitting a complete copy of that
6 article to this Commission since both he and
7 Mr. Murray have -- have relied on it in their
8 testimony?

9 MR. SWEARENGEN: The company has no
10 objection.

11 MR. THOMPSON: No objection from Staff.

12 COMMISSIONER DAVIS: Okay. All right.

13 BY COMMISSIONER DAVIS:

14 Q. And you're citing that article for the
15 proposition -- for the proposition that it's
16 actually -- forecasted earnings are more important
17 than forecasted dividends; is that correct?

18 A. Yes, sir, that's -- that's a part of my
19 proposition that they study, yeah, yes, sir.

20 Q. Are you aware -- I mean, is there -- to
21 the best of your knowledge, is there any -- any
22 scholarly support for Mr. Murray's approach of
23 averaging the -- the dividend growth, the earnings
24 growth and the, I guess it's the growth in book value
25 and giving them equal weight?

1 A. The best I can answer, sir, is that I
2 don't know of any scholarly statements to do that.
3 It's -- it's not uncommon for some witnesses to do
4 that, but I -- but in specific response to your
5 question, I don't know of any scholarly statements
6 that say that's, you know, the way to do it or it
7 produces the best result or anything of that sort.

8 Q. Mr. Hanley, you testified for MGE in the
9 2006 rate case here, did you not?

10 A. I did, sir, yes.

11 Q. Now, have you had cause to review any of
12 Mr. Murray's testimony in the previous MGE cases
13 and -- and other cases?

14 A. No. I think I may have reviewed one of
15 his testimonies from another case that one of my
16 associates was involved in. She had to ask me to
17 look at it. And frankly, I don't recall which one it
18 was now, a while ago. But I haven't looked at
19 terribly many of them, but I would say probably a
20 minimum of three or -- you know, three to four, in
21 that range --

22 Q. Okay.

23 A. -- of his testimony.

24 Q. Depending on how you're look -- you look
25 at it, you're aware that Missouri has at least three

1 investor-owned electric utilities, correct?

2 A. Yes, sir.

3 Q. And you're aware that Missouri has at
4 least three investor-owned gas utilities, correct?

5 A. Yes, sir.

6 Q. And are you aware that at least one or
7 two -- and -- and you're aware that we have at least
8 one -- one large water utility, correct?

9 A. Yes, sir.

10 Q. And are you aware that at least one or
11 two of those utilities are A-rated by S&P?

12 A. Yes, sir.

13 Q. Okay. And we also have some utilities
14 that are -- that are triple B, correct?

15 A. You do.

16 Q. And we've had at least one electric
17 utility in the past that was below investment grade,
18 correct?

19 A. I believe that's correct, yes, sir.

20 Q. And you'd agree that those utilities all
21 have varying capital structures, correct?

22 A. They do.

23 Q. And making reference to a statement that
24 you made earlier, I believe it was -- it was on
25 direct, now, do you find it surprising that despite

1 variations in credit rating, variations in capital
2 structure, that the -- the Missouri PSC Staff has
3 never been able to recommend an ROE above 9 and a
4 half percent for a large investor-owned utility or at
5 least never in at least the last five or six years?

6 A. Well, your Honor, I -- I must say that
7 I -- I am aware of the truth of what you say, and I
8 have noted that it seems to be out of sync with most
9 of the rest of the regulatory world in my view.

10 Q. You know what the average ROE for an
11 investor-owned gas utility is for the calendar year
12 2008?

13 A. I believe it was somewhere in the -- in
14 the vicinity of 10.2 to 10.3, I believe, subject to
15 check. I -- without looking at anything at the
16 moment, I think that's a fair assessment of the
17 range.

18 Q. Okay. And do you know what the average
19 ROE for a gas utility is in the first three quarters
20 of calendar year 2009?

21 A. Not the first three quarters, but...

22 Q. Doesn't AUS publish a newsletter and
23 isn't that information available in it?

24 A. No. We get that information -- well,
25 no, we get that information from Regulatory Research

1 Associates.

2 Q. Hmm. So you have a -- you have a
3 subscription to Regulatory Research Associates?

4 A. Yes, sir, we do.

5 Q. And that information is -- is easily
6 provideable to the Commission?

7 A. It is.

8 Q. Okay. Can you provide this Commission
9 with an opinion as to what the -- the national
10 average for ROE for investor-owned gas utilities was
11 in the first three quarters of calendar year 2009?

12 A. Yes, sir, we can do that.

13 COMMISSIONER DAVIS: Mr. Thompson, is...

14 MR. THOMPSON: I was going to get this
15 marked and --

16 COMMISSIONER DAVIS: Okay.

17 MR. THOMPSON: -- get it in later.

18 COMMISSIONER DAVIS: Okay. All right.

19 MR. THOMPSON: I can do it now if you'd
20 prefer.

21 COMMISSIONER DAVIS: That's all right.

22 Mr. Hanley, thank you. I have no further questions.

23 JUDGE PRIDGIN: Commissioner Davis,
24 thank you. This looks to be a pretty convenient time
25 for a break, and I understand we'll still have

1 Mr. Hanley on the stand for recross and redirect.

2 It's 10:20 according to the clock back on the wall.

3 Let's break for about 15 minutes and readjourn about

4 10:35. Thank you. We're off the record.

5 (A RECESS WAS TAKEN.)

6 JUDGE PRIDGIN: All right. We're back

7 on the record. Mr. Hanley is still on the stand, and

8 Mr. Hanley, I'll remind you you're still under oath.

9 It's time for recross-examination. Mr. Poston, any
10 questions based on bench questions?

11 MR. POSTON: No questions. Thank you.

12 JUDGE PRIDGIN: Mr. Poston, thank you.

13 Mr. Thompson?

14 MR. THOMPSON: Why, yes, your Honor,
15 thank you. I have an exhibit I'd like to mark.

16 JUDGE PRIDGIN: It will be 96.

17 (EXHIBIT NO. 96 WAS MARKED FOR

18 IDENTIFICATION BY THE COURT REPORTER.)

19 COMMISSIONER DAVIS: Thank you,

20 Mr. Thompson.

21 MR. THOMPSON: I see we have another one
22 if you'd put that for Commissioner Gunn.

23 COMMISSIONER DAVIS: Commissioner Gunn

24 or Commissioner Kenney?

25 MR. THOMPSON: I've got one for

1 Commissioner Kenney right here.

2 COMMISSIONER DAVIS: Okay. Thank you,
3 sir.

4 MR. THOMPSON: May I approach, your
5 Honor?

6 JUDGE PRIDGIN: You may.

7 RECROSS-EXAMINATION BY MR. THOMPSON:

8 Q. Mr. Hanley, I'm going to show you an
9 exhibit I've marked as Exhibit No. 96. Could you
10 describe that for me?

11 A. Yes, sir. It's a publication from
12 Regulatory Research Associates. I'm counting what
13 page. One, two, three -- I seem to have five pages
14 of October 2nd, 2009. It's called "Regulatory Focus
15 Special Study, Major Rate Case Decisions,
16 January-September 2009."

17 Q. You've only got five pages, sir?

18 A. I believe so. Maybe I -- maybe a page
19 is stuck together. Let me just count again, please.
20 No, I think that's what happened. Five, six -- I'm
21 sorry. Seven. A couple stuck together. Sorry about
22 that.

23 Q. That's quite all right. And is that the
24 publication that you referred to when you were
25 answering questions posed by Commissioner Davis?

1 Redirect?

2 MR. SWEARENGEN: Yes, Judge, I'll just
3 do it from down here if that's okay.

4 JUDGE PRIDGIN: Certainly.

5 REDIRECT EXAMINATION BY MR. SWEARENGEN:

6 Q. Mr. Hanley, let me kind of back up here
7 for a minute. Commissioner Davis was asking you
8 quite a few questions, and he was -- you were having
9 a conversation with him about, I think, the CAPM
10 formula. Do you recall that?

11 A. Yes, I do.

12 Q. And he asked you whether or not you --
13 you, I think, strictly followed that formula. I
14 believe that was his question. Do you recall?

15 A. I -- yes, I -- I recall that.

16 Q. Okay. And I think you said yes, you
17 followed the formula. Was that your answer?

18 A. Yes.

19 Q. And then he asked you about the inputs
20 and you said, as I recall, that you didn't follow the
21 inputs. Do you recall that answer?

22 A. I believe, yes. Yes, sir.

23 Q. And -- and can you explain what you
24 meant by that?

25 A. Well, sure. I don't follow it with

1 regard to that particular page with that 3 percent,
2 for example, with the long-term treasury rate. I
3 believe that was some sort of a historical average,
4 whatever.

5 We -- we clearly know at the present
6 time the -- and based on forecasts, the treasury rate
7 is well above 4 percent. I think I exchanged with
8 Commissioner Davis that currently, based on
9 Mr. Murray's numbers, are in the area of 4.3 percent.
10 And indicators are that it's going to be continually
11 rising over the next year or so. And I think that's
12 much more representative for the simple reason that
13 ratemaking is prospective and the cost of equity
14 capital is prospective.

15 Other parts of the formula with regard
16 to the return on the market, I do not rely strictly
17 upon the historical, the long-term data from the
18 Ibbotson book, but I also rely in part, as has been
19 discussed with -- with Commissioner Davis, the Value
20 Line forecasted appreciation potential which I
21 believe investors take into account.

22 So you know, with -- with those
23 exceptions, of course, you know, as to the inputs,
24 why -- but I do use the -- the standard model. I
25 would add I also utilize the empirical capital asset

1 pricing model for the simple reason stated in my
2 testimony and substantiated and supported in the new
3 regulatory finance book by Morin. But that's just
4 simply a derivative of the -- the standard formula
5 which I did utilize.

6 MR. SWEARENGEN: Now, you mentioned the
7 Ibbotson book. Just so the record is clear, I think
8 that was marked as Exhibit 94; is that correct, your
9 Honor?

10 JUDGE PRIDGIN: That's correct,
11 Mr. Swearengen.

12 BY MR. SWEARENGEN:

13 Q. And Mr. Hanley, you referred to a
14 particular page. Was that page 200 from that
15 exhibit, is that your recollection?

16 A. Yes, that's my recollection, sir.

17 Q. Thank you. Now, Mr. Thompson was -- was
18 asking you some questions about the short-term debt
19 cost issue in this case, and I believe he indicated
20 to you that perhaps seven of the nine proxy companies
21 utilized by the Staff in this case issue commercial
22 paper. Do you recall his question to you about that?

23 A. I remember the -- the general discussion
24 as to specifically seven companies.

25 Q. Okay.

3 Q. And then you started to say, "The point
4 is," and you did not finish your answer.
5 Mr. Thompson, I think, indicated "Thank you."
6 What -- what point were you trying to make at that
7 particular point in time, do you recall?

8 A. I actually do recall. The point I was
9 trying to make was that if they're doing that, it
10 would be the same right now, for example, that
11 Southern Union is still able to issue debt under
12 credit agreements that were reached several years
13 back. As those credit agreements expire, they're no
14 longer going to be able -- the smaller and lesser
15 rated companies will not have access in this current
16 market environment to the commercial paper market.

17 Evidence is overwhelming that there is
18 access now only to the largest companies that have
19 the need to regularly issue commercial paper and with
20 the highest credit rating such as double A or
21 triple A rating. Southern Union itself, its credit
22 agreement expires in May 2010, which is just around
23 the corner, especially in terms of rates that are
24 going to be in effect for a period of time.

25 If -- with their -- with their bottom of

1 investment grade rating, if they were in a situation
2 where their existing credit agreement expired and
3 they had to go out, their rate would be much higher
4 than the 5.492 percent, I believe, that I estimate
5 for Missouri Gas Energy if it had to go out. Because
6 for Missouri Gas Energy, I assumed the same average
7 bond rating as my proxy group which is much higher
8 and better rating than that of Southern Union which,
9 as I said, is the bottom of investment grade.

10 So that's the point I was making, that
11 in terms of what we could look forward to in terms of
12 being representative on a going-forward basis.

13 Q. Okay. Thank you. Now, at one point, I
14 think when Mr. Thompson was -- was asking you some
15 questions, you used the term "Efficient market
16 hypothesis." Could you tell us what that means?

17 A. Yes. Well, basically what it means is,
18 is that investors are aware of all historical
19 information, current information that's made publicly
20 available and have ready access to on a very -- I
21 hate to use the word cheap -- inexpensive basis or
22 better yet, a free basis. So it's readily available,
23 informative information, inexpensive or at no cost,
24 and that also they are aware and have access to all
25 historical information as well.

1 Q. Okay. Thank you. Now, also in response
2 to questions from Mr. Thompson, you got into a
3 discussion with him about particular companies, I
4 believe, that are included in the Staff's case that
5 have, at least according to the analysts, similar ROE
6 ratings but they have different credit ratings. Do
7 you recall that?

8 A. Yes, I do.

9 Q. And what's -- what's the relationship
10 between credit ratings and return on equity?

11 A. Well, I mean, as a general rule, the --
12 the lower the credit or the -- or bond -- or bond
13 rating of -- of the company, it implies certainly
14 more risk to the creditors or the debt holders which
15 implies, generally speaking, to much more risk for
16 the equity holders as well simply because they will
17 have more debt ahead of them in a first claim on
18 assets and earnings of the enterprise, and more risk
19 that their dividends, if there are any, won't be paid
20 timely or might be reduced or eliminated, what have
21 you, that kind of risk. So the greater the risk, the
22 greater would be the required return. That's
23 consistent with the basic financial precept.

24 Q. And -- and how -- how does that relate,
25 then, to -- to the Staff's testimony and the question

1 that was put to you by Mr. Thompson with regard to
2 specific companies and specific ROEs and specific
3 credit ratings?

4 A. Well, I -- I question the validity of
5 estimates that, first of all, we don't know how
6 they're derived, we don't know the basis of their
7 inputs, and secondly, when you have the same cost
8 rate projected for a company that has a triple B
9 rating or even a single A rating compared to one that
10 has a double A rating, it just is intuitively
11 incorrect.

12 And in addition, I believe I pointed out
13 that in one of those estimates that I looked at, the
14 direction of their change in a matter of five months
15 was counter to the market. They actually raised
16 their estimate when indications are, during that same
17 period of time as confirmed by my update, covering
18 essentially the same period of time, should be down.

19 Q. Okay. Finally, Mr. Thompson asked you a
20 series of questions about an entity called MOSERS.
21 Do you recall those?

22 A. I -- yes, I do.

23 Q. And what is your understanding --
24 what -- what is MOSERS?

25 A. Well, it's a -- it's an acronym for the

1 Missouri State Employees' Retirement fund, pension
2 investment fund.

3 Q. Are the returns that are made on those
4 investments, on the MOSERS investments widely known?

5 A. No. I -- I -- they -- they're not --
6 they're not widely known. One would have to have a
7 specific interest in it in order to determine what it
8 is. It's certainly not something widely known. It
9 would be of interest, obviously, to an employee of
10 the State of Missouri, but beyond that, I can't
11 imagine anyone else would have an interest in it.

12 Q. Would there be a relationship between
13 those returns and the efficient market hypothesis?

14 A. Well, no. I mean, I don't -- I don't
15 think so, since their -- investors wouldn't have this
16 readily available, they would have no knowledge of
17 it. And in addition, they would be cognizant, I
18 believe, that, one, a pension fund like that has a
19 fiduciary responsibility which means they tend to be
20 conservative, it would be a well-diversified
21 portfolio consisting of a number of different kinds
22 of assets.

23 And again, as I think I mentioned
24 earlier, a ten-year investment horizon is a
25 relatively short horizon compared to the infinite

1 horizon presumed with a common equity return rate in
2 a proceeding such as this.

3 Q. How would the asset base of MOSERS
4 compare, for example, to the asset base of Missouri
5 Gas Energy?

6 A. Well, I mean, there's -- there's
7 absolutely no comparison. Missouri Gas Energy, the
8 asset base happens to be what we would call rate base
9 which is primarily investment in gas distribution
10 utility plant and -- and -- and equipment to provide
11 the -- the service. That's compared to a diverse
12 portfolio of investments and a pension fund with a
13 goal to -- and its goals is more of safety consistent
14 with the fiduciary responsibility --

15 Q. Thank you.

16 A. -- to preserve those dollars.

17 MR. SWEARENGEN: Thank you. Could I
18 have an exhibit marked, please?

19 JUDGE PRIDGIN: Yes, you may. This will
20 be 97.

21 (EXHIBIT NO. 97 WAS MARKED FOR
22 IDENTIFICATION BY THE COURT REPORTER.)

23 JUDGE PRIDGIN: Mr. Swearengen?

24 MR. SWEARENGEN: Yes, thank you.

25 BY MR. SWEARENGEN:

1 Q. Mr. Hanley, you have in front of you
2 what has been marked for purposes of identification
3 on here as Exhibit 97. Do you have that?

4 A. I do, yes, sir.

5 Q. And are -- have you seen this document
6 previously?

7 A. Yes, I have.

8 Q. And how did you happen to see it?

9 A. This was part of response received from
10 Staff to one of the company's data requests.

11 Q. Okay. Thank you. And what -- what is
12 this document?

13 A. Well, this is a document that -- for the
14 Missouri State Employees' Retirement System that --
15 it shows the current assumptions and shows the
16 various asset classes that are in their portfolio and
17 the -- with their ten-year horizon expected rate of
18 return and standard deviation on each of those asset
19 classes.

20 Q. Now, how does that ten-year horizon
21 compare and contrast to the horizon of the DCF
22 formula you'd utilized by the Staff in this case?

23 A. Well, as I indicated earlier, it's
24 merely a fraction of it. Even if we want to say,
25 well, infinity is sort of a nebulous term that no one

1 can comprehend, if we think of discounting a value
2 back to the present where under the -- the -- the
3 theory, you either get actually to zero but get
4 really as close to zero as possible, even if it
5 wouldn't be absolute zero, is probably like 40 years,
6 which would be about four times longer horizon as
7 compared to this ten-year horizon.

8 Q. Would you characterize a ten-year
9 horizon as a short-term horizon?

10 A. In the context of the long-term infinite
11 presumed horizon for common equity, particularly one
12 derived from the DCF model, yes, I would say that
13 that's short relatively -- relative to that.

14 MR. SWEARENGEN: Thank you. That's all
15 I have. I would offer into evidence Exhibit 97.

16 JUDGE PRIDGIN: Mr. Swearengen, thank
17 you. No. 97 has been offered. Any objection?

18 (NO RESPONSE.)

19 JUDGE PRIDGIN: Hearing none, 97 is
20 admitted.

21 (EXHIBIT NO. 97 WAS RECEIVED INTO
22 EVIDENCE AND MADE A PART OF THE RECORD.)

23 JUDGE PRIDGIN: Any further questions?

24 MR. SWEARENGEN: I have none.

25 JUDGE PRIDGIN: All right. Thank you,

1 Mr. Hanley. Thank you very much, sir. You may step
2 down.

3 THE WITNESS: Yes, sir, thank you.

4 MR. SWEARENGEN: And may he be excused?
5 May Mr. Hanley be excused?

6 JUDGE PRIDGIN: Commissioner Davis?

7 MR. SWEARENGEN: I'm not sure what
8 his -- what flight he has to catch. That's why I'm
9 asking.

10 COMMISSIONER DAVIS: Mr. --
11 Mr. Swearengen, at this point I'm going to object. I
12 mean --

13 MR. SWEARENGEN: That's fine.

14 COMMISSIONER DAVIS: -- no disrespect to
15 Mr. -- Mr. Hanley --

16 MR. SWEARENGEN: No.

17 COMMISSIONER DAVIS: -- but I'd like to
18 get through the other cost of capital experts before
19 we -- before we release him.

20 MR. SWEARENGEN: You don't even -- you
21 don't need to object, your Honor, just indicate that
22 you'd like him to stay. He'd be happy to stay.
23 Thank you.

24 COMMISSIONER DAVIS: Some people would
25 consider that economic development, Mr. Swearengen.

1 MR. THOMPSON: Your Honor?

2 JUDGE PRIDGIN: Mr. Thompson.

3 MR. THOMPSON: Mr. Murray needs to get
4 some water before he goes up. If he could be
5 permitted to go -- to do that. And also, I have a
6 question. Was Exhibit 94 received?

7 JUDGE PRIDGIN: I don't show that 94 was
8 offered. I think that was a Commission exhibit. I
9 can certainly move that it be admitted.

10 MR. THOMPSON: I would so move, your
11 Honor.

12 JUDGE PRIDGIN: Okay. It has been
13 moved.

14 MR. THOMPSON: And I think all we would
15 need is page 200 with Table C-1.

16 JUDGE PRIDGIN: All right. That would
17 be -- that specific page, page 200, okay. Exhibit 94
18 has been offered. Any objections?

19 (NO RESPONSE.)

20 JUDGE PRIDGIN: Hearing none, it is
21 admitted.

22 (EXHIBIT NO. 94 WAS RECEIVED INTO
23 EVIDENCE AND MADE A PART OF THE RECORD.)

24 MR. THOMPSON: And what about
25 Exhibit 95, your Honor?

1 JUDGE PRIDGIN: Likewise, I don't show
2 it, and I think that was something that --

3 MR. THOMPSON: That was the Fama and
4 French article.

5 JUDGE PRIDGIN: -- the Fama and French
6 article, and I think that -- I could be wrong -- I
7 think that MGE was going to get copies of that. I
8 could be remembering that wrong. I don't think it's
9 been -- I don't think it's been offered and I think
10 we're just waiting for copies, but I may remember
11 that incorrectly. Does -- does anyone want to move
12 the admission of 95?

13 MR. THOMPSON: And we'll move that that
14 be received.

15 JUDGE PRIDGIN: Okay. Any objections?

16 (NO RESPONSE.)

17 JUDGE PRIDGIN: Hearing none, it's
18 admitted.

19 (EXHIBIT NO. 95 WAS RECEIVED INTO
20 EVIDENCE AND MADE A PART OF THE RECORD.)

21 JUDGE PRIDGIN: I don't know if the
22 bench has copies. I'll just ask that some parties
23 supply copies sometime today if that's possible. If
24 not, just late-file it. And I'm sorry. Mr. Murray
25 needs some water before he takes the stand.

1 MR. MURRAY: Is that okay?

2 JUDGE PRIDGIN: Certainly.

3 MR. MURRAY: Be right back.

4 MR. THOMPSON: Thank you, your Honor.

5 JUDGE PRIDGIN: We're still on the

6 record. Is there anything further from counsel

7 before Mr. Murray is sworn?

8 MR. THOMPSON: No, sir.

9 MR. MURRAY: Thank you.

10 JUDGE PRIDGIN: You're welcome. I'm

11 sorry. Mr. Thompson?

12 MR. THOMPSON: Staff would like an

13 opportunity to do a brief opening.

14 JUDGE PRIDGIN: Yes, absolutely.

15 Whenever you're ready.

16 MR. THOMPSON: May it please the

17 Commission.

18 JUDGE PRIDGIN: Mr. Thompson.

19 MR. THOMPSON: I'm not going to take

20 very much of your time. We're here today to do what

21 is always one of the most hotly contested and

22 important aspects of any rate case, which is to

23 determine the cost of common equity. There are some

24 additional issues that you're also hearing today

25 which would include the capital structure, the cost

1 of debt, both short-term and long-term. These are
2 the things that the parties dispute.

3 And what is cost of common equity? We
4 talk about it in these cases and briefs, and it's
5 actually several different things. It depends on who
6 you are and what you're talking about it for. If
7 you're an investor, we heard from Mr. Hanley, it's
8 your expected return or as they sometimes say, your
9 required return.

10 If I'm going to invest in a company, I'm
11 going to hopefully have some idea of what I expect
12 out of that investment, and I may use analytical
13 techniques such as these analysts have used in order
14 to try to calculate what I can expect. And assuming
15 I'm a rational investor, then I'm going to put my
16 money where I can get the best bang for my buck.

17 If you're the company, though, common
18 equity is profit, or should I say a component of
19 profit. Because after all, let's remember the
20 ratemaking formula. The ratemaking formula is
21 prudently incurred operating and maintenance expenses
22 as regularized and annualized for the test year,
23 plus, plus accumulated depreciation subtracted from
24 rate base, right? And then you multiply that by the
25 rate of return.

1 And the rate of return is the weighted
2 average cost of capital. It is an amount of money in
3 addition to operating expenses sufficient to serve,
4 or service I guess they say, each of the components
5 of the company's capital structure. Part of that is
6 debt and part of that is equity.

7 So your job, then, is to decide what is
8 the profit that the shareholders will receive for
9 operating this company over a year. And in doing
10 that, you look to expert testimony. And you have
11 heard already from Mr. Hanley who is the company's
12 expert, you're about to hear from David Murray, the
13 Staff expert, and later today you'll hear from
14 Mr. Lawton who is the expert retained by the Office
15 of Public Counsel. And each of these three experts
16 has come up with a slightly different recommendation
17 for you.

18 Mr. Murray's recommendation is 9.5
19 percent and Mr. Lawton's recommendation is 10.0
20 percent and Mr. Hanley's recommendation is 10.5
21 percent. It's rare that we get the recommendations
22 sort of lined up like that, like -- like bowling
23 pins. And I haven't seen a reconciliation, so I
24 can't tell you what each basis point is worth in this
25 case.

1 But remember, this rate of return is
2 multiplied by the net rate base, and that amount of
3 money is added to the revenue requirement. It
4 becomes part of the money that is recovered or paid
5 in by customers in exchange for the service they
6 receive. So the decision you make will have actual
7 financial consequences; consequences for the company,
8 consequences for the shareholders, consequences for
9 the ratepayers.

10 Each of the experts has used well
11 recognized and unremarkable formulae that are -- that
12 are frequently encountered in financial analysis, the
13 discounted cash flow model, the capital asset pricing
14 model and the risk premium model. And each of them
15 has its particular weaknesses and its particular
16 strengths.

17 There is -- as we brought out in cross
18 of Mr. Hanley, there's a philosophical divide between
19 Staff on the one hand and the other two witnesses on
20 the other in that Staff relies on the discounted cash
21 flow model. Staff believes that that is the -- the
22 best technique with which to determine investor
23 expectations. That's what the financial analyst is
24 determining, investor expectations.

25 We urge you to select a number close

1 to, if not identical, with Staff's recommendation of
2 9.5 percent. We suggest to you that that is
3 supported in -- by corroborating evidence that
4 Mr. Murray has marshaled in his testimony. I refer
5 to the evidence of expectations of MOSERS, a local
6 large institutional investor, and also the financial
7 equity analyst predictions which have been provided
8 in corrected schedules 20-1 through 20-7 attached to
9 Mr. Murray's rebuttal testimony. I will remind you
10 that the average of those 30 predictions is 8.24
11 percent.

12 With respect to capital structure, Staff
13 is taking a different course today than it has taken
14 in the past with this company because of information
15 that has come to Staff's attention about the
16 financing practices of Southern Union Company. Staff
17 no longer believes, no longer believes that the
18 actual consolidated capital structure of Southern
19 Union is the appropriate ratemaking capital
20 structure. Staff believes that a hypothetical
21 capital structure would be more appropriate.

22 A hypothetical capital structure is
23 simply prepared by taking the average of each
24 component from the proxy group, so it is the average
25 of the proxy group, and it reflects an average value.

1 With respect to short-term debt, Staff
2 has the corrected figure of 1 percent which is quite
3 a bit lower than the figures used either by
4 Mr. Hanley or by Mr. Lawton. And I would urge you to
5 consider the way that Staff derived that number and
6 the evidence that supports it.

7 I think the evidence is unrefuted that
8 most of the proxy companies issue commercial paper
9 and raise short-term money in that manner, short-term
10 less than six months to maturity, usually about a
11 month, and that they are doing so at quite low cost.
12 Thank you very much for your attention. You'll now
13 hear from Mr. Murray.

14 JUDGE PRIDGIN: Mr. Thompson, thank you.
15 Commissioner Davis?

16 COMMISSIONER DAVIS: Mr. Thompson, can
17 we go back and can you explain your -- your "lined up
18 like bowling pins" analogy again?

19 MR. THOMPSON: Simply -- simply 9.5, 10,
20 10.5. That's kind of regular --

21 COMMISSIONER DAVIS: And you -- and you
22 said that -- that that doesn't rarely happen at this
23 Commission, correct? Is that -- is that my
24 recollection?

25 MR. THOMPSON: I did say that.

1 COMMISSIONER DAVIS: Okay.

2 Mr. Thompson, where were you in 2004?

3 MR. THOMPSON: Probably right here.

4 COMMISSIONER DAVIS: And to the best of
5 your recollection, were you -- were you the
6 regulatory law judge in the MGE case or was that
7 Judge Woodruff?

8 MR. THOMPSON: That was Judge Woodruff.

9 COMMISSIONER DAVIS: That was -- that
10 was Judge Woodruff.

11 MR. THOMPSON: Yes, sir.

12 COMMISSIONER DAVIS: Do you recall what
13 the -- what the ROE recommendations were in that
14 case?

15 MR. THOMPSON: No, sir.

16 COMMISSIONER DAVIS: Would it surprise
17 you to know that the ROE recommendations in that case
18 lined up exactly like bowling pins as well?

19 MR. THOMPSON: I am surprised.

20 COMMISSIONER DAVIS: Hmm. You're
21 shocked?

22 MR. THOMPSON: I wouldn't characterize
23 it as quite shocked, sir --

24 COMMISSIONER DAVIS: Okay.

25 MR. THOMPSON: -- but I am certainly

1 surprised.

2 COMMISSIONER DAVIS: You're surprised?

3 MR. THOMPSON: Yes, sir.

4 COMMISSIONER DAVIS: So correct me if
5 I'm wrong, Mr. Thompson, but the company files its
6 case, correct?

7 MR. THOMPSON: Yes, sir.

8 COMMISSIONER DAVIS: And then Staff,
9 Office of Public Counsel and anybody else files their
10 direct later on, correct?

11 MR. THOMPSON: Yes, sir.

12 COMMISSIONER DAVIS: And so in at least
13 two of the last three MGE rate cases, we had the
14 numbers lining up exactly like bowling pins, correct?

15 MR. THOMPSON: Well, we know about this
16 one, and you -- you've described the 2004 case.

17 COMMISSIONER DAVIS: Well, assuming that
18 to be true, then that would be the case then?

19 MR. THOMPSON: That's correct.

20 COMMISSIONER DAVIS: Is that magical?

21 MR. THOMPSON: I don't think so.

22 COMMISSIONER DAVIS: Okay. Thank you,
23 Mr. Thompson.

24 MR. THOMPSON: Thank you, Commissioner.

25 JUDGE PRIDGIN: Before I swear in

1 Mr. Murray, I'll just note that it's roughly 11:15
2 and my hope is to break for lunch somewhere in a
3 natural break around noon. I'll try not to stray
4 more than a half hour before or after noon. So
5 depending on the line of questioning, we may break
6 for lunch before Mr. Murray is finished testifying
7 or -- or after, I'm not really sure. But anyway,
8 that's my plan. Anything further from counsel before
9 Mr. Murray is sworn?

10 (NO RESPONSE.)

11 JUDGE PRIDGIN: All right. Mr. Murray,
12 if you'll raise your right hand to be sworn, please.

13 (The witness was sworn.)

14 JUDGE PRIDGIN: Thank you very much,
15 sir. Please have a seat. Mr. Thompson, anything
16 before he's tendered for cross?

17 DIRECT EXAMINATION BY MR. THOMPSON:

18 Q. Please state your name.

19 A. My name is David Murray.

20 Q. And how are you employed, sir?

21 A. Acting utility regulatory manager in the
22 financial analysis department.

23 Q. Of what agency?

24 A. The Missouri Public Service Commission.

25 Q. And did you prepare or cause to be

1 prepared a portion of what is marked as the Staff
2 cost of service report, Exhibits 39 and 40, 39 is MP
3 and 40 is HC?

4 A. Yes, the rate of return portion, that's
5 correct.

6 Q. And also Exhibit 57, David Murray
7 rebuttal testimony?

8 A. Yes.

9 Q. And Exhibit 58, David Murray surrebuttal
10 testimony?

11 A. Yes.

12 Q. And do you happen to have any
13 corrections to any of those pieces of testimony?

14 A. In -- in the -- on the cost of service
15 report in the appendices.

16 Q. Yes, sir.

17 A. On appendix one, page 14, it came to my
18 attention that a couple of the cases for the
19 Utilicorp at that time, Utilicorp Company in 2001
20 that I had -- that I had -- have a typo on the ER and
21 the EC case. I'll just count down the number of rows
22 on that page. One, two, three, four, five, six,
23 seven. On the seventh row, it should read -- instead
24 of "EC-2002-265," it should read "ER-2001-672."

25 The next row which should be -- instead

1 of "ER-2001-265," it should be "EC-2002-265." And
2 that's the extent of my changes and corrections.

3 Q. Okay. And no change to either of the
4 other two exhibits?

5 A. No.

6 Q. Okay. And if I were to ask you those
7 same questions now, would your answers be the same?

8 A. Yes.

9 Q. And are they true to the best of your
10 knowledge, information and belief?

11 A. Yes.

12 MR. THOMPSON: I will offer Exhibit 57
13 and Exhibit 58. I don't know what the practice is
14 with respect to the cost of service report, Judge,
15 whether you want me to offer his portion of that now
16 or -- I can certainly do that.

17 JUDGE PRIDGIN: I don't necessarily have
18 a preference, but it might be a little cleaner if the
19 cost of service report is offered all at once
20 whenever -- I guess whenever Staff is finished with
21 its case.

22 MR. THOMPSON: Very well. I'll pass
23 that on to Staff's other counsel. Well, Exhibits 57
24 and 58, then.

25 JUDGE PRIDGIN: All right. 57 and 58

1 are offered. Any objections?

2 (NO RESPONSE.)

3 JUDGE PRIDGIN: Hearing none, 57 and 58
4 are admitted.

5 (EXHIBIT NOS. 57 AND 58 WERE RECEIVED
6 INTO EVIDENCE AND MADE A PART OF THE RECORD.)

7 MR. THOMPSON: I tender the witness for
8 cross. Thank you, your Honor.

9 JUDGE PRIDGIN: Mr. Thompson, thank you.
10 Let me see which counsel wish cross. Mr. Poston,
11 will you have cross?

12 MR. POSTON: I have no questions. Thank
13 you.

14 JUDGE PRIDGIN: Mr. Swearengen, you'll
15 have cross?

16 MR. SWEARENGEN: Yes, I do, your Honor.

17 JUDGE PRIDGIN: Any other counsel have
18 cross?

19 (NO RESPONSE.)

20 JUDGE PRIDGIN: All right.
21 Mr. Swearengen?

22 MR. SWEARENGEN: Thank you. Could I
23 have an exhibit marked as the -- it's the document
24 that I handed out earlier this morning during my
25 opening remarks that sets out the positions of the

1 parties.

2 JUDGE PRIDGIN: Yes, sir. That will be
3 98.

4 (EXHIBIT NO. 98 WAS MARKED FOR
5 IDENTIFICATION BY THE COURT REPORTER.)

6 MR. SWEARENGEN: And if it's okay, I'll
7 just ask my few questions from back here.

8 JUDGE PRIDGIN: Yes, sir, you may.

9 CROSS-EXAMINATION BY MR. SWEARENGEN:

10 Q. Mr. Murray, good morning.

11 A. Good morning.

12 Q. How are you doing?

13 A. Pretty good. How are you doing?

14 Q. Fine. I think I just handed you what
15 has been marked as Exhibit 97?

16 A. Yes.

17 THE COURT REPORTER: 98.

18 JUDGE PRIDGIN: I believe that's 98,
19 Mr. Swearengen.

20 BY MR. SWEARENGEN:

21 Q. 98, I apologize. And I will represent
22 to you that -- that this purports to set out the
23 positions of the Staff, the company and the Public
24 Counsel in this case with regard to capital structure
25 and -- and the related cost rates.

1 Would you take a look at the -- where
2 the Staff's recommended capital structure and cost
3 rates is set out in the middle of that document and
4 tell me if -- if you believe that that accurately
5 reflects the Staff's recommended capital structure
6 and the related cost rates?

7 A. Yes, that's accurate.

8 Q. Okay. Thank you. And does it also
9 accurately reflect your understanding of the position
10 of Missouri Gas Energy on these matters?

11 A. Yes, it does.

12 Q. And if I asked you does it accurately
13 represent your understanding of the Public Counsel's
14 position on these matters, would you agree?

15 A. Not necessarily. Not necessarily on
16 that.

17 Q. Okay. What -- what part of that -- the
18 document doesn't accurately reflect the Public
19 Counsel's recommended -- recommended capital
20 structure and cost rates?

21 A. With the revenue requirement reduction
22 recommended of 1.8 million, or approximately --

23 Q. Okay.

24 A. -- the recommended ROE would be
25 approximately 9.5. Actually, this -- I think it's

1 actually 9.53 percent.

2 Q. Now, is -- is -- is it your testimony
3 here today that the Public Counsel has put in
4 testimony directly by a surrebuttal that would
5 support that number that you just gave?

6 A. Not that specific number. Approximately
7 9.5 percent. They have submitted testimony that
8 supports that.

9 Q. Okay. And is it your position that it's
10 the Public Counsel's position that that's the
11 appropriate return on equity as opposed to 10 percent
12 that shows in this -- this exhibit?

13 A. That's the effect of ROE that's being
14 recommended as far as what would be reflected in the
15 cash flow.

16 Q. Okay. So it's your position, then, that
17 what the Public Counsel has said about 10 percent ROE
18 is not accurate?

19 A. That's the number, that's accurate.

20 Q. Okay.

21 A. That's his number.

22 Q. And -- and that's the number that shows
23 up on the -- on this Exhibit 98?

24 A. Yes.

25 Q. Okay. Let me ask you, is -- is it your

1 understanding that Missouri Gas Energy is an
2 operating division of Southern Union Company?

3 A. Yes.

4 Q. And would you agree that Southern Union
5 Company is a corporation?

6 A. Yes.

7 Q. And do you know where it's incorporated?

8 A. In -- I think they're in Houston now,
9 Texas. I -- I believe they relocated. They were in
10 Pennsylvania.

11 Q. Do you think they're -- they were a
12 Pennsylvania corporation but now they're a Texas
13 corporation, is that your testimony?

14 A. If I recall correctly.

15 Q. Do you know whether or not Southern
16 Union Company shares are traded on the -- publicly
17 traded on the New York Stock Exchange?

18 A. Yes, they are.

19 Q. Would you agree that Missouri Gas Energy
20 does not issue its own capital?

21 A. Yes.

22 Q. And would you agree that this Commission
23 regulates what we know as the gas distribution
24 operations in Missouri Gas Energy?

25 A. Yes.

1 Q. As far as you know, does this Commission
2 regulate any of the other business operations of
3 Southern Union Company?

4 A. No.

5 Q. And what are those other business
6 operations, do you know?

7 A. They've acquired Panhandle Eastern
8 Pipeline. I don't know all the activities that
9 occurred -- occurred under Panhandle Eastern Pipeline
10 since they acquired that entity, but I know that
11 there's a trunk line, natural gas, Florida Gas
12 Transmission.

13 The recent -- I guess -- I guess it was
14 occurring during the last 2006 case they acquired the
15 Sid Richardson energy properties which are the
16 gathering and processing operations which that --
17 that, I believe, is under the SUGS. When I say SUGS,
18 Southern Union Gas -- Southern Union Services -- I
19 can't remember the -- I remember the acronym, but
20 it's under SUGS. So that's the extent of what
21 Southern Union has.

22 Q. So if I said that those -- those other
23 businesses included generally transporting gas,
24 gathering gas and storing gas, processing gas in
25 addition to the distribution of gas that MGE carries

1 on, would you agree that that's a fair general
2 description of the business of Southern Union
3 Company?

4 A. Yes.

5 Q. Okay. Is it your understanding that
6 Southern Union Company issues debt?

7 A. Yes.

8 Q. And what is the most recent amended cost
9 of debt of Southern Union Company, do you know?

10 A. I believe it's reflected in -- in the
11 other parties' testimonies. It was in the low
12 6 percent range, 6.1, 6.2. Now, that's with total --
13 that's -- that's all debt. When I say Southern
14 Union -- and maybe we should back up and clarify.
15 When you say "Southern Union debt," are you referring
16 to just operating company level debt?

17 Q. I'm asking you, Southern Union Company,
18 what is your understanding of Southern Union Company?
19 You think it's a corporation that at one time was
20 incorporated in Pennsylvania and now is incorporated
21 in Texas. If I ask you about Southern Union debt,
22 what do you know about that?

23 A. Southern Union operating company level
24 debt is about 7.7 percent. When you include the
25 people debt which was excluded -- excluded in the

1 last couple of rate cases in front of this Commission
2 and the trunk line debt which was also at the people
3 level, it brings it down to about 6, a little over 6
4 percent.

5 Q. Now, what level are you talking about,
6 the people level?

7 A. Panhandle Eastern Pipeline.

8 Q. And what's that?

9 A. That's the acquisition in maybe 2004.

10 Q. What is Panhandle Eastern Pipeline?

11 A. It's the transmission -- or excuse me,
12 the transportation. It's the pipeline subsidiary of
13 Southern Union.

14 Q. It's a subsidiary?

15 A. Yes.

16 Q. And what does that mean?

17 A. It's a subsidiary corporation, it's a
18 wholly owned corporation of Southern Union.

19 Q. So Panhandle is not Southern Union
20 Company, right?

21 A. That's correct.

22 Q. Okay. And it has its own debt,
23 Panhandle?

24 A. Panhandle issues its own debt, that's
25 correct.

1 Q. Looking at Exhibit 98 and turning your
2 attention to the Public Counsel's recommended capital
3 structure, do you know whether or not that capital
4 structure reflects the debt of the wholly owned
5 subsidiary, Panhandle?

6 A. It does.

7 Q. So would you agree with me that the
8 Public Counsel's proposed capital structure includes
9 something other than just Southern Union capital?

10 A. Yes.

11 Q. Okay. Now, I think your counsel said,
12 and I've read your testimony, and I think it
13 reflects -- it is reflected on Exhibit 98, for
14 purposes of setting rates for Missouri Gas Energy in
15 this case, the Staff is recommending the use of a
16 hypothetical capital structure; is that correct?

17 A. Yes.

18 Q. And that's based on -- the percentages
19 are based on your analysis of a group of proxy
20 companies that you selected; is that true?

21 A. Yes.

22 Q. And are there -- were there seven gas
23 companies in that proxy group; is that right?

24 A. That's correct.

25 Q. And in your view, those seven companies

1 are comparable to Missouri Gas Energy?

2 A. It's a -- it is a good starting point,
3 yes, it's a proxy. It -- it approximates the --
4 the -- as best as we can with all practical
5 circumstances we have with holding companies, a
6 natural gas distribution cost of equity.

7 Q. Now, looking at Exhibit 98, am I correct
8 in understanding that the capital structure that is
9 shown there would be the -- the average capital
10 structure of your proxy group?

11 A. Yes, for the most recent fiscal year.
12 No, excuse me. This was update -- I updated my
13 information as of the most recent quarterly 10Q
14 filing of each company, yes.

15 Q. And with -- with regard to the cost
16 components of the capital structure that you're
17 proposing, for example, the 5.92 percent long-term
18 debt, is that based on your proxy group's average
19 embedded cost of long-term debt?

20 A. Yes.

21 Q. And to estimate the -- the cost of
22 common equity that is shown there as 9 and a half
23 percent, am I correct in understanding that you
24 performed an analysis of your seven -- the same seven
25 proxy companies?

1 A. Yes.

2 Q. And you ultimately came up with a 9.5
3 percent as the -- the midpoint of your range; is that
4 right?

5 A. That's the midpoint of the lower half of
6 my range.

7 Q. Midpoint of the lower half of your
8 range, okay. And then you -- the next step would be
9 you apply that 9.5 percent to the average common
10 equity ratio of 51.06 percent; is that true?

11 A. Yes.

12 Q. Now, with regard to your proposed cost
13 of short-term debt which shows at 1 percent on -- on
14 Exhibit 98, that's not based on the average cost of
15 all seven of your proxy companies; is that true?

16 A. Yes.

17 Q. Instead, it's based on the simple
18 average of the weighted average cost of short-term
19 debt of the two A-rated companies in your proxy
20 group; is that right?

21 A. Yes.

22 Q. Do you have the Staff report in front of
23 you that, I think, contains your direct evidence on
24 this topic?

25 A. Yes, I do.

1 Q. If you could turn to page 36, please.

2 A. Yes.

3 Q. Looking -- looking at page 36, lines 7
4 to 9, am I correct that the -- that you state the
5 Staff's estimate of the proxy group's cost of common
6 equity is in the range of 9.25 percent to 10.25
7 percent?

8 A. Yes.

9 Q. And the high end of that, the 10.25
10 percent, is just 25 basis points below the company's
11 recommendation in this case which is 10 and a half
12 percent; is that true?

13 A. Yes.

14 Q. And I -- and I use the word "just"
15 because 25 basis points is not that great of a
16 difference when compared to past cases, would you
17 agree with that?

18 A. Yes, I agree.

19 Q. But then you go on to say in that same
20 page of the report that you disregard that range and
21 instead are using the range of 9 and a quarter to
22 9.75?

23 A. Yes, I didn't -- well, excuse me. Let
24 me back up. I did not disregard the range.

25 Q. Okay. What -- what did you do?

1 A. I -- I was -- I'm still within the
2 range, but I just chose the lower half because of my
3 observations on the investment community's --
4 community's commentary on nonregulated activities of
5 these comparable companies which can comprise almost
6 30 percent of the -- of the net income at times, and
7 then also understanding their views on -- on the risk
8 reduction benefits of a -- of a decoupled rate
9 design.

10 Q. So that was a judgment thing you made
11 based on that information?

12 A. Yes.

13 Q. Okay. Now, do you have your surrebuttal
14 testimony there in front of you?

15 A. Yes.

16 Q. And if you could look on page 7, I
17 believe.

18 A. Yes.

19 Q. On page 7 of your surrebuttal testimony,
20 you refer to a March 9, 2009 Goldman Sachs report; is
21 that true?

22 A. Yes.

23 Q. And that report assumes a 10 to a 10 and
24 a half percent allowed ROE; is that right?

25 A. Yes.

1 Q. But then down on lines 26 and 27, you
2 say you disregard that Goldman Sachs report and the
3 10 and -- the 10 and a half percent range contained
4 in that report because it does not conform to your
5 own DCF analysis; is that true?

6 A. I don't -- I don't believe I disregarded
7 it.

8 Q. Well, your -- the statement I'm looking
9 at begins on line 26 of page 7, and you say, "Staff's
10 estimated cost of equity based on its DCF analysis
11 does not confirm this to be the case."

12 A. Yes, I was -- I was explaining some
13 context on estimated cost of equity.

14 Q. So let me ask you first of all, you're
15 making a judgment at that point?

16 A. I'm sorry. Please rephrase or clarify a
17 "judgment" by what...

18 Q. Well, do you believe that the -- let me
19 ask you this question: Do you believe that the
20 statement in the March 9, 2009 Goldman Sachs report
21 assuming a 10 to 10 and a half percent long-term
22 allowed ROE is accurate and correct and should be
23 relied upon?

24 A. It is accurate and correct as based --
25 that's their analysis, yes, that's correct.

1 Q. And should it be relied upon?

2 A. That's -- relied upon for what? I'm
3 sorry. I --

4 Q. For any purpose.

5 A. For any purpose, sure, yes.

6 Q. Okay. And what purpose would you rely
7 on it for?

8 A. To understand the context of what
9 allowed returns have been and -- and, you know, what
10 may influence them to -- to become -- go lower.

11 Q. And should this Commission rely on it
12 for purposes of setting rates in this case?

13 A. It's a consideration, yes.

14 Q. Okay. Let me ask you just a couple of
15 questions about your short-term debt cost. Would you
16 agree that there's a pretty significant difference
17 between your position on that and the positions of
18 the other two parties in this case, the company and
19 the Public Counsel?

20 A. Yes.

21 Q. Would it be fair to say that with regard
22 to your seven proxy companies that the precise
23 short-term debt costs for each of those companies is
24 not available?

25 A. No.

1 Q. It is available?

2 A. Yes.

3 Q. Would you --

4 A. Not for all of them, but it is available
5 for -- for -- for several of them.

6 Q. And -- and which ones is it available
7 for?

8 A. I'd -- I'd have to go back and look at
9 the -- the 10Q's, but I do know that there's probably
10 at least a couple other that it was available for as
11 of the second quarter 10Q. The reason why I selected
12 the two A-rated companies was because that was the
13 average credit rating, the proxy group. And if
14 you're going to try to, you know, assume a -- the,
15 you know, same risk, if you will, for -- for proxy
16 group for MGE as -- as -- as reflected in an A credit
17 rating, I felt it was most appropriate to rely on
18 those two companies.

19 But by and large, all the companies I've
20 looked at, even the ones that may have a triple B
21 credit rating, the average cost of short-term debt --
22 weighted average cost of short-term debt reflected in
23 their 10Q's was -- they were all below 1 percent.

24 Q. Let me ask you: Is your recommendation
25 based on what could be called a spot cost rate?

1 A. No.

2 Q. What is a spot cost rate?

3 A. Spot would be right as of like today if
4 we looked at the Wall Street Journal and looked at
5 the commercial paper rate.

6 Q. Would you agree that a short-term debt
7 rate -- a short-term cost debt rate, at least for
8 ratemaking purposes, should be indicative of a
9 representative future period of time when the new
10 rates resulting from, for example, this proceeding
11 will be in effect?

12 A. Yes.

13 Q. And would you agree that historical
14 short-term borrowings may not be indicative of this
15 future?

16 A. Yes.

17 MR. SWEARENGEN: That's all I have.

18 Thank you.

19 JUDGE PRIDGIN: Mr. Swearengen, thank
20 you.

21 MR. SWEARENGEN: I would offer
22 Exhibit 98.

23 JUDGE PRIDGIN: 98 has been offered.

24 Any objections?

25 (NO RESPONSE.)

1 JUDGE PRIDGIN: Hearing none, 98 is
2 admitted.

3 (EXHIBIT NO. 98 WAS RECEIVED INTO
4 EVIDENCE AND MADE A PART OF THE RECORD.)

5 JUDGE PRIDGIN: Let's see if we have any
6 bench questions. Commissioner Davis?

7 COMMISSIONER DAVIS: I'll pass and let
8 my colleagues go first.

9 COMMISSIONER JARRETT: I don't have any
10 questions.

11 JUDGE PRIDGIN: Commissioner Jarrett, no
12 questions. Commissioner Kenney?

13 QUESTIONS BY COMMISSIONER KENNEY:

14 Q. I have one question of the calculation
15 of short-term debt. Thanks for your time.

16 A. Good morning, Commissioner.

17 Q. Good morning. The -- and I'm looking at
18 the Staff's cost of service report. It was Piedmont
19 Natural Gas and New Jersey Resources Company that you
20 looked at to compute the short-term debt cost; is
21 that right?

22 A. Yes. Let me just make sure the -- let
23 me look at the credit ratings and I'll tell you
24 exactly for sure. That's correct.

25 Q. And that's a historical look to arrive

1 at that 1 percent, right?

2 A. This year, yes.

3 Q. And Mr. Swearengen was just intimating
4 that a more accurate way to do it would be to look
5 forward and look at a future -- forward-looking
6 short-term borrowing, and you agreed with him that
7 that would be a correct way to do it?

8 A. Well, to -- to the extent somebody could
9 predict the future?

10 Q. Well, I guess my question is why did you
11 choose one method versus -- versus the other?

12 A. Well, the reason why I chose the cost of
13 short-term debt that is reflected and being incurred
14 by companies including Laclede Gas in -- in the State
15 of Missouri at, you know, levels below 1 percent is
16 because these companies do have access to commercial
17 paper. That is the -- the reality of the capital
18 markets at this point in time.

19 How long are -- are short-term rates
20 going to stay as low as they are? You know, that
21 probably depends on when the Feds start to reverse
22 its course on -- on providing liquidity. The -- you
23 know, I've seen some projections that say that could
24 go into, you know, 2010. How much will they tighten
25 up? You know, I -- I don't know and I don't know

1 when they will start doing that.

2 Could -- could these remain in effect
3 for three years? They may. We are in uncharted
4 territory, as everybody is well aware of, and these
5 are very low costs and they are costs that I
6 discovered are -- are also passed through in
7 Laclede's purchased gas adjustment. Now, it's done a
8 little differently, but -- but those are real costs
9 that would be passed through into rates.

10 Q. In your best educated guess, will these
11 rates remain in effect, again, to the extent that you
12 can read the future, at least, the end of February of
13 2010?

14 A. Yes, I've seen -- I look back at -- I
15 think this is in my testimony. I looked at -- back
16 in 2002 to 2004. That was the last time that the Fed
17 kept the -- the Fed Fund rate at about 1 percent.
18 And that was the last time the Fed was actually
19 concerned about deflation, and it kept, you know,
20 the -- the -- the LIBOR rates and the commercial
21 paper rates stayed at a low level for -- for about
22 three years.

23 COMMISSIONER KENNEY: That's it. Thank
24 you.

25 THE WITNESS: Thank you.

1 JUDGE PRIDGIN: Commissioner Kenney,
2 thank you. Commissioner Davis?

3 QUESTIONS BY COMMISSIONER DAVIS:

4 Q. Good morning, Mr. Murray.

5 A. Good morning, Commissioner Davis.

6 Q. What's been marked, filed and offered
7 into evidence as pages 6 through 42 of Staff's class
8 cost of service report, that's your testimony,
9 correct?

10 A. Yes.

11 Q. Okay. And you've also filed rebuttal
12 and surrebuttal testimony in this case, correct?

13 A. Yes.

14 Q. And this is your impartial testimony,
15 correct?

16 A. Yes.

17 Q. And just so we're clear -- I've got the
18 dictionary here. Impartial means not partial or
19 biased, unprejudiced; is that correct?

20 A. Yes.

21 Q. Are you okay with that definition?

22 A. I'm okay with that definition.

23 Q. All right. Mr. Murray, can you -- do
24 you have your Staff's class cost of service study
25 there with you?

1 A. No, I do not.

2 COMMISSIONER DAVIS: Can someone be
3 generous and provide Mr. Murray with a copy?

4 THE WITNESS: I'm sorry. You're --
5 you're talking about --

6 MR. THOMPSON: Yes, yes.

7 BY COMMISSIONER DAVIS:

8 Q. You got your --

9 A. Okay. I'm sorry. Yes, I do.

10 Q. You've got the class cost of service
11 study and the appendices?

12 A. Yes, I do. That's correct, sir.

13 Q. Okay. Can you turn to page 28 and 29?

14 A. Yes.

15 Q. Okay. Now, in selecting your proxy
16 group, you started with a list of 11 utilities that
17 was covered by Edward Jones in their natural gas
18 industry summary, correct?

19 A. Yes.

20 Q. Would you agree with me that there are
21 more than 11 natural gas utilities in the United
22 States, distribution utilities?

23 A. I'm not sure if I agree that they're
24 pure play natural gas utilities.

25 Q. Okay. But you agree that they're --

1 well...

2 A. I agree they may have -- they may have
3 some --

4 Q. Okay.

5 A. -- natural gas utility operations, but
6 I'm not sure that they would be pure play.

7 Q. Okay. But in fact, are the utilities in
8 your proxy group pure play?

9 A. Pure play as we can get in the -- in the
10 environment. Like I said --

11 Q. Because you said -- because you've said
12 in your testimony --

13 A. Yeah.

14 Q. -- that your proxy group is different,
15 that when you're going with the MGE hypothetical, it
16 is a pure play but your proxy group is not, correct?
17 That was your testimony, wasn't it?

18 A. I'm sorry. Please ask the question
19 again.

20 Q. In -- in -- in your testimony, I believe
21 it was on either rebuttal or surrebuttal, you talked
22 about how MGE's -- the hypothetical or MGE that's
23 standalone from Southern Union is, in fact, a pure
24 play utility and that the utilities in your proxy
25 group are not so much pure play and that they have

1 other unregulated activities that make them, in fact,
2 riskier than MGE's hypothetical, correct?

3 A. Than -- than -- than MGE itself, that's
4 correct.

5 Q. Okay. All right. Mr. Murray, did you
6 review Mr. Lawton's testimony?

7 A. Yes, I did.

8 Q. Do you recall what criteria he used to
9 select his proxy group?

10 A. I know he looked at Value Line and
11 looked at their natural gas, a very general
12 classification for gas utilities. I -- I -- Value
13 Line is very broad.

14 Q. Right. Wasn't a nice number set of
15 criteria like yours on page 29, though, was it?

16 A. No, I -- I don't recall specifically
17 what he -- I just know he started the Value Line gas
18 utilities.

19 Q. Okay. Looking at page 29, lines --
20 lines 11 through 14, you see the -- the sequence of
21 numbers there?

22 A. Yes, and there's a mistake.

23 Q. There's a mistake?

24 A. One, two, three, four --

25 Q. Now --

1 A. -- five, six, seven.

2 Q. Yeah.

3 A. So I made a mistake.

4 Q. Eight -- eight should -- eight should be

5 seven?

6 A. Yeah, I'm sorry. I apologize.

7 Q. And was that -- was that mistake caused

8 when you were basically -- you took your -- your

9 testimony from the previous case and then were just

10 updating it for this case?

11 A. Yes. I probably looked at some other

12 factors because, you know, obviously --

13 Q. Right.

14 A. -- there's things like with the

15 companies, they change and the -- and a dynamics

16 change.

17 Q. So you're using -- you're not using the

18 same set of criteria to select your proxy group in

19 this case that you used in GR-2006-422, are you?

20 A. Not exactly the same, no.

21 Q. No. And in GR-2006-422, you didn't use

22 the same set of proxy group or comparable group

23 selection criteria that you used in Case

24 No. GR-2004-209, correct?

25 A. I believe that's correct. I don't

1 remember the specifics, but I believe -- I believe
2 that's correct.

3 Q. Okay. And so the proxy group selection
4 criteria that you used in this case, the 2009 case,
5 is also different from your -- from your 2004
6 selection criteria, correct?

7 A. Yes. And if you want me to look at some
8 specific ones, I can tell you which ones I've
9 changed.

10 Q. No, that's okay. You're okay.

11 A. Okay.

12 Q. So Mr. Murray, it's fair to say that in
13 the last three instances where you've provided
14 testimony with regard to cost of capital for MGE that
15 you've never used the same set of comparable group
16 selection criteria twice, have you?

17 A. In the last three MGE cases?

18 Q. The last three MGE rate cases where you
19 have provided cost of capital testimony, is it fair
20 to say that you have not used the same set of
21 comparable group selection criteria twice?

22 A. The exact same, that's correct.

23 Q. Okay. Now, can you go back to -- can
24 you go to schedule 9 in the appendix?

25 A. Yes.

1 Q. Okay. Now, when you compute a proxy
2 group capital structure there, you just take the
3 simple average of the capital structures, correct?

4 A. Yes.

5 Q. Okay. Now, would you agree with me --
6 well, first of all, did you -- did you compute a
7 weighted average of the capital structures?

8 A. It's weighted in the context of the
9 individual companies, but as far as the -- when you
10 go to the last column where it says "Simple average,"
11 it's a simple average of all seven companies.

12 Q. Right.

13 A. No capitalization, no higher
14 capitalization companies get more weight.

15 Q. In your analysis, correct?

16 A. That's correct.

17 Q. Okay. So if we had taken a weighted
18 average, we would have gotten a different number,
19 correct?

20 A. You would have had companies that are a
21 little larger -- I mean, you -- the larger companies
22 would have received more weight, that's correct.

23 Q. That's right. So if I had taken a
24 weighted average and come up with a average common
25 equity of 51 point -- I'm sorry. I'm going to have

1 to look at my -- yeah. If I would come up with a
2 common equity percentage of 51.88 percent, long-term
3 debt of 38.25 percent and short-term debt of
4 9.8 percent on a weighted basis, you'd have no reason
5 to dispute that, would you?

6 A. I would want to check your calculations,
7 but I have no reason to dispute that.

8 Q. Well -- well, how about you check --
9 check my calculations and get back to me?

10 A. Okay. Thank you.

11 Q. Okay. Now, let's go back to your direct
12 testimony. On page 25, you indicate that Southern
13 Union doesn't manage its finances separately from its
14 Panhandle subsidiary. You cited that issuance by
15 Panhandle is proof that Southern Union doesn't manage
16 its finances separately; is that correct?

17 A. Yes.

18 Q. Haven't we always known this to be the
19 case?

20 A. No.

21 Q. No. Okay. You hold that thought. Did
22 you listen to any of -- any of Mr. Hack's testimony
23 yesterday?

24 A. No, unfortunately. I was gone, sir.

25 Q. Okay. So do you know anything about

1 the -- the financial accounting standard No. 106, the
2 OPEB issue that Mr. Oligschlaeger has raised?

3 A. No.

4 Q. Okay. Okay. Now, on page 24, lines 18
5 and 19, you talk about Southern issuing -- Southern
6 Union issuing \$100 million of 6.089 percent secured
7 notes on February 16th, 2008, correct?

8 A. Yes.

9 Q. And the rest of the debt issued since
10 the last -- last rate case was issued by Panhandle,
11 correct?

12 A. Yes.

13 Q. Now, in calculating your cost of
14 long-term debt for your proxy group, you had a number
15 that I believe was, what, 5.92, is that --

16 A. Yes.

17 Q. That's right? So the actual cost of
18 that debt was only 17 basis points away from the debt
19 of your proxy group, correct? That 100 million
20 issued by...

21 A. Oh, the 6.089, but that was just one
22 debt issue.

23 Q. I -- I understand.

24 A. I understand, yes. Yeah, that's
25 correct.

1 Q. That one debt -- that one debt -- debt
2 issue, so --

3 A. Yes.

4 Q. Okay. Now, we go -- go to the Panhandle
5 issue. They issued 7 percent senior notes and
6 Southern Union in turn used those proceeds to pay off
7 some notes to retire about another \$425 million in
8 debt, correct?

9 A. Yes.

10 Q. Okay. And you would agree with me
11 that -- that 7 percent is about 75 basis points above
12 the -- the actual cost of debt for MGE -- or for
13 Southern Union, correct?

14 A. I think it's probably more like 85, but
15 that's pretty close, yes.

16 Q. Pretty close, okay. Now, line 14 of
17 page 25, you say that this is -- this is -- this is
18 the new information, correct?

19 A. Yes.

20 Q. Okay. And you've stated previously that
21 MGE -- that this is a new concept that MGE has not
22 been intermingling the funds of its subsidiary and
23 its divisions and everything; is that correct?

24 A. Yes.

25 Q. And you go on to say, "Because

1 performing such an approach would require debate on
2 which debt to include in the cost of debt and whether
3 the cost of this debt should be adjusted to consider
4 Southern Union's lower credit rating, Staff believes
5 the parties and the Commission's time would be more
6 efficiently spent debating the proper hypothetical
7 capital structure methodology as well as determining
8 a reasonable allowed ROE for a regulated natural gas
9 utility"; is that correct?

10 A. Yes.

11 Q. So Mr. Murray, you're here today to tell
12 me that a group of people, being the Staff, that's
13 willing to file testimony in this case three feet
14 high is afraid of a little hard work, is that what
15 you're telling me?

16 A. No.

17 Q. Okay. Are you telling me that a person
18 like yourself who -- who studies every nuance of
19 detail related to ROE and capital structure doesn't
20 want to go to the trouble of having a debate?

21 A. No.

22 Q. You're not pulling my leg, are you
23 Mr. Murray?

24 A. No.

25 Q. That's a figure of speech. Okay. Now,

1 you did say -- it is fair to say that in employing
2 the actual capital structure, you would have to
3 debate whether the cost of debt should be adjusted to
4 consider Southern Union's low credit rating, correct?

5 A. Yes.

6 Q. And that's one of the reasons why you'd
7 rather spend your time arguing about what a good gas
8 utility ought to be earning, correct?

9 A. Yes. And let me -- if you -- can I
10 explain one thing here? Some of this has to do with
11 experience with Aquila over the years. As you've --
12 as you've probably -- as everybody is aware, the --
13 with Aquila, we've dealt with these debt assignments
14 and which may be based on a spot rate as of any given
15 point in time.

16 And -- and while we all have, you know,
17 our -- our opinions on -- on maybe the proper way
18 to -- to -- to reduce, adjust the cost of debt
19 because of all these other activities that whether
20 fortunately or unfortunately these companies get
21 into, you know, we -- it is not a mechanical
22 calculation. I think a lot of the textbooks that
23 we've -- you know, that have been mentioned in the
24 utility ratemaking setting, you know, anticipated
25 mechanical calculations of debt.

1 And to the extent that -- to the extent
2 that the risk profile of these entities are affected
3 by other operations, not only is ROE going to be
4 something that is a matter of judgment, now it's
5 going to be the cost of debt which becomes artful and
6 you can have a variety of adjustments to that.
7 And -- and -- and Staff has experienced that with
8 Aquila over the years, and in my opinion gained some
9 wisdom from that.

10 Q. Okay. Now, Mr. Murray, we've
11 established previously that you provided direct,
12 rebuttal and surrebuttal testimony in MGE's rate case
13 GR-2004-209, correct?

14 A. Yes.

15 Q. Okay. I'm going to read to you a quote
16 from page 22 of your direct testimony for those of
17 you who are paying attention.

18 MR. THOMPSON: Direct testimony in this
19 case?

20 COMMISSIONER DAVIS: Direct testimony --
21 no, no. This is from the 2004-209 case,
22 Mr. Thompson.

23 MR. THOMPSON: Thank you, sir.

24 BY COMMISSIONER DAVIS:

25 Q. Before we get there, Mr. Murray, do you

1 write your own questions in -- in -- in this
2 testimony, direct, rebuttal and surrebuttal, do you
3 write your own questions?

4 A. Yes. Some of those questions may have
5 been carried on from other testimonies, you know,
6 but -- but -- but I agree to them before I --

7 Q. Okay.

8 A. -- accept them.

9 Q. All right. Why didn't -- here's the
10 question: "Why didn't you utilize the preceding
11 capital structure for purposes of your recommended
12 rate of return in this case?"

13 "A, Answer: Southern Union's divisions
14 receive capital from the corporate treasury, and this
15 corporate treasury can have various mixes of capital
16 in it at any given point in time with debt proceeds
17 from various debt issuances. Therefore, it is
18 appropriate to utilize Southern Union's consolidated
19 capital structure, if it is reasonable, because it is
20 verifiable and represents how Southern Union's
21 divisions are capitalized.

22 "Additionally, Southern Union's credit
23 rating is a function of its consolidated capital
24 structure, not on the hypothetical of what Southern
25 Union might be if one tried to exclude the Panhandle

1 operations. S&P does not evaluate the
2 creditworthiness of Southern Union's natural gas
3 distribution operations on a standalone basis because
4 they are not subsidiaries that issue their own debt.

5 "Therefore, no objective analysis has
6 been performed that would indicate if a 15.42 percent
7 common equity ratio for natural gas distribution
8 operations would be appropriate for a triple B-rated
9 natural gas distribution company. If Southern
10 Union's natural gas distribution operations were spun
11 off into their own subsidiary and this subsidiary
12 were ringfenced from the rest of Southern Union's
13 operations, then it may be possible to analyze the
14 capital structure of Southern Union's natural gas
15 distribution operations and determine if credit
16 rating agencies believe the capital structure is
17 adequate for an investment grade credit rating."

18 That was your testimony then, correct?

19 A. Yes. Was that surrebuttal or rebuttal,
20 I'm not --

21 Q. No. That was direct. We'll get to
22 rebuttal here in just --

23 A. Okay.

24 Q. -- we'll get to rebuttal here in just a
25 minute.

1 A. Thank you.

2 Q. Okay. Now we're going to go to your
3 rebuttal testimony. Okay. Do you recall your
4 rebuttal testimony in GR-2004-209, page 11, when you
5 were speaking to this Commission regarding the
6 appropriateness of using Southern Union's actual
7 capital structure?

8 You noted that in the two previous
9 Aquila rate cases, Cases No. ER-2004-34 and
10 ER-2001-672, you said, "If MPS were a subsidiary of
11 Utilicorp and it issued its own debt capital, then
12 the MPS capital structure would be a reliable capital
13 structure because MPS would have its own capital
14 structure."

15 A. Yes, sir.

16 Q. Okay. Mr. Murray, is MGE a subsidiary
17 or division of Southern Union?

18 A. A division.

19 Q. Okay. Okay. Let's go to your
20 surrebuttal testimony in that case. Page 36,
21 starting with line 1. "Are there any sources that
22 you are familiar with that give some guidance as to
23 when one might recommend the consolidated capital
24 structure?

25 "Answer: Yes. In David C. Parcell's

1 book, The Cost of Capital: A Practitioner's Guide,
2 the following guidance is given to help determine if
3 a consolidated capital structure is appropriate or if
4 a subsidiary capital structure is appropriate.

5 "'Subsidiary versus consolidated capital
6 structure. Many utilities are subsidiaries of other
7 companies which can be holding companies, other
8 utilities or diversified companies. When a utility
9 is a subsidiary of another firm, the question
10 frequently arises as to whether the proper ratemaking
11 capital structure is represented by the utility or
12 its parents.

13 "'Among the considerations which help
14 determine whether the utility versus parent capital
15 structure is appropriate are, one, whether subsidiary
16 utilities obtain all of its capital from its parents
17 or issues its own debt and preferred stock; two,
18 whether parent guarantees any of the securities
19 issued by the subsidiary; three, whether a
20 subsidiary's capital structure is independent of its
21 parents, i.e., existence of double leverage, absence
22 of proper relationship between risk and leverage of
23 utility and nonutility subsidiaries; four, whether
24 parent or consolidated enterprises diversified into
25 nonutility operations.'

1 "Question: Isn't the above reference
2 addressing whether to use a subsidiary capital
3 structure or a consolidated capital structure rather
4 than a capital structure for a division such as MGE?

5 "Answer: Yes. However, I believe this
6 provides even stronger support for the use of the
7 consolidated capital structure because divisions,
8 unlike subsidiaries, aren't even separate legal
9 entities that issue their own capital. This supports
10 why Staff has applied the consolidated capital
11 structure when recommending a rate of return for the
12 divisions of the operating companies as Staff has
13 done for Aquila's Missouri operating divisions in the
14 past." Do you recall those statements?

15 A. Yes.

16 Q. Okay. Mr. Murray, since Southern Union
17 acquired MGE in 2003, has MGE issued any of its own
18 debt?

19 A. Southern Union acquired MGE in 2003 or
20 is it 1995?

21 Q. I don't know. Well, has MGE issued any
22 of its own debt since Southern Union acquired it?

23 A. No.

24 Q. Okay. And Mr. Murray, you've testified
25 here in this case that MGE's comparable companies

1 would have most likely issued debt in the period
2 since MGE's last rate case, didn't you?

3 A. Yes.

4 Q. Okay. Just a second, Mr. Murray. Okay.

5 This is from your rebuttal testimony, Case
6 No. GR-2004-209, page 11, line 20. "Question: What
7 capital structure currently supports Southern Union's
8 investment grade credit rating? Which is the credit
9 rating that is associated with the cost of Southern
10 Union's debt that is charged to MGE ratepayers?

11 "Answer: Southern Union's on a
12 consolidated basis including Panhandle.

13 "Question: What capital structure will
14 support Southern Union's credit rating in the future?

15 "Answer: Southern Union's on a
16 consolidated basis. Therefore, this is the
17 appropriate capital structure to use in this case for
18 ratemaking purposes."

19 Okay. Now let's go to line -- we're
20 going to go to page 16 of your rebuttal testimony,
21 lines 12 through 20. "Question: Did you make any
22 adjustments to your cost of debt to take into
23 consideration the fact that your comparable group of
24 natural gas utility companies had an average credit
25 rating of an A versus Southern Union's triple B

1 credit rating?

2 "Answer: No, because I recommended
3 Southern Union's actual consolidated capital
4 structure as of the end of the update period.
5 Because Southern Union is still rated investment
6 grade, this capital structure is appropriate for
7 ratemaking purposes. If I had used a capital
8 structure that was less leveraged than Southern
9 Union's capital structure, then I would have had to
10 consider making a downward adjustment to my
11 recommended embedded cost of long-term debt."

12 Mr. Murray, is Southern Union still
13 investment grade today?

14 A. Yes, they are.

15 Q. Okay. Now, here's a question, page 16,
16 your rebuttal testimony in the 2004 case, lines 21
17 through 23. "Did you make any adjustments to your
18 cost of common equity recommendation to take into
19 consideration that your proxy group had a better
20 credit rating than Southern Union?

21 "Answer: Yes, I made an upward
22 adjustment of 32 basis points to my cost of common
23 equity recommendation for MGE to take into
24 consideration the risk differential between the risks
25 that are associated with Southern Union and its more

1 leveraged capital structure versus the comparable
2 group that I use." Do you recall that statement?

3 A. Yes.

4 Q. Okay. Now we're going to go to page 21,
5 line 19. There's another statement from you,
6 Mr. Murray. "Actually, it is because Southern Union
7 has a triple B credit rating that I decided to make
8 an adjustment to my proxy group cost of common equity
9 because the average credit rating of my comparable
10 group was A. The difference in credit ratings
11 indicates that investors will expect a higher rate of
12 return because of the increased risks associated with
13 Southern Union." Is that a correct statement,
14 Mr. Murray?

15 A. Yes.

16 Q. So when using the actual capital
17 structure in the 2004 MGE rate case, you recommended
18 an upward adjustment of 32 basis points to your cost
19 of common equity to account for the differences
20 between your proxy group and the actual capital
21 structure of SUG, correct?

22 A. Due to the credit rating differences. I
23 want to specify --

24 Q. Uh-huh, okay.

25 A. -- yes, yes, but I did recommend an

1 upward adjustment due -- due to the credit rating
2 differences, yes.

3 Q. Right.

4 A. Which --

5 Q. And that was the -- and that was the
6 difference between A-rated utility bonds and
7 triple B-rated utility bonds, correct?

8 A. Yes. And that -- and that -- because at
9 the time, Southern Union was still predominantly a --
10 a natural gas distribution/transportation company.

11 Q. Okay.

12 A. So I think -- I think it's attributed a
13 lot to the financial risk because they do have a
14 different capital structure. There's no doubt that
15 Southern Union has always had a more leveraged
16 capital structure than natural gas distribution
17 utilities.

18 Q. All right. Thank you, Mr. Murray.
19 Mr. Murray, do you know what the spread is between
20 A-rated utility bonds and triple B-rated utility
21 bonds today?

22 A. It -- it was higher, it's coming down.
23 I don't know what it is right -- as of right now. I
24 think at times it -- it was brutal. It was quite
25 high at the end of '08, extremely high. I think I --

1 actually, I mentioned that in my testimony, if I
2 recall correctly.

3 Q. Right. Does the Public Service
4 Commission have a subscription to Value Line?

5 A. Yes, we do.

6 Q. And you rely on Value Line Investment
7 Services in preparing your testimony, do you not?

8 A. Yes. And actually, I did look at this
9 just recently. These are spot yields, and -- and as
10 we've talked about, you want to be careful with spot
11 yields. But as of 10/21/09, according to Value Line,
12 the spot yield as -- was 6.16 for -- for triple B and
13 5.53 for single A.

14 Q. Okay.

15 A. So you're talking about 60 -- you know,
16 over 60 basis points.

17 Q. And -- and -- and what was it a year
18 ago?

19 A. You had --

20 Q. Doesn't Value Line, if you get the
21 paper, get you -- you get three columns? You get one
22 for current, one for --

23 A. Three months ago, a year ago, you're
24 right. A year ago it was, wow, only five basis
25 points. That was spot yield, mind you. I mean, so

1 have my copy, but I don't have any others.

2 BY COMMISSIONER DAVIS:

3 Q. Okay. Looking at, I guess this would be
4 page -- page 3, it would be the actual revenue
5 requirement reconciliation, line 6. The -- the
6 revenue requirement value of return on equity is
7 listed as approximately \$5,034,947, correct?

8 A. Yes.

9 Q. Okay. And the difference in terms of
10 basis points in the revised reconciliation is the
11 difference between Mr. Hanley's 10.5 and your 9.5
12 percent return on equity, correct? It would be 100
13 basis points, correct?

14 A. Yes.

15 Q. Okay. So if we divide 5 million by 100,
16 we can determine that roughly every basis point is
17 worth approximately \$50,000, correct?

18 A. Yes.

19 Q. Okay. So if every basis point is worth
20 \$50,000 and if we assume that today the difference
21 between A-rated utility bonds and triple B-rated
22 utility bonds is 60 basis points, and we applied that
23 to the same logic you used in the 2004 MGE rate case,
24 MGE would be entitled to a \$3 million adjustment for
25 a difference in the comparable group size if we were

1 using MGE's actual capital structure, correct?

2 A. Yes, but there would be some offset on

3 the capital structure, I believe, so...

4 Q. Yes, yes.

5 A. Yeah. So -- but yes, I mean, that's --

6 Q. Right.

7 A. -- the value of the ROE --

8 Q. So it would be -- that would be

9 \$3 million gross -- no -- yeah, gross before you --

10 and then you'd have to net out the change in the

11 capital structure, correct?

12 A. Yes, because that would apply to --

13 Q. Yeah.

14 A. -- I'll accept OPC's equity ratio of

15 39 percent, I believe it is, somewhere around there.

16 Q. All right. All right. Can we go back

17 to schedule 10 in the Staff cost of service appendix?

18 Okay. And do you -- do you have a revised

19 schedule 10 in either your rebuttal or surrebuttal

20 testimony?

21 A. No. It's -- I didn't make any changes.

22 Q. Okay. All right. Well, Mr. Murray, the

23 first company you have listed there is AGO Resources,

24 Incorporated, correct?

25 A. Yes.

1 Q. And so what you do is you divide the
2 interest expense in column 3 by the amount of
3 outstanding debt to get the -- the average or the
4 state of -- stated cost of long-term debt in
5 column 4, correct?

6 A. Yes.

7 Q. Okay.

8 A. Those -- yes, that's correct.

9 Q. Okay. Now, Mr. Murray, do you have a
10 calculator?

11 A. Actually, I think I do, yes.

12 Q. Okay. Let's go down and look at the
13 totals. If we divide 403,672 by 6,675,515, what
14 number do you get?

15 A. That's 6.05 percent. That's a weighted
16 average.

17 Q. That's a weighted average, okay. But
18 that's different than the 5.82 percent that you have
19 on your page, correct?

20 A. That's a simple average, that's correct.

21 Q. Okay. Then you allow ten basis points
22 for issuance costs, do you not?

23 A. Yes.

24 Q. Okay. So if we added ten basis points
25 to the weighted average, we'd get 6.15 percent, would

1 we not?

2 A. Yes.

3 Q. Okay. And am I correct in recalling
4 that Mr. Hanley testified that Southern Union's
5 actual average cost of long-term debt is a percentage
6 with something like 6.258 percent; is that correct?

7 A. That's approximate. It's in the low
8 6 percent range.

9 Q. Okay. And would you agree with me that
10 6.15 percent is closer to 6.25 percent than it is to
11 your 5.92 percent?

12 A. Yeah, I think it's ten basis points
13 versus -- versus 23; is that right?

14 Q. Uh-huh. Now, let's go back and look at
15 column 4 here, the stated cost of long-term debt.
16 You've got seven utilities in your proxy group, so
17 you've got seven averages. What is the median of
18 that group?

19 A. It's the middlemost, so it would be
20 No. 4. So 5, if you want to rank them here, 1, 2, 3.
21 Sorry.

22 Q. That's all right.

23 A. 6.07 percent.

24 Q. 6.07 percent. And if we added ten basis
25 points for issuance cost, it would be 6.17 percent,

1 would it not?

2 A. Sure, yes.

3 Q. Okay. All right. Now let's move on to
4 your CAPM analysis. Your direct testimony indicates
5 that you believe that the constant growth DCF model
6 is the model to be used when calculating a utility's
7 cost of common equity, correct?

8 A. Yes.

9 Q. Now, you -- you did calculate the CAPM
10 analysis and then you disregarded it -- discarded it
11 because it yielded, quote, unreasonably low results,
12 correct?

13 A. Yes. It didn't influence my final
14 recommendation. I -- I -- I always take insight from
15 it, I don't just disregard it. But as far as my
16 ultimate recommendation, yes, you are correct.

17 Q. Okay. In your CAPM analysis, you use
18 two risk premiums, the arithmetic and the geometric,
19 and then you average those two results together,
20 correct?

21 A. Let me take a look at the specific
22 schedule. I didn't average the two results, I just
23 showed the two results.

24 Q. Okay. You just showed the two results.

25 A. Uh-huh.

1 Q. In the past have you averaged them?

2 A. I don't think I have.

3 Q. Okay.

4 A. You might know.

5 Q. Page 38 of your direct testimony,
6 lines 14 and 15, and also on schedule 16 of the
7 appendix, you indicate that the long-term arithmetic
8 average of historical return differences from 1926 to
9 2008 was 5.6 percent, correct?

10 A. 1926 to 2008, 5.6 percent, that's
11 correct.

12 Q. Okay. And that's the number that you
13 used for the arithmetic average in your calculations,
14 correct?

15 A. Yes.

16 COMMISSIONER DAVIS: Judge, I believe --
17 have we already had this admitted into evidence? I
18 believe we have, haven't we?

19 JUDGE PRIDGIN: Let me look. One page.

20 COMMISSIONER DAVIS: Hmm?

21 JUDGE PRIDGIN: Only one page.

22 COMMISSIONER DAVIS: Only -- only one
23 page, okay.

24 BY COMMISSIONER DAVIS:

25 Q. Well, Mr. Murray, I'm going to hand you

1 this book. Let see, it's already been marked. Now,
2 can you -- can you show me in that book where you get
3 the number 5.6 percent?

4 A. It might take a little bit because in
5 our department we use the classic yearbook. You guys
6 apparently have a different version of the Ibbotson
7 book. It might take me a little while to find if
8 the -- where the same information is at in this book.

9 Q. That's okay. Judge Pridgin doesn't look
10 hungry yet.

11 A. Yes, it's on page 23. That's the same
12 information that's in our book, but just in a
13 different format.

14 Q. Okay. Now, Mr. Murray, is it fair to
15 say that you go to -- go to table 21, or I guess it's
16 21 in the Ibbotson book. Apparently there's...

17 A. It's a different version.

18 Q. There's -- apparently there's different
19 versions, but in your citations to the Ibbotson book,
20 you don't say it's the classic version, do you?

21 A. 2009 yearbook, it's not the -- that's
22 just specifically called the Valuation Yearbook.

23 Q. Uh-huh.

24 A. The 2009 yearbook, no, I don't
25 specifically say the classic yearbook. I think

1 that's how -- they -- they are expanding more and
2 more and -- and -- and charging more and more for
3 some of these publications. And -- but the very, you
4 know, first publication that they -- really became
5 widely available was the classic yearbook. It's a
6 burgundy book.

7 Q. Okay. So you subtract the -- the
8 arithmetic mean for the large company stock total
9 returns of 11.7. You take -- that's your top number.
10 And then you subtract it -- subtract it. Is it the
11 long-term corporate bonds or the long-term government
12 bonds?

13 A. Government bonds.

14 Q. Okay. Long-term government bonds, total
15 returns, that's 5. -- 5.7 percent, correct?

16 A. Or was it 6. -- because it should be
17 5.6, 11.7 minus 6.1, right? Or did I miss something
18 there?

19 Q. Right. And you're using -- you're using
20 a 5.6 number for your arithmetic risk premium
21 calculation saying it represents the difference of
22 stocks over bonds from 2006 to 2008. And I'm still
23 trying to figure out how you get -- okay. Here we
24 go. Total returns -- okay. So you're -- you're
25 subtracting total return?

1 A. You were right, and I -- and I
2 apologize. You were right.

3 Q. Okay. So it's 11.7 minus 6.1, that's
4 5.6?

5 A. Yes.

6 Q. Now, is that the number that Ibbotson
7 recommends that you use for making that calculation?

8 A. Ibbotson -- no, no.

9 Q. No, it's not?

10 A. No.

11 Q. As a matter of fact, they just recommend
12 that you use the income portion, correct?

13 A. That -- that's correct.

14 Q. That's correct. So the actual
15 historical equity risk premium that Ibbotson uses is
16 6 and a half percent, correct, first time period?

17 A. I think it would be something higher.
18 I -- I don't recall because -- I don't even recall
19 that that income return is in -- in the classic book.
20 It's in this New Valuation edition.

21 Q. Uh-huh.

22 A. But it would be higher because the
23 income is going to be just a smaller portion of total
24 return.

25 Q. Okay. And -- and then obviously you

1 have the -- the same problem with your historical
2 equity risk premium that you calculate on a -- on a
3 geometric basis as well, that Ibbotson says the --
4 because Ibbotson only uses the income, they calculate
5 the value as 5.7 and you calculate the value as 3.9?

6 A. I would say that's their opinion. I
7 don't know if I would characterize it as a problem,
8 but yes, that's correct.

9 Q. So you rely on their -- you rely on
10 their data to make your calculations, but you don't
11 rely on their methodology, is that a fair statement?

12 A. Yes.

13 Q. Okay. All right. So let's take a step
14 back and look at your CAPM analysis one more time.
15 So your direct testimony, you cited that the
16 risk-free rate was a 30-year treasury bond, the yield
17 for July was approximately 4.4 percent. Then in your
18 surrebuttal you note that it was 4.37 percent in
19 August and 4.9 percent in September, correct?

20 A. Yes.

21 Q. Okay. So if we were just going to
22 average those numbers together, those last three
23 months --

24 A. It would be lower.

25 Q. -- it would be approximately 4.3

1 percent, is that --

2 A. I'll accept that.

3 Q. -- is that fair?

4 A. That's fair.

5 Q. Okay. Well, I mean, you do -- you do

6 that -- you do that analysis when you -- when you're

7 doing your DCF analysis --

8 A. Three -- three months?

9 Q. Uh-huh, in your average?

10 A. Yes. There's -- there's some logic

11 there, yes, without a doubt.

12 Q. I'm not disputing that there's some

13 logic there. Okay. So in schedule 16 you take the

14 Value Line beta for each of the seven companies in

15 your proxy group?

16 A. Yes.

17 Q. Okay. Now, each individual beta has a

18 weighted average, but again, you don't take the

19 weighted average of -- of the betas based on company

20 size, do you?

21 A. No. Simple average.

22 Q. Just a simple average. Okay. Now --

23 and your average for your proxy group was -- was .65,

24 correct?

25 A. .66.

1 Q. .66, okay. So if we multiplied that
2 number by the number that Ibbotson uses in the 2009
3 valuation yearbook that I have here, you would get
4 .66 times 6.5 percent, so we'd roughly get 4.29
5 percent, correct?

6 A. That's exactly correct.

7 Q. Okay. So if we add that number to the
8 4.3 percent for the risk-free rate, that would get us
9 roughly 8.59 percent?

10 A. That's correct.

11 Q. Okay. Now, if we're following the --
12 the Ibbotson formula, they suggest a size premium, do
13 they not?

14 A. Yes, they have a very generic --

15 Q. A very -- a very generic -- as a matter
16 of fact, Mr. -- Mr. Hanley noted it in his testimony?

17 A. Yes, and I'm not aware that this is done
18 in practice by investors, but -- but yes, that --
19 that -- that is what Ibbotson has.

20 Q. Right. And Ibbotson puts it in their
21 book, correct?

22 A. Yes, but I'm aware of other equity
23 analysts that disregard it because -- because they're
24 a monopoly.

25 Q. Right. But Mr. Hanley is an equity

1 analyst too, isn't he?

2 A. He doesn't make investment decisions.

3 He's the rate of return witness.

4 Q. Okay. But it's possible that equity

5 analysts do rely on it since it's in the book?

6 A. I haven't seen anything. I've seen to

7 the contrary.

8 Q. Okay. Okay. But let's just assume that

9 we are going to follow -- follow the book. The

10 average market cap of your proxy group is less than

11 1.85 billion, correct?

12 A. That's -- that sounds about right, yes.

13 Q. So if we were going to use what the book

14 says for a size premium, we'd either use the generic

15 1.7 percent adder for the low cap decile group or

16 we'd go one step further and make a 1.62 percent

17 adjustment because the average utility in that proxy

18 group would actually fall into the seventh decile,

19 wouldn't it?

20 A. I -- I can't -- I haven't looked at the

21 details of this.

22 Q. You can't -- okay. So if we did follow

23 Ibbotson's book and we made a size adjustment

24 corresponding to the size of your -- your proxy

25 group, you'd have no reason to -- to dispute that it

1 would be a 1.62 percent adder, correct?

2 A. I can't -- I have not looked at the
3 specifics of these numbers.

4 Q. Okay. Okay. But if we added 1.6
5 percent --

6 A. And -- and can I offer something up? If
7 there's concern about size, there's actually smaller
8 companies in a comparable group. If -- you know, if
9 you want to go directly to the market data, you can
10 go to those smaller companies --

11 Q. Uh-huh.

12 A. -- instead of relying on -- I mean, I
13 know there's a lot of theory. You know that --
14 what -- with the rate of return.

15 Q. Right.

16 A. And so, you know, I think there are
17 other methodologies. Ibbotson has its --

18 Q. Right.

19 A. -- you know, has its reasons. But yeah,
20 that is --

21 Q. Right.

22 A. -- that's -- that's a generic approach
23 for small-size risk premium.

24 Q. Okay. All right. So if we did -- we
25 did just follow the book, we'd add that in there and

1 then that would get us to approximately 10.2 percent.

2 If you add 1.6 to the -- to the 8.59, that would

3 roughly yield 10.19 percent, correct?

4 A. I'll -- I'll accept those numbers. Like

5 I said, I have not looked at the details.

6 Q. Okay. Now, if we were going to perform

7 a company-specific CAPM for -- for SUG, you know,

8 obviously they've got a much different beta --

9 A. Uh-huh.

10 Q. -- don't they?

11 A. Yes.

12 Q. Do you know what their Value Line beta

13 is?

14 A. It's higher than one. I don't recall

15 the --

16 Q. All right. So we could use maybe 1.05,

17 would that be a good -- do you think that would be a

18 good estimate?

19 A. For -- for an explanation, that's fine.

20 Q. Okay. So obviously on a

21 company-specific basis, if we just followed the --

22 the arithmetic numbers, multiplied 1.05 times 6.5

23 percent, you know, that gets us to roughly 6.8, you

24 know, add that to your -- to your risk-free rate of

25 4.3 percent, that would be 11.1 percent, correct?

1 A. Yes.

2 Q. Okay.

3 A. Let me -- and I'll have to -- I know

4 we've been going along with this process and I'm

5 thinking because -- because of the -- the income

6 return --

7 Q. Uh-huh.

8 A. -- the aspect of that -- that logic of

9 the CAPM, you know --

10 Q. You've got a copy of Dr. Moran's book,

11 don't you?

12 A. Yes, I do.

13 Q. And he -- and he says use income return.

14 A. Was that -- was that in the most recent

15 book or did he it say in the -- in the '94 book as

16 well?

17 Q. I know he -- I believe --

18 A. Did he change?

19 Q. I don't -- I don't know. Does he say it

20 in the most recent book?

21 A. I'll have to look. I mean, I don't

22 recall.

23 Q. But you can get back to us on that?

24 A. Sure.

25 Q. Okay. Okay. All right. Now, you use

1 both the arithmetic and the geometric mean in your
2 testimony, correct?

3 A. Yes.

4 Q. And that's despite the fact that you
5 insist that the geometric mean is more reliable?

6 A. Yes. And especially in certain markets
7 it's more reliable.

8 Q. Okay.

9 A. And certain types of investments it's
10 more reliable.

11 Q. All right. And so you've got the -- got
12 the Ibbotson book, but you don't rely on the data the
13 way Ibbotson recommends, do you?

14 A. The methodology is the way they
15 recommend. I would say that's accurate.

16 Q. Okay. Okay. Mr. Murray, do you think
17 some definitive guidance in the area of whether we
18 should use the arithmetic for the geometric mean
19 would be helpful? Do you think some definitive
20 guidance would be helpful?

21 A. I think it would be helpful, but we do
22 have to keep in mind the -- the -- what -- where the
23 markets are at. I -- I think that to the extent that
24 arithmetic is considered -- maybe given more weight
25 would depend on maybe some of the current volatility

1 in the market to the extent that investors, you know,
2 are opening up their statements saying, oh, my God,
3 what's going on? I mean, so the ups and downs of the
4 market are starting to impact them.

5 But if you -- if you remember, there's
6 many academics and investors that have said, hey,
7 invest for the long run. That's what you need to
8 keep in mind when you're looking at the risk of what
9 your ending net value is going to be in your
10 investment. Don't -- don't -- don't pay attention to
11 the year-to-year or quarter-to-quarter.

12 But you -- if you go on arithmetic
13 averages, you -- you can average it daily. The
14 arithmetic averages in Ibbotson are -- are yearly.
15 Who says that -- that investors look at it yearly?
16 They may look at it every seven years or what have
17 you.

18 So it's -- it's important to really
19 understand, you know, what type of investors you're
20 talking about. If you're investing for the long run,
21 then the geometric average, the -- you know -- well,
22 for instance, the MOSERS expected returns, the risk
23 premium that they are expecting are -- are -- are
24 requiring is based on their long run -- long run
25 market return expectations which is not an arithmetic

1 average.

2 Q. Are you done?

3 A. Yes.

4 Q. All right. Mr. Murray, I'm going to go
5 to your rebuttal testimony in Case No. GR-2006-422
6 that was the previous MGE rate case, page 23, line 2.
7 "As I mentioned in my direct testimony, the CFA
8 program is internationally recognized and considered
9 by many employers and investors as the, quote,
10 definitive standard for measuring competence and
11 integrity in the field of portfolio management and
12 investment analysis.

13 "Many individuals that are pursuing
14 their CFA designation may either work in the
15 investment field or intend to work in the investment
16 field. If these individuals employ a risk premium
17 estimate as used in these textbooks, their valuation
18 analysis will be based in part on historical
19 geometric average risk premiums."

20 A. That's correct.

21 Q. Do you recall making that statement?

22 A. Yes, I do.

23 Q. Now, Mr. Murray, you are a candidate for
24 the CFA designation, are you not?

25 A. I'm a level three candidate, that's

1 correct.

2 Q. You are a level three. So you've
3 already passed the first two tests, correct?

4 A. Yes.

5 Q. Okay. So are you familiar with the CFA
6 program curriculum?

7 A. Yes. Not as -- not as well as I'd like
8 to be, but yes, as far as level three. But hopefully
9 that will change this next year.

10 Q. Okay. And would you agree with me that
11 the publications put out by the -- by the CFA program
12 are authoritative sources in the investment field?

13 A. Yes.

14 Q. Mr. Murray, I'm going to read to you
15 from the CFA program curriculum. This is -- this is
16 volume one. This is the 2009 edition. You may --
17 you may have an older version.

18 A. Actually, they just gave out textbooks
19 back then. They didn't even bound [sic] them for us.

20 Q. Right. This is page 306, "Using
21 Geometric and Arithmetic Means. With the concept of
22 descriptive statistics in hand, we will see why the
23 geometric mean is appropriate for making investment
24 statements about past performance. We will also
25 explore why the arithmetic mean is appropriate for

1 making investment statements in a forward-looking
2 context." Do you agree with that statement?

3 A. Well, I -- that's a statement there, but
4 there's also other statements in the CFA curriculum
5 that say that geometrics should be used. And I have
6 not reviewed that. That's probably material that may
7 not have been in there whenever I took level one.
8 I'd have to verify --

9 Q. Okay.

10 A. -- that to be the case, and I don't know
11 who the author is of that.

12 Q. So let's go further here. This is the
13 next-to-last paragraph on the page. "In addition to
14 reporting historical performance, financial analysts
15 need to calculate expected equity risk premiums in a
16 forward-looking context. For this purpose, the
17 arithmetic mean is appropriate." Do you agree or
18 disagree?

19 A. It depends on the situation.

20 Q. Okay.

21 A. And I am curious about the change in the
22 curriculum because I -- I provide citations in my
23 testimony that indicate that the geometric mean
24 should be used, and that's, you know, from some other
25 sort of -- Reilly, Brown, maybe Demoterin [phonetic]

1 spelling], a couple others. So CFA is obviously, you
2 know, changing some of their curriculum if that's
3 something that is in there.

4 Q. All right. Now, you recall in your --
5 in your rebuttal testimony that page 19, line 16, the
6 question is asked, "Should Mr. Hanley's B -- DCF be
7 adjusted for MGE's small size?" Do you recall asking
8 yourself that question?

9 A. Yes, I do.

10 Q. Okay. Then on page 19, lines 21 through
11 22 and page 20, lines 1 through 10, you cite an
12 article by Dr. Annie Wong, associate professor at
13 Western Connecticut State University that was
14 published in the Journal of Midwest Finance
15 Association, volume 22. And you stated on lines 1
16 and 2 of page 20 that, "The article refutes the need
17 for an adjustment based on the smaller size of public
18 utilities," correct?

19 A. Yes.

20 Q. Okay. Mr. Murray, I mean, you talked
21 about citations. I mean, do you -- do you consider
22 the way you cited that article a proper citation?

23 A. I cited the source and the volume, I did
24 not cite the dates, so maybe I should have cited the
25 date. So I apologize for not putting that in there.

1 Q. Do you -- do you recall when the article
2 was published?

3 A. In the '90s.

4 Q. Okay. 1993, does that sound right?

5 A. That sounds about right.

6 Q. Okay. Do you have a copy of the
7 article?

8 A. Yes, I do.

9 Q. Okay. So you'd know what it looks like,
10 then?

11 A. Yes.

12 (EXHIBIT NO. 99 WAS MARKED FOR
13 IDENTIFICATION BY THE COURT REPORTER.)
14 BY COMMISSIONER DAVIS:

15 Q. Mr. -- excuse me -- Mr. Murray, is that
16 the complete article?

17 A. Yes.

18 Q. Okay. Could you please turn to the --
19 the last page of text, and could you read the entire
20 conclusion which includes but is not limited to
21 the -- the excerpt that you use in your rebuttal
22 testimony?

23 A. You mean the entire section 6,
24 "Concluding Remarks"?

25 Q. Uh-huh.

1 A. Okay. "The fact that the two samples
2 show different, though weak, results indicates that
3 utility and industrial stocks do not share the same
4 characteristics. First, given firm size, utilities'
5 stocks are consistently less risky than industrial
6 stocks. Second, industrial betas tend to decrease
7 with firm size, but utility betas do not.

8 "These findings may be attributed to the
9 fact that all public utilities operate in an
10 environment with regional monopolistic power and
11 regulated financial structure. As a result, the
12 business and financial risk are very similar among
13 utilities regardless of their sizes. Therefore,
14 utility betas would not necessarily be expected to be
15 related to firm size.

16 "The objective of this study is
17 determined if the size effects exist in the utility
18 industry. After controlling for equity values,
19 there's some weak evidence that firm size is a
20 missing -- missing factor from the CAPM for the
21 industrial but not for utility stocks. This implies
22 that although the size phenomenon has been strongly
23 documented for the industrials, the finding suggests
24 there's no need to adjust for the firm's size in
25 utility rate regulations."

1 Q. Okay. Can you -- can you hand that
2 back, please? So Mr. Murray, in including this quote
3 in your rebuttal testimony, is it fair to say that
4 you left out the -- the first sentence that says --
5 the first sentence of the Concluding Remarks that
6 says, "The fact that the two samples showed
7 different, though weak, results indicates that
8 utility and industrial stocks do not share the same
9 characteristics"?

10 A. Yes.

11 Q. Okay. And you also left out the -- I
12 guess it would be the last sentence that says, "after
13 controlling for equity values, there's some weak
14 evidence that firm size is a missing factor from the
15 CAPM for the industrial but not for the utility
16 stocks."

17 A. Yes.

18 Q. Okay. Is that the work of an impartial
19 witness?

20 A. It's evidence -- evidence that refutes a
21 generic study. I -- I mean, what are -- it's weak
22 evidence or -- or -- or evidence that calls that into
23 question whatsoever is -- is something that I think
24 is -- is important to -- to provide and response to a
25 very generic small size utility -- or not -- a small

1 size risk premium adjustment that's based on
2 companies that are in the competitive market.

3 I just wanted the Commission to be aware
4 that there have been things looked at when -- when
5 you're looking at a specific competitive market. The
6 Ibbotson book is very generic as far as cost of
7 capital.

8 And -- and also, you know, I'd like to
9 point out once again that I've reviewed actual
10 investment analysts that -- that do not make a small
11 size risk premium adjustment because they're
12 monopolies, and so it's done in practice. And these
13 are the investors.

14 Q. Okay. And basically your argument is
15 that based on this article, a size premium is
16 inappropriate for -- for a public regulated utility,
17 correct?

18 A. Yes.

19 Q. Does this article really demonstrate
20 that or is a more accurate way to phrase it that it
21 demonstrates that in the model used by Mrs. Wong, she
22 could not find any evidence of a size differential
23 for utilities?

24 A. In the model used, I -- I agree with
25 that statement.

1 Q. Okay. Have you ever reviewed the -- the
2 literature regarding this article to see if anyone
3 has attempted to verify Ms. Wong's results in the
4 last 16 years since its publication?

5 A. I don't recall anything offhand, no.

6 Q. So you're not aware of any testimony or
7 articles refuting Mrs. Wong's conclusions?

8 A. The testimony in this case from
9 Mr. Hanley, of course, but other than that, I
10 don't -- I don't recall anything specific.

11 Q. Do you know Thomas Zepp?

12 A. Thomas Zepp. The name doesn't ring a
13 bell.

14 Q. Okay. Okay. So you're not aware that
15 he wrote an article entitled "Utility Stocks and the
16 Size Effect Revisited," published in The Quarterly
17 Review of Economics and Finance in 2003, you're not
18 aware of that study, are you?

19 A. No.

20 Q. Okay. Wong relies -- I'm -- I'm going
21 to -- I'm going read to you a statement. "Wong
22 relies on Berry and Brown, 1984, and Brauer to
23 suggest the small firm effect may be explained by
24 differences in information available to investors of
25 small and large firms.

1 "She states that the requirements of
2 file reports and information generated during
3 regulatory proceedings indicate the same amount of
4 information is available for large and small
5 utilities. And thus, if the differential information
6 hypothesis explains the small firm effect, then the
7 uniformity of the information available among utility
8 firms would suggest the size effect should not be
9 observed in the utility industry." Do you agree with
10 that statement?

11 A. Yes.

12 Q. Okay. "But contrary to the facts she
13 assumes, there are differences in information
14 available for large and small utilities, more parties
15 participate in proceedings for large utilities and
16 thus generate more information." Do you agree with
17 that statement?

18 A. Yes.

19 Q. Okay. "Also in some jurisdictions,
20 smaller utilities are not required to file all of the
21 information that is required of larger firms." Is
22 that a fair statement?

23 A. Yes.

24 Q. "Thus, if the small firm effect is
25 explained by differential information contrary to

1 Wong's hypothesis, differences in available
2 information suggest there is a small firm effect in
3 the utility industry. Wong did not discuss other
4 potential explanations of the small firm effect for
5 utilities." Do you agree with that statement?

6 A. I can't answer that.

7 Q. Okay. You think -- are you familiar
8 with the concept thin trading bias?

9 A. Please -- I mean, it's something fairly
10 general. I don't -- something -- thin trading bias,
11 are you talking about the risk premium or --

12 Q. I'm talking about the fact that because
13 a small utility is so small, many of its investors
14 may, in fact, be -- be local owners and not
15 institutional investors because there's not enough of
16 the stock for the institutional investors to buy;
17 therefore, the stock is not traded actively;
18 therefore, it has a low beta. Are you familiar --

19 A. I'm not aware of the beta aspect, and I
20 do -- I do know about the liquidity premium. I mean,
21 obviously, you know --

22 Q. Because the beta is a measure of the
23 correlation with the -- with the -- the average stock
24 market, correct?

25 A. Covariance of the market is divided

1 by --

2 Q. Yeah.

3 A. -- the variance of the market.

4 Q. Okay. All right. Well, you're not --
5 okay. Did you analyze Wong's imperial -- empirical
6 results?

7 A. I analyzed the article that you provided
8 to me. As far as any follow-up, I have not reviewed
9 that.

10 Q. Do you agree with Zepp's conclusion that
11 her empirical results are not strong enough to
12 include that beta risks of utilities are unrelated to
13 size?

14 A. I don't have an opinion on that right
15 now.

16 Q. Okay. Do you recall what -- what
17 approach Wong used to estimate how well firm size and
18 beta explained future returns in her -- in her
19 periods of time that she used?

20 A. For cost, she did some -- she did a
21 regression analysis, I mean, a fairly standard
22 statistical analysis.

23 Q. All right. Okay. So you have no idea
24 to know whether Zepp's conclusion is -- well, first
25 of all, Zepp's conclusion is that the result is

1 speaking -- in his analysis he reached a result that
2 was statistically significant at the 90 percent
3 level. In terms of the issue being addressed by
4 Wong, the 99 basis could be the result of differences
5 in beta risk, the small firm effect or some
6 combination of the two?

7 A. I -- like I said, I -- I have not had a
8 chance to look at that.

9 Q. Haven't had a chance, okay. Let me ask
10 you one more question here. His conclusion. "Wong's
11 concluding remarks should be reexamined and placed in
12 perspective. She noted -- noted that industrial
13 betas tend to decrease with increases in firm size,
14 but the same relationship is not found in every
15 period for the utilities." Would you -- would you
16 agree that the -- she did not find the same
17 relationship in every period for the utilities?

18 A. I don't -- I don't recall her specific
19 finding. I do recall -- I mean, I'll just talk about
20 some general knowledge here. I do recall Jeremy
21 Siegel looking at some of the small size impacts and
22 what have you, so the -- you know, the period of time
23 selected is -- is -- it's very important.

24 Q. Right.

25 A. And I -- and I -- I think I recall 1970s

1 to 1980s that Jeremy Siegel had questioned whether or
2 not there was a small size effect even in -- in -- in
3 the competitive market. So I mean, just like with
4 anything else in rate of return, there's lots of
5 differing opinions, I understand that.

6 Q. Right. So if she had used longer time
7 intervals, she might have reached a totally different
8 result; is that -- is that fair?

9 A. I'd have to look at the data. I -- I...

10 Q. Okay. Mr. Murray, going back to your
11 rebuttal testimony, page 20, line 17 through 24, you
12 ask yourself has Staff reviewed information in other
13 rate cases that provide support that the size
14 adjustment is not made in practice by investors;
15 is -- is that correct?

16 A. Yes.

17 Q. And you cited a Duff & Phelps study to
18 support your position?

19 A. Yes.

20 Q. And you were the witness who proffered
21 that testimony, were you not?

22 A. Yes, I was.

23 Q. Mr. Murray, are you an accountant?

24 A. No, I am not.

25 Q. Okay. And the study conducted by Duff &

1 Phelps was, in fact, an asset impairment test
2 performed to ensure compliance with one of the -- the
3 FS -- FAS standards, correct?

4 A. Yeah, asset and fair -- fair value type
5 of analysis, yes.

6 Q. Yeah. What is asset impairment testing?

7 A. It's to determine whether or not the
8 value of an asset has -- has decreased to a point
9 where you need to write that down and you have to use
10 discount rates to determine what you think the fair
11 value is in order to determine what is the
12 appropriate write-down.

13 Q. Okay. So what Duff & Phelps was
14 actually testing for was to determine if the
15 recoverable amount of an asset was less than the
16 amount being carried on the books?

17 A. Yes.

18 Q. And if that occurs, then the asset is
19 impaired and the asset's carrying amount has to be
20 reduced to the recoverable amount, correct?

21 A. Yes.

22 Q. Okay. Now, you agree that the asset
23 impairment test that Duff & Phelps conducted was for
24 the period of January 2003 through December 2005?

25 A. I don't recall specific dates, but

1 there -- there is some things in -- in -- in that
2 case where -- it was confidential information, so I
3 want to be careful. Now, I'm -- I'm just providing
4 this as --

5 Q. Right.

6 A. -- as -- so as far as the specific
7 dates, it had to do with the period of time when they
8 were evaluating American Water assets before they --
9 RWE was -- was spinning them off.

10 Q. Okay.

11 A. Or partially spinning them off, excuse
12 me.

13 Q. Do you know if the test was a
14 prospective or a retrospective test?

15 A. Well, if you determine the value of an
16 asset, it would really need to be prospective
17 because, you know, that's the value as of -- that
18 you'd be carrying on the books. But -- but as you
19 pointed out, I'm not an accountant --

20 Q. Right.

21 A. -- and so if there's specific
22 accounting rules that --

23 Q. So if they used -- they used historical
24 data, you wouldn't -- you wouldn't know, then,
25 correct?

1 A. No.

2 Q. Okay. All right. And talk about --
3 you -- was the asset impairment test, was that
4 performed for ratemaking purposes, do you think?

5 A. Not that I'm aware of.

6 Q. Okay. And you would agree that in
7 ratemaking, you know, we look at the -- the current
8 and expected capital market conditions, correct?

9 A. Yes.

10 Q. Do you think that the market conditions
11 in 2003, 2004, 2005 accurately reflect current
12 investor expectations?

13 A. Well, I -- the -- the debate on a small
14 size effect has occurred over many years, and that
15 doesn't change regardless of what the capital markets
16 are. I told you that as far as geometric versus
17 arithmetic, I think you need to reevaluate that based
18 on the capital market situation. But the small size
19 effect, I mean, I don't know how long Ibbotson's been
20 providing their data, but they've been advocating it
21 for quite some time.

22 Q. Mr. Murray, did you answer my question?

23 A. Please repeat the question.

24 Q. Do you think that the market conditions
25 in the 2003, 2004, 2005 time frame accurately reflect

1 current investor expectations?

2 A. They've changed.

3 Q. Okay. Thank you. Do you recall if

4 Duff & Phelps used Value Line betas?

5 A. No, I don't recall.

6 Q. Okay. If they used an unadjusted beta

7 from Barra, do you think that would make a difference

8 on their outcome?

9 A. On the overall outcome, yes.

10 Q. Okay.

11 A. They're usually lower, I believe.

12 Q. Uh-huh. Do recall how Duff & Phelps

13 calculated their equity risk premium?

14 A. I can't remember if they did an implied

15 risk premium or -- I don't recall.

16 Q. Okay. Page 4 of your rebuttal testimony

17 in this case, and you've referenced it, Mr. Thompson

18 has referenced it, you reference -- you reference a

19 March 9, 2009 Goldman Sachs report and another one on

20 August 31st, 2009; is that -- is that correct?

21 A. I'm sorry. What page was that?

22 Q. Well, let's just go to your surrebuttal

23 testimony, page 7.

24 A. Okay.

25 Q. Lines 10 through 21.

1 A. Okay. Yes, I'm there.

2 Q. You've got a -- you've got a specific
3 citation to a Goldman Sachs, report, correct?

4 A. Yes, I do.

5 Q. Okay. Now, are you on the Goldman Sachs
6 distribution list?

7 A. No, I am not.

8 Q. Do you get it through Research
9 Regulatory Associates?

10 A. No.

11 Q. How do you receive it?

12 A. Actually, IBES, Institutional Brokerage
13 Estimate System. They -- up until spring of this
14 year, they were producing a IBES utility report that
15 provided a lot of the raw numbers, you know,
16 statistical data, means, medians, consensus, you
17 know, three years -- three months ago, six months
18 ago, what have -- what have you.

19 They discontinued that, and I told them,
20 I said, "We paid for your service, so I expect to
21 receive these IBES growth rates, you know, continuing
22 forward because the Commission paid for this." And
23 they said, "Hey, you know what we can do for you,
24 we'll open up Knowledge Reuters which has information
25 not just on IBES growth rates, but a variety of other

1 things, and you can look at it and see how useful you
2 think this information is going to be, but we will
3 not charge you any more than what you pay for the
4 IBES growth rates which you will get in addition to
5 this." So I thought it was a really good deal.

6 And -- and I -- I think it provided very
7 good information, and I'd love to get some feedback
8 from the Commission as to if you think this type of
9 information is helpful in testing reasonableness of
10 cost to equity recommendations because it -- it's
11 available but it comes at a cost just like any of the
12 other data that we have, whether it's a yearbook or
13 what have you. But these are equity analysts.

14 But anyway, my point to that is, is that
15 that's how I came across, you know, being able to get
16 access to this Knowledge Reuters database which is
17 available to Central Bank. I don't know about
18 MOSERS, because they -- you know, they manage -- they
19 work with the fund managers. I'm sure those fund
20 managers have access to it.

21 But anyway, so that's -- that's how I
22 gained access to that -- to that Knowledge Reuters.
23 It was a negotiation.

24 Q. Okay. Did you get permission from
25 Goldman Sachs before reproducing a quote and using it

1 in your testimony?

2 A. No.

3 Q. Are you aware that Goldman Sachs has a
4 policy that requires consent before you distribute
5 their materials?

6 A. I didn't consider this a distribution,
7 so -- but -- but no, I -- if they have that policy --
8 I think everybody probably has that policy, all these
9 citations we have, but...

10 Q. Okay. Going back to your -- your direct
11 testimony, your class cost of service report, lines 1
12 through 6 on page 36. Considering the -- I'm going
13 to read this statement to you. "Considering the
14 Commission's position regarding the quarterly
15 compounding of dividends expressed in its Report and
16 Order in the most recent Union Electric rate case,
17 Case No. ER-2008-318, it is important to note that
18 this dividend yield has not been adjusted for
19 quarterly compound.

20 "Staff is attempting to estimate
21 investors' expectations and because the Value Line
22 quoted dividend yield does not reflect quarterly
23 pound -- compounding. Staff is not convinced that
24 investors analyze the expected dividend yield on a
25 quarterly compounded basis." That's your statement,

1 correct?

2 A. Yes.

3 Q. Where -- when you say that "Staff is not
4 convinced," you're applying the word "convinced" in
5 the -- the normal and ordinary sense of the word,
6 correct?

7 A. Yes.

8 Q. Okay. Mr. Murray, do you know what
9 the -- you were -- were you listening in yesterday
10 when -- when I asked the attorneys here present what
11 the burden of proof is in this case?

12 A. I'm sorry. Once again, I was unable to.

13 Q. Okay. Do -- does Southern Union pay out
14 its dividends annually or quarterly?

15 A. I believe they pay quarterly.

16 Q. Do the utilities in your proxy group pay
17 dividends annually or quarterly?

18 A. I believe they pay quarterly.

19 Q. Okay. And when you use the geometric
20 mean, use of the geometric mean implies a long-term
21 buy and hold and growth strategy, does it not?

22 A. Yes.

23 Q. Okay. But you don't make a DCF --
24 quarterly DCF adjustment or even a semiannual DCF
25 adjustment like Mr. Hanley did, do you?

298

3 Q. Mr. Murray, in your future testimony
4 when you cite articles, when you cite reports, do you
5 think you could be so kind as to just go ahead and
6 include a complete copy of the report with your --
7 with your testimony?

8 A. I would love to do that, and actually,
9 if there is an opinion right now that I can do
10 that -- I mean, because you asked about the copyright
11 issue with Goldman Sachs. I would love to just
12 provide all these reports. I think there was some
13 dispute as to whether or not that was acceptable.
14 So -- but I would -- I would -- I would like to do
15 that.

16 Q. Do you think it would be possible for --
17 if you could get to Mr. Thompson and at least make it
18 publicly available to any party and Commissioners who
19 actually want to study that information?

20 A. Well, yeah. And if I can just get a
21 little feedback here. It's my understanding that --
22 that if it's filed confidential in -- in -- in the
23 context of a rate case, you would not have any
24 copyright issues.

25 And I -- I guess -- you know, I'm not an

1 attorney. I want to provide all the support that I
2 use for my testimony. And regardless of what the
3 article is, regardless of who the reporter is or, you
4 know, the equity research analyst, just let me know
5 if I can do so and I will do it.

6 Q. All right. Mr. Murray, this is your
7 last question. Do you think it's possible for a
8 person of reasonable intelligence with knowledge of
9 all the pertinent facts in this case to question your
10 impartiality?

11 A. Yes.

12 COMMISSIONER DAVIS: Thank you,
13 Mr. Murray. No further questions.

14 JUDGE PRIDGIN: All right, Commissioner
15 Davis. Thank you. This looks to be the natural
16 break for lunch. It's about ten after 1:00 according
17 to the clock at the back of the room. Let's
18 reconvene at 2:15 or so. Is there anything further
19 from counsel before we break for lunch?

20 (NO RESPONSE.)

21 JUDGE PRIDGIN: All right. Hearing
22 nothing, we will go off the record. We will
23 reconvene at 2:15.

24 (THE LUNCH RECESS WAS TAKEN.)

25 JUDGE PRIDGIN: Good afternoon. We're

1 back on the record. I believe when we left off,
2 Mr. Murray was on the stand, and it will be time for
3 recross from counsel. Mr. Murray, I'll remind you
4 you're still under oath. Is there anything from
5 counsel before we go on to recross-examination?

6 (NO RESPONSE.)

7 JUDGE PRIDGIN: All right. Hearing
8 nothing, Mr. Poston, any recross?

9 MR. POSTON: I do not, thank you.

10 JUDGE PRIDGIN: Mr. Swearengen?

11 MR. SWEARENGEN: No, sir, thank you.

12 JUDGE PRIDGIN: Redirect, Mr. Thompson?

13 MR. THOMPSON: Thank you.

14 REDIRECT EXAMINATION BY MR. THOMPSON:

15 Q. Mr. Murray, do you have any influence at
16 all on any of those other analysts that you cited?

17 A. No, I -- no, I do not.

18 Q. And with respect to the questions that
19 Commissioner Davis asked you, is there anything in
20 your testimony you want to change?

21 A. No, I do not.

22 Q. And finally, you are an impartial
23 witness; is that correct?

24 A. In my opinion, yes, I am.

25 MR. THOMPSON: Thank you. No further

1 questions.

2 JUDGE PRIDGIN: Mr. Thompson, thank you.
3 There's nothing further?

4 (NO RESPONSE.)

5 JUDGE PRIDGIN: All right. Mr. Murray,
6 thank you very much. You can step down. And
7 anything before Mr. Lawton takes the stand?

8 Mr. Poston, do you have an opening statement?

9 MR. POSTON: Just a brief one, yes.

10 JUDGE PRIDGIN: Yes, sir. When you're
11 ready, sir.

12 MR. POSTON: Thank you. Good afternoon.
13 In the Commission's 2004, 2006 MGE rate cases, the
14 Commission ordered Southern Union to use its own
15 capital structure rather than a hypothetical capital
16 structure. In 2004 the Commission concluded that
17 when a business analyst such as Moody's or Standard &
18 Poor's examines Southern Union to assess its
19 creditworthiness, it looks to Southern Union's
20 capital structure to make its determination.

21 In 2006 the Commission again stated that
22 the capital structure of Southern Union is the result
23 of its management decisions and it must live with
24 those decisions. We support those findings and again
25 urge the Commission to require Southern Union to use

1 its capital structure and not a nonexistent
2 hypothetical capital structure.

3 And contrary to Mr. Swearengen's
4 assertions during his opening, the reasons we support
5 this are not simply because it's how it was done
6 before. If you read Mr. Lawton's testimony, you'll
7 see why the Commission's prior decisions were right.
8 Being consistent with these earlier decisions is --
9 is important because employing the proposed
10 hypothetical capital structure will allow Southern
11 Union to recover revenues in excess of costs.

12 Southern Union made the decisions to
13 employ a substantially higher percentage of lower
14 cost debt, and to employ a hypothetical capital
15 structure would allow it to earn an equity return on
16 certain capital that was financed by debt.

17 OPC -- OPC witness Mr. Lawton testified
18 that given the company's rate base investment
19 employing a hypothetical capital structure would
20 allow Southern Union to recover 4.8 million in
21 phantom equity return. We assert that to allow this
22 is not just and reasonable.

23 Mr. Lawton also testified in support of
24 a return on equity between 9.5 and 10.5 percent, and
25 10 percent being Mr. Lawton's midrange. If the

1 Commission chooses to adopt a straight fixed variable
2 rate design, our evidence will show the Commission
3 needs to recognize the reduction in business risk
4 inherent in a rate design that virtually guarantees
5 Southern Union will recover its margin of revenues.

6 This risk reduction can be recognized
7 through 1.8 million reduction in cost of service
8 which we are recommending or a 50 basis point
9 reduction to ROE, both of which are supported by
10 Mr. Lawton's testimony. Of course, if the Commission
11 adopts OPC's proposed rate design and loss margin
12 revenue recovery mechanism, an adjustment is not
13 necessary. As I said, our witness is Mr. Daniel
14 Lawton and I'd like to call him to the stand at this
15 time.

16 JUDGE PRIDGIN: Mr. Poston, thank you.
17 Mr. Lawton, if you'll come forward to be sworn,
18 please, sir.

19 (The witness was sworn.)

20 JUDGE PRIDGIN: Thank you very much,
21 sir. Please have a seat. Mr. Poston, any questions
22 for him?

23 MR. POSTON: Thank you.

24 DIRECT EXAMINATION BY MR. POSTON:

25 Q. Can you please state your name.

1 A. Yes. My name is Daniel J. Lawton,
2 L-a-w-t-o-n.

3 Q. And by who are you -- by whom are you
4 employed and in what capacity?

5 A. I am self-employed. I'm an attorney
6 with Lawton Law Firm, and my business address is 701
7 Brazos, Suite 500, Austin, Texas.

8 Q. Are you the same Daniel Lawton who
9 prepared and caused to be filed direct, rebuttal and
10 surrebuttal testimony that has been marked as
11 Exhibit 69, 70 and 71 respectively?

12 A. Yes, I am.

13 Q. Do you have any changes to your
14 testimony?

15 A. None that I'm aware of.

16 Q. If I were to ask you the same questions
17 in your testimony today, would your answers be
18 substantially the same?

19 A. Yes, they would.

20 MR. POSTON: Your Honor, I offer
21 Exhibits 69, 70 and 71 into the record and tender
22 Mr. Lawton for cross-examination.

23 JUDGE PRIDGIN: 69, 70 and 71 are
24 offered. Any objections?

25 (NO RESPONSE.)

1 JUDGE PRIDGIN: Hearing none, 69, 70, 71
2 are admitted.

3 (EXHIBIT NOS. 69, 70 AND 71 WERE
4 RECEIVED INTO EVIDENCE AND MADE A PART OF THE
5 RECORD.)

6 JUDGE PRIDGIN: See if we have any
7 cross-examination. I don't see any other counsel on
8 the record. Mr. Thompson, any questions?

9 MR. THOMPSON: I have no questions for
10 this witness. Thank you.

11 JUDGE PRIDGIN: Thank you.
12 Mr. Swearengen?

13 MR. SWEARENGEN: Yes, your Honor, I have
14 a few. Thank you.

15 JUDGE PRIDGIN: When you're ready, sir.
16 CROSS-EXAMINATION BY MR. SWEARENGEN:

17 Q. Good afternoon, Mr. Lawton.

18 A. Good afternoon, Mr. Swearengen. How are
19 you?

20 Q. Fine. Glad to see you here in Jefferson
21 City.

22 A. Well, thank you, I appreciate it. It's
23 nice.

24 Q. We need the economic stimulus.

25 A. I'll do all I can.

1 Q. We'll try to keep you here for a couple
2 of days. Let me ask you, the -- the purpose of your
3 testimony, I think, is simply to propose a capital
4 structure and a cost of capital that the Commission's
5 utilized in this case for purposes of setting MGE's
6 rates. Is that a fair statement basically about what
7 your -- your testimony covers?

8 A. Most everything. You left out the part
9 on --

10 Q. I'm going to get to that.

11 A. Okay.

12 Q. You also are proposing a revenue
13 adjustment, as I understand it, in the event the
14 Commission allows Missouri Gas Energy to -- to
15 continue to utilize a straight fixed variable rate
16 design; is that true?

17 A. Not quite correct.

18 Q. Okay. Go -- correct me, then.

19 A. It's to continue to use the straight
20 fixed variable as well as expand the straight fixed
21 variable what was previously approved.

22 Q. Okay. Thank you. And I -- and I
23 think -- I understand based on the pleadings in the
24 case that -- and your counsel has said, an
25 alternative to that revenue adjustment would be a

1 50 basis point downward adjustment to ROE in the
2 event the straight fixed variable rate design
3 continues. Is that your -- I didn't really see that
4 in your testimony, but I understand your counsel is
5 saying that's your position.

6 A. I -- in your question, I -- I don't
7 relate that to what counsel said if you're talking
8 about what he said a few moments ago in his opening
9 statement, right?

10 Q. Right.

11 A. Your question -- could you repeat your
12 question a little louder, sir?

13 Q. Well, what I'm trying to find out is, I
14 understand you've got a \$1.8 million revenue
15 reduction proposed if the company is allowed to
16 continue to have the straight fixed variable rate
17 design and has that extended to some new customer
18 classes? I think you just said that.

19 A. That is absolutely correct.

20 Q. Okay. Are you also proposing that as an
21 alternative to that \$1.8 million revenue reduction, a
22 50 basis point reduction to ROE?

23 A. Yeah, that's -- that's in the testimony.
24 The evidence is in the record. If the Commission
25 elects not to use a revenue requirement reduction,

1 then a 50 basis point reduction ROE is an economic
2 equivalent.

3 Q. Okay. All right. Thank you. I think
4 you said in addition to your other qualifications
5 that you have listed in your testimony, you mentioned
6 that you're a licensed attorney; is that right?

7 A. Yes.

8 Q. In -- in what -- what jurisdictions are
9 you licensed?

10 A. That would be Texas, not here.

11 Q. Okay. And I think I understand your
12 testimony that for purposes of setting rates, you
13 believe the Commission could -- should continue to do
14 what it's done in the past, and that is use the
15 Southern Union corporate capital structure, is that
16 true?

17 A. Yes, that's what I proposed.

18 Q. What is your understanding of the
19 relationship between Missouri Gas Energy on the one
20 hand, the gas distribution company, and Southern
21 Union Company on the other hand?

22 A. Missouri Gas Energy is a division of the
23 Southern Union Gas Company -- or Southern Union
24 Company.

25 Q. Okay. And Southern Union Company is a

1 corporation, would that be your understanding?

2 A. Yes, it's incorporated in the state of
3 Delaware.

4 Q. If I said Southern -- Missouri Gas
5 Energy does not issue its own capital, you would
6 agree with that, right?

7 A. Yes, it's totally reliant upon its
8 corporate parent, Southern Union for all capital
9 infusions.

10 Q. Is Southern Union to your knowledge
11 involved in any other business other than the gas
12 distribution business through Missouri Gas Energy?

13 A. Yes.

14 Q. And what are those businesses?

15 A. Those would be primarily gas transport,
16 gas storage, some gas processing associated with its
17 gathering operations.

18 Q. Would you agree that a relatively small
19 percentage of Southern Union's business is involved
20 in the distribution of natural gas?

21 A. If you -- "relatively small" is a
22 relative term, so if we look at it in terms of
23 revenues, the answer would be yes, it's under 20
24 percent. If you look at it in terms of assets,
25 again, the answer would be yes. So we could measure

1 it a number of ways. Those two measures are metrics,
2 I think, to answer your question.

3 Q. Okay. Thank you. Would you agree that
4 Southern Union Company is not known as a local gas
5 distribution company?

6 A. Not anymore.

7 Q. Okay. It was at one time?

8 A. At one time it had a lot more gas
9 distribution or LDC operations.

10 Q. Would you agree that these other
11 businesses that Southern Union Company is in, other
12 than the local gas distribution business, have
13 different business risks than the business risk of a
14 local gas distribution company?

15 A. Different business risks?

16 Q. Yes.

17 A. Yes.

18 Q. Now, you're familiar with the capital
19 structures that the company has proposed in this case
20 and the Staff has proposed in this case, a fair
21 statement?

22 A. Yes, and I've read your one-sheet
23 handout which I think is evidence in the record that
24 reflects those differences.

25 Q. Fine. And --

1 A. And I don't know what the number is so
2 we can refer to it.

3 Q. The number of the exhibit?

4 A. Yes, sir.

5 Q. I've always had a hard time keeping
6 track of that myself.

7 JUDGE PRIDGIN: I'll double-check. I
8 believe it's 98.

9 THE WITNESS: I'm going to write it down
10 on there.

11 JUDGE PRIDGIN: Correct, 98.

12 BY MR. SWEARENGEN:

13 Q. And have I accurately stated -- I had a
14 little difficulty with the Staff witness on this
15 about what your position is, and I understand you've
16 got a revenue adjustment or another ROE adjustment
17 there in the wings, but have I accurately stated on
18 here what the Public Counsel's position is on the
19 capital structure and the various cost rates?

20 A. Yes, sir, you have.

21 Q. Okay. Thank you. In looking at that
22 exhibit, you would agree with me that both the Staff
23 and the company are proposing a hypothetical capital
24 structure?

25 A. Yes, sir, they are -- you are.

1 Q. And if I used the word fictitious
2 capital structure, would you agree with that or do
3 you prefer a hypothetical?

4 A. Hypothetical, fiction, you -- you can
5 use whatever adjective you like and I'll -- I think I
6 could go along with either one.

7 Q. Now, you recall I took your deposition
8 in this case down in Austin, Texas back on the 6th of
9 October of this year?

10 A. I do recall that day.

11 Q. Just as an aside, let me ask you this:
12 Would you agree that as a general proposition,
13 investors are influenced by historical events?

14 A. Investors are -- if you say not solely
15 historical events, then I would say yes.

16 Q. Okay. Do you think investors are also
17 influenced by future expectations?

18 A. Yes, and sometimes future expectations
19 are based upon historical events.

20 Q. Going back to the deposition down in
21 Texas, do you recall that during that deposition I
22 asked you whether or not you were aware that other
23 commissions and other regulatory bodies for
24 ratemaking purposes from time to time have utilized
25 hypothetical capital structures rather than the

1 utility's actual capital structure? Do you remember
2 me asking you that question?

3 A. I do remember you asking that question.

4 Q. And your answer was that they have, do
5 you recall that?

6 A. My answer was not only that they have,
7 that I have as well.

8 Q. Okay. And I think you went on to say
9 that the use of a hypothetical capital structure for
10 ratemaking purposes -- and your words as I recall
11 from the deposition were "is done frequently"?

12 A. Is -- that -- that is correct.

13 Q. Okay. And you also said in that
14 deposition that the circumstances that would lead a
15 regulatory body to using a hypothetical capital
16 structure typically would result in the fact that the
17 subject company had a low equity ratio. Do you
18 remember that?

19 A. Yes, and I think added some additional
20 words around that which could result from
21 extraordinary events, whether it be prudence issues
22 or so forth.

23 Q. Now, the capital structure, the
24 common -- the common equity ratio that you are
25 recommending in your capital structure is 38.66

1 percent; is that right?

2 A. That's -- that's the stated
3 capitalization or equity level of the company, that
4 is correct. It's on Exhibit 98.

5 Q. And MGE's proposal as shown on that
6 exhibit is 48 percent?

7 A. Yes, sir, it is.

8 Q. Okay. And the Staff's is 51, right?

9 A. That is correct.

10 Q. Do you have your direct testimony with
11 you?

12 A. I have it with me, yes, sir.

13 Q. Good. If you could please turn to
14 page 49.

15 A. I am there. What line?

16 Q. Well, you're ahead of me. Beginning on
17 line 8 there's a question, "How does the company's
18 proposed primary capital structure which includes a
19 48 percent equity ratio compare with the capital
20 structure ratios of the comparable risk companies?"

21 A. I see that.

22 Q. Okay. And your answer is, "The
23 company's proposed capital structure compares quite
24 favorably to the equity ratios in the natural gas
25 utility industry," correct?

1 A. Yes.

2 Q. When you say "natural gas utility
3 industry," what do you mean?

4 A. That, that I described earlier regarding
5 the comparable group. It's the industry identified
6 by -- by Value Line as being pretty much LDC
7 operations or gas distribution operations.

8 Q. Okay. In the nature of Missouri Gas
9 Energy, is that a fair statement?

10 A. Yes.

11 Q. Now, your cost of equity recommendation,
12 the midpoint is 10 percent?

13 A. That is correct.

14 Q. And that's based on -- on the results of
15 your study of a proxy group of 12 companies, I
16 believe?

17 A. That is correct.

18 Q. Okay. And -- and I think you would say
19 that those companies are similar to Missouri Gas
20 Energy, the companies in your proxy group?

21 A. Yes.

22 Q. But the capital structure that you're
23 proposing which is the corporate capital structure of
24 Southern Union Company is not based on the capital
25 structures of those proxy companies, correct?

1 A. That's absolutely correct, and that's
2 explained at lines 17 to 20 on page 49 that you
3 referenced earlier.

4 Q. But you do apply, do you not, the cost
5 of equity recommendation which is derived from your
6 proxy group of gas companies, you apply that to the
7 capital structure of Southern Union Company; is that
8 correct?

9 A. That -- that is correct because that's
10 Southern Union's actual capital structure, and again,
11 page 49, line 17 to 21 explain it.

12 Q. Does your Southern Union corporate
13 capital structure include Panhandle debt?

14 A. Yes, it does, and the Southern Union
15 capital structure that I'm employing is the one
16 employed by the company itself and as its alternative
17 recommendation.

18 Q. And what is Panhandle, do you know?

19 A. Panhandle is an operation that was
20 purchased -- its pipeline operation, purchased, I
21 think in 2004 for, I think about \$1.8 billion by
22 Southern Union.

23 Q. If I represented to you that if
24 you backed that Panhandle debt out of the Southern
25 Union corporate capital structure, then Southern

1 Union would have an equity ratio of about 48 percent,
2 would you accept that?

3 A. Well, I -- I can certainly check that,
4 but I would never do such a thing because then you
5 would have a hypothetical capital structure which for
6 good reason I'm not employing.

7 Q. Are you familiar with Mr. Hanley's
8 testimony where he, in fact, demonstrates that?

9 A. He may demonstrate it, I don't recall.

10 Q. Okay. Turning back to your deposition,
11 do you recall that I asked you that when compared to
12 your proxy groups, Southern Union is more thinly
13 capitalized from an equity standpoint than the
14 companies in your proxy group, and you answered yes
15 to that question, do you remember that?

16 A. Yes, and just as I answered yes to the
17 prior questions on the same line.

18 Q. So would you agree with me that Southern
19 Union Company is not really representative of how a
20 gas distribution company is financed?

21 A. It's certainly not representative of how
22 the -- of the capitalization of the use of capital
23 that we have in our comparable group. I would say
24 that.

25 Q. And generally speaking, is -- is the

1 difference that it had that Southern Union has less
2 equity and more debt?

3 A. Well -- well, both go hand in hand.

4 Q. Right.

5 A. And so they're very highly leveraged for
6 the way they operate their -- their business, and so
7 the high leverage means less equity.

8 Q. Debt leverage equals financial risk; is
9 that -- is that right? Is that what financial risk
10 is?

11 A. Not exactly. Debt leverage is more --
12 more debt from one company to the next, but what you
13 want to look at is why is that financial risk. It's
14 the interest obligation you have on that debt. But
15 in this case, that goes away, so the financial risk
16 has been eliminated through the decoupling mechanism
17 proposed by the company.

18 Q. Would you say that the greater amount of
19 debt in the capital structure of a particular company
20 the greater financial risk that company would have?

21 A. Generally so, but you can't look at it
22 blindly without the decoupling and the impacts on how
23 the revenues are being collected and guaranteed to
24 the company.

25 Q. Would you agree with me, and I think you

1 said in your deposition, that as a general
2 proposition, if you have more risk, you need a higher
3 return in order to attract capital?

4 A. Absolutely. In general terms, that's
5 what we'd be talking about.

6 Q. And once again, as a -- as a general
7 proposition with regard to cost of capital for
8 ratemaking, if you have a utility with a thin equity
9 component in its capital structure, you testified
10 earlier that regulatory bodies have used hypothetical
11 capital structures to deal with that situation; is
12 that true?

13 A. That's absolutely true, and typically
14 you don't see it done when the -- the -- the subject
15 company is a division of the corporate entity. It's
16 more done when it's a legal -- separate legal entity,
17 a subsidiary.

18 Q. I asked you also, I think, at your
19 deposition another way for a regulatory body to deal
20 with and to recognize the risk of a thinly -- a
21 thinly capitalized company from an equity standpoint
22 would be in a rate case to make an upward adjustment
23 to the return on equity. Do you recall agreeing with
24 me on that at your deposition?

25 A. Well, that's certainly another way of

1 doing it, either A, you increase the equity ratio
2 changing the capital structure, or B, you can make
3 a -- an equivalent adjustment by adjusting the return
4 on equity, neither of which are necessary in this
5 case.

6 Q. Your ROE recommendation, I think you
7 said, is based on a range of 9 and a half to 10 and a
8 half percent, correct?

9 A. That is correct, sir.

10 Q. And during your deposition, I think you
11 said that it was your opinion that the 9.5 percent
12 which is the low end of your range would be a
13 reasonable rate of return in this case, at least in
14 your opinion?

15 A. Yes, I -- I think I said to you in the
16 deposition so we have it correct, is that 9 and a
17 half to 10 and a half we typically estimate ranges,
18 reasonable ranges. Every number from the bottom to
19 the top is a reasonable estimate --

20 Q. Okay.

21 A. -- and -- and could be picked.

22 Q. So the -- likewise, in the 10 and a half
23 percent which is the high end of your range would fit
24 your definition of something reasonable for MGE in
25 this case?

1 A. It is within the reasonable results of
2 the study, and I picked -- there's no reason -- once
3 you've picked a reasonable range, you then determine
4 is there a reason to go from one end or the other,
5 the high end or the low end. In this case there was
6 none, so I chose the midpoint.

7 Q. And that 10 percent ROE recommendation
8 is for Missouri Gas Energy, it's not for Southern
9 Union Company; is that true?

10 A. That's absolutely correct.

11 Q. But it's to be applied to the Southern
12 Union capital structure, I think you said that?

13 A. It's to be applied to the actual capital
14 structure which happens to be the Southern Union
15 capital structure. That is how MGE is financed. To
16 do otherwise would be to provide capital that --
17 or -- or higher rates than -- than reasonable.

18 Q. In connection with your preparation for
19 this case, did you do a -- or make a cost of capital
20 calculation for Southern Union Company?

21 A. No, I didn't. And I think we discussed
22 that at the depo as well.

23 Q. Now, in addition to your capital
24 structure and cost of capital recommendation, you
25 also have this other recommendation that we talked

1 about, the revenue reduction for the straight fixed
2 variable rate design or an alternative would be a
3 50 basis point reduction to the ROE for the rate
4 design; is that correct?

5 A. That is correct, they're economic
6 equivalents.

7 Q. And I think in your direct testimony you
8 referred to it as risk shifting associated with
9 decoupling --

10 A. That is correct.

11 Q. -- do you recall that? And by
12 "decoupling," you're talking about the straight fixed
13 variable rate design, is that --

14 A. Yes. By decoupling, what I'm -- what
15 I -- what I'm talking about is charging customers, in
16 this case residential and commercial, one price every
17 month, no volume charges, guaranteeing your revenue
18 stream.

19 Q. Schedule DJL-3, that probably --

20 A. Are you looking at the direct, sir?

21 Q. Yes. I think that's attached to your
22 direct testimony, DJL-3, page 1 of 1.

23 A. Yes, I am there.

24 Q. The heading is "Analysis of Straight
25 Fixed Variable and Minimum Bill Charges." Is that

1 the same document I'm -- I'm looking at?

2 A. I'm looking at one that's not numbered.

3 Let me get one that's numbered. Give me a moment.

4 DJL-3, I'm there, yes, sir.

5 Q. Okay. And the document I'm looking at
6 says, "Missouri Gas Energy Rate Case," it's got the
7 case number. Starts out, it says -- the heading says
8 "Analysis of Straight Fixed Variable and Minimum Bill
9 Charges." Does that -- are we looking at the same
10 document?

11 A. That is what -- what I am looking at.

12 Q. Okay. Good. And then you have the
13 heading "Company-Requested Capital Structure and Cost
14 Rates"; is that correct?

15 A. Yes, sir.

16 Q. And -- and what is shown there in -- in
17 that information that's underneath there?

18 A. Are you asking what is shown there?

19 Q. Yeah, what is that?

20 A. That -- I believe that's the company's
21 requested capitalization level adjusted in the last
22 column for federal income taxes or a gross-up factor
23 which is necessary in rate setting.

24 Q. Okay. And then the next heading says
25 "Capital Structure Adjusted For Reduced Risk."

1 A. Yes, sir.

2 Q. And what is that, now?

3 A. Well, it's the same company-requested
4 capital structure except the debt and equity is
5 adjusted. I think I adjusted it 2 and a half
6 percent, increased the debt level 2 and a half
7 percent, reduced the equity level 2 and a half
8 percent to calculate what a 2 and a half percent
9 shift in debt-to -- in equity-to-debt low leverage
10 would do to estimate the impact of decoupling.

11 Q. Okay. So you -- your approach to -- to
12 dealing with this straight fixed variable rate design
13 is to increase the company's long-term debt from
14 41.06 to 43.56; is that right?

15 A. To estimate the impact of decoupling,
16 yes, sir.

17 Q. And by the same token, then, you're
18 lowering the common equity ratio from 48 percent to
19 45 and a half percent, right?

20 A. That -- that would be what the estimate
21 would entail, yes, sir.

22 Q. Okay. And that adjustment would be
23 designed to reflect a reduction in business risk that
24 would result from the straight fixed variable rate
25 design?

1 A. Most risk. I don't know that I capture
2 it all, but typically in evaluating utilities, rating
3 agencies will allow more leverage for less risky
4 companies, and so I employed a 2 and a half percent
5 shifting of more leverage, trying to reflect the
6 perception that a rating agency would have on a
7 standalone estimate.

8 Q. Now, when you raise the long-term debt
9 from 41.06 to 43.56, are you not, in fact, increasing
10 the financial risk of the company?

11 A. Generally, yes, and we were talking in
12 general terms throughout this examination. But I
13 said, remember, you've got to keep into consideration
14 decoupling and the revenues that have guaranteed to
15 flow, and therefore you don't have an increase in
16 financial risk.

17 Q. Even though you're increasing the
18 long-term risk?

19 A. Exactly.

20 Q. Okay.

21 A. For the 2 and a half percent shift --
22 and you'll see that in any rating agency evaluation,
23 you'll see a lot of rating agencies will allow a --
24 more debt with less risk.

25 Q. Let me ask you about the 50 percent --

1 or excuse me -- the 50 basis point adjustment that
2 you propose now as an alternative.

3 A. Sure.

4 Q. I think in your direct testimony -- on
5 page 11 of your direct testimony, do you have that in
6 front of you?

7 A. I have it now.

8 Q. On lines 14 to -- starting at line 14,
9 you say, "As I noted earlier, regulatory
10 authorities" --

11 A. Uh-huh.

12 Q. -- "authorities," plural, "have employed
13 a 50 basis point reduction to equity return for
14 similar decoupling proposals." And do you recall
15 during your deposition I asked you about that and you
16 agreed that the only jurisdiction you were aware of
17 where this had been done is the Maryland
18 jurisdiction, do you recall that?

19 A. I don't think that's quite accurate. I
20 think I agreed that, yes, the Maryland jurisdiction
21 had done it and I had provided you additional
22 documentation referencing the Connecticut case that
23 we talked about during the deposition. And a third
24 case I provided additional documentation was a Texas
25 proceeding where the utility, in fact, withdrew

1 its -- its -- its proposal, and I think that case was
2 a 75 basis point.

3 Q. Right. I think we went through that
4 discussion, but in the end, you agreed that there was
5 only one jurisdiction, the Maryland jurisdiction
6 where the regulatory authority actually had voted to
7 impose this -- this reduction.

8 A. Well, Maryland has done it twice, and
9 once -- once when it originally did the gas utilities
10 and then again when it did the electric utilities,
11 you'll see this is a cite to the recent Delmarva
12 case.

13 Q. Let me ask you -- hold on just a second.
14 The second case that you're talking about, when did
15 that occur, the second case in Maryland?

16 A. The second -- the second case in
17 Maryland would be the Delmarva case. Prior to that
18 it was a BG&E case.

19 Q. And what year was that?

20 A. BG&E, Baltimore Gas & Electric and other
21 gas companies, I don't recall the year it was
22 initially done. It was reversed, I think, in 2005,
23 the -- the basis point adjustment was eliminated.
24 And then in 2007, the Maryland Commission went and
25 imposed the four, what they call the bill

1 stabilization adjustment where the -- the dollars are
2 tracked and there's a cap on how much the company
3 can -- can capture, but it's -- it's equivalent to
4 straight fixed variable.

5 Q. Well, what I'm asking you about, though,
6 is back to my original question about the 50 basis
7 point adjustment, and I'm looking at your deposition,
8 page 33. And my question to you was, "So if I
9 understand what you're saying is, the only
10 jurisdiction you're aware of that -- that this is
11 done is the Maryland jurisdiction?"

12 And your answer was, "Where the company
13 has kept its request and they've gone through the
14 entire process and then there is a 50 basis point
15 reduction."

16 A. Yes. And there -- and I just pointed
17 out there were two different cases or proceedings
18 that I was referring to.

19 Q. But that's the only jurisdiction?

20 A. Yes, sir.

21 Q. Okay. Now, with regard to the Maryland
22 jurisdiction and those -- those decisions, is it not
23 true that the Maryland Commission did that because
24 the proxy companies did not have decoupling
25 mechanisms?

1 A. You have an unclear question, sir. "The
2 Maryland Commission did that." Did what?

3 Q. The 50 basis points --

4 A. Did the -- okay. The Maryland
5 Commission did the 50 basis points reduction because
6 they saw less risk.

7 Q. And because the comparable companies
8 that they were looking at did not have similar
9 decoupling provisions, is that not true?

10 A. I don't believe that was in that fashion
11 specifically stated in the Commission order that way.

12 Q. But wasn't it true that the proxy
13 companies that were being looked at at that time did
14 not have similar decoupling provisions?

15 A. I don't know that to be the case. Are
16 we talking about the Delmarva decision that I've
17 cited in my testimony or is there another one?

18 Q. Well, whatever case that you're talking
19 about.

20 A. Well, the Delmarva decision, I don't
21 know that to be the case, sir.

22 Q. You don't know whether that's right or
23 not?

24 A. Well, I know that the specific language
25 that it -- the 50 basis points is there because it's

1 not in the comparable group companies is not in the
2 order that I read out of Delmarva --

3 Q. My question to you --

4 A. -- or provided.

5 Q. -- is whether or not the comparable
6 companies had similar decoupling provisions, and
7 the -- and the fact is that they didn't. But you
8 don't know that?

9 A. I don't know that they didn't.

10 Q. Are you aware that in a subsequent
11 Maryland case involving the same company that no
12 adjustment was made because at that time the proxy
13 companies did have such mechanisms?

14 A. No, that didn't happen. That question
15 is incorrect.

16 Q. Okay.

17 A. You're talking about the Baltimore Gas &
18 Electric case that happened sometime prior. My prior
19 answer to your questions were about the Delmarva case
20 that we were talking about, footnote 7 on page 11.
21 So if you want to go to the Baltimore Gas & Electric
22 case, yes, the Commission withdrew the -- or did not
23 make a 50 basis point adjustment --

24 Q. And why is that?

25 A. -- in a subsequent case because other

1 companies were viewed as having -- proxy companies
2 were viewed as having similar decoupling.

3 Q. Okay. Thank you. Do you recall at your
4 deposition when I asked you whether or not prior to
5 Missouri Gas Energy's last rate case before this
6 Commission whether the company at that time had the
7 straight fixed variable rate design in place and you
8 said you did not know the answer to that?

9 A. That is correct. I did not research
10 the -- the comparable group employed in the last
11 case --

12 Q. So --

13 A. -- to determine whether or not they had
14 a -- a decoupling adjustment.

15 Q. You did not know at the time that you
16 were putting together your direct and rebuttal
17 testimony in this case --

18 A. Right.

19 Q. -- whether in MGE's last rate case
20 before this Commission, an equity reduction or a
21 revenue reduction was imposed on the company when the
22 Commission awarded them the straight fixed variable
23 rate design?

24 A. I don't know that that's quite correct.
25 If I understand your question, I believe I stated in

1 my testimony that a 35 basis point adjustment for
2 straight fixed variable was proposed by the company
3 in the last case. I'm trying to recall if that was
4 adopted or incorporated in the final ROE
5 recommendation of this Commission.

6 Q. Well, when I asked you in your
7 deposition whether or not at the time of this last
8 case the company did have in place the straight fixed
9 variable rate design, you said you didn't know. Do
10 you recall that?

11 A. I said I didn't know if they had it in
12 any form prior to the -- now we're going back two
13 cases ago, and -- and I didn't know that, no.

14 Q. But now you understand that it was in
15 the last case, the 2007 case where Missouri Gas
16 Energy for the first time was authorized to utilize
17 the straight fixed variable rate design?

18 A. In 2007, yes, I think I discussed that
19 in my testimony.

20 Q. Okay.

21 A. So it's not new knowledge.

22 Q. And would you agree that since that
23 time, Southern Union Company's bond rating has
24 remained the same?

25 A. Bond rating currently is at triple B,

1 and I -- I don't recall that there's been a minor
2 notch or two downgrade since that time. I -- I
3 haven't researched that on -- for every period. I
4 just look at your current bond rating.

5 Q. So you think it may have been down-rated
6 since that time?

7 A. Well, there may be a notch adjustment on
8 there from B -- BB-plus to BB-straight or BB-minus,
9 so forth.

10 Q. So if there was a benefit to Southern
11 Union Company from the straight fixed variable rate
12 design, those benefits did not result in any increase
13 in Southern Union's bond rating, would agree with
14 that?

15 A. Well, I -- I would agree with that based
16 upon the premise we started this discussion, that MGE
17 is such a small part of Southern Union you wouldn't
18 expect that to occur. But to ignore it would be to
19 impose additional risk on customers with no benefits.

20 Q. Well, let me ask you about that. During
21 your deposition I asked you some questions about
22 weather-related risk that both Missouri Gas Energy
23 and its customers face. Do you recall those
24 questions?

25 A. Yes, sir, I do.

1 Q. And do you remember I asked you if you
2 agree that the weather risk or weather-related risk
3 with respect to Missouri Gas Energy is the
4 possibility that the weather, the actual weather
5 during the time that the rates are in effect is
6 either colder or warmer than the normalized weather
7 used to set those rates, and your answer was the risk
8 for MGE is associated with the weather being warmer,
9 not colder, do you recall that?

10 A. Yes, sir.

11 Q. And that would still be your testimony,
12 right?

13 A. Yes.

14 Q. And then I asked you if the weather is
15 colder than normal, would the company's customers
16 experience some risk, and you said no. Do you recall
17 that?

18 A. Yes.

19 Q. And I asked you to explain that, and
20 your explanation was that when weather is colder than
21 normal, the customers would be paying for volumes in
22 accordance with the legal rate set by the utility
23 regulator. Do you recall that answer?

24 A. Yes.

25 Q. Okay. And I went on to ask you under

1 that traditional -- under the Public Counsel's rate
2 design approach -- which I think we referred to as
3 the traditional rate design approach?

4 A. Could you speak up a little? I'm
5 somewhat audio-challenged here.

6 Q. The Public Counsel's rate design
7 proposal, if we called it a traditional rate design
8 proposal, would that be a fair way to describe it?

9 A. Yes, I -- I believe so. I haven't
10 studied the Public Counsel's rate design approach,
11 but it's my understanding.

12 Q. What is your understanding of the Public
13 Counsel's rate design approach?

14 A. I believe it's not straight fixed
15 variable, that it would be a customer charge with a
16 volumetric charge based upon a cost allocation method
17 and assignment method.

18 Q. Okay. And under that approach, would
19 you agree that the company's residential customers
20 had a risk of overpaying their non-gas costs if the
21 weather is colder than normal? I asked you that
22 question at your deposition and you said no because
23 the customers under those circumstances would be
24 paying the legal rate and that would eliminate risk
25 in your opinion. Do you recall that?

1 A. I don't recall it exactly that way. I
2 didn't say it would eliminate risk in my opinion.
3 What I said as the predicate to your question is
4 incorrect, and that is when customers, it's colder,
5 they buy more gas, they pay whatever rate this
6 Commission sets. That rate is established and
7 they -- they pay that rate for every volume of gas.
8 Those are found to be just, reasonable and legal
9 rates by this Commission, and the customer pays --
10 they're not paying more or less than their cost,
11 their fair share.

12 Q. So as a lawyer, then, is it your opinion
13 that as -- as a matter of law, there's no risk with a
14 residential customer overpaying their non-gas costs
15 if the weather is colder than normal?

16 A. Well, as -- as a lawyer, I don't see the
17 legal question, and I'm not a lawyer here so I'm not
18 going to give you legal advice on that. As an
19 analyst, an economist who studies these rates and --
20 and does this work, I'm telling you that the --
21 the -- my answer is that customers do not overpay
22 their costs, they pay their exact costs. If it costs
23 a dollar per MCF and it's colder than normal, you buy
24 100 more MCF, you're going to pay 100 more dollars.

25 Q. And -- and --

1 A. Otherwise, we would be looking at
2 customer payments in cold weather saying that the
3 company would -- should be required to give it back
4 because customers are overpaying their costs.

5 Q. They're overpaying their costs --

6 A. Now, the company may earn more --

7 Q. Right.

8 A. -- but the customer is not overpaying
9 their cost.

10 Q. Now, you understand we're talking about
11 non-gas costs?

12 A. Yes, sir.

13 Q. And you think that under the
14 colder-than-normal weather, customers would not
15 overpay non-gas costs?

16 A. Absolutely not.

17 Q. Now, earlier I think you said that as a
18 general proposition, investors are influenced by
19 their expectations; is that correct?

20 A. Yes, sir.

21 Q. Do you have your surrebuttal testimony
22 there?

23 A. I now have it. What page?

24 Q. Take a look at page 6 of 10.

25 A. I'm there.

1 Q. I'm looking at lines 12 and 13. Am I
2 correct that there you explain your rationale for
3 correcting Mr. Hanley's analysis, and the rationale
4 is the need to remove from consideration forecasted
5 information and estimates of investor expectations?

6 A. No, sir, it's -- it's -- it's the
7 rule -- the need to remove unreasonable forecasts of
8 investor expectations.

9 MR. SWEARENGEN: That's all I have.
10 Thank you.

11 JUDGE PRIDGIN: Mr. Swearengen, thank
12 you. Does anybody have any questions from the bench?
13 Commissioner Davis?

14 COMMISSIONER DAVIS: I'll pass.

15 JUDGE PRIDGIN: Commissioner Jarrett?

16 COMMISSIONER JARRETT: I don't have any
17 questions.

18 JUDGE PRIDGIN: Commissioner Kenney?

19 COMMISSIONER KENNEY: No, thank you.

20 JUDGE PRIDGIN: Commissioner Davis?

21 QUESTIONS BY COMMISSIONER DAVIS:

22 Q. Good afternoon, Mr. Lawton.

23 A. Good afternoon, Commissioner Davis.

24 Q. Mr. Lawton, I have to start by asking
25 you this very simple question. What does the J. in

1 your middle name stand for?

2 A. Joseph, sir.

3 Q. Joseph. Okay. All right. Now,
4 Mr. Lawton, in your direct testimony, do you -- do
5 you indicate the criteria that you employed when you
6 were selecting your proxy group? Is that anywhere in
7 your direct testimony?

8 A. I believe I just selected -- or -- or
9 stated that I was employing whatever Value Line
10 included in its grouping for gas distribution
11 companies, all 12 companies.

12 Q. Okay.

13 A. So there's no selection by us --

14 Q. Okay.

15 A. -- there -- just whatever Value Line
16 had, what investors look at.

17 Q. Okay. Now, would you agree with me that
18 by -- well, first of all, do you know what the
19 central limit theorem is?

20 A. I used to know it by heart, but I
21 probably have forgotten it over the years. If you
22 want to remind me --

23 Q. Well --

24 A. -- I'll probably snap back to it.

25 Q. Let me -- do you agree with the concept

1 that a sampling distribution of means from any
2 population would be normal for a large sample?

3 A. For a large sample, yes, randomly drawn
4 sample.

5 Q. Right. Okay. Would you agree that by
6 selecting a smaller sample size, you increase the
7 opportunity for sample error in a proxy group?

8 A. Yes, and you create one other error, and
9 that is the error that any -- any -- or the
10 additional bias that any one error from one of your
11 selections will impact the group. So if you have a
12 larger group in one of your selections, you make an
13 error or there's some bad data, then it won't impact
14 your group as if you had five or four versus 15 or 20
15 items.

16 Q. Okay. Mr. Murray, his proxy group was
17 seven utilities, correct?

18 A. Mr. Murray's was seven utilities, I
19 believe that's correct. And -- and -- and I think
20 Mr. Hanley's was nine and mine is 12. But we all
21 cross over the same companies, as I recall.

22 Q. But you would agree that his proxy group
23 was more than 40 percent smaller than yours, wouldn't
24 you?

25 A. I haven't done the math, I'll accept

1 that.

2 Q. Okay. Now, you've testified, I believe,
3 repeatedly in response to questions from
4 Mr. Swearengen, that if the Commission sticks with
5 the straight fixed variable rate design --

6 A. Yes, sir.

7 Q. -- it either needs to make an adjustment
8 of \$1.8 million approximately or 50 basis points,
9 correct?

10 A. That's -- that's what I've recommended,
11 yes, sir.

12 Q. Yes, okay. All right. And I heard you
13 tell Mr. Swearengen that the two were equivalent; is
14 that correct?

15 A. Yes, sir.

16 Q. Okay. Now, if I divide 1.8 million by
17 50, I get \$36,000 per basis point, correct?

18 A. That is correct.

19 Q. Okay. Now, did you -- you were here in
20 the room when I was asking Mr. Murray questions,
21 correct?

22 A. Right. And you base that -- if you want
23 the correct answer why that's happening, I can
24 explain it.

25 Q. Okay. Explain.

1 A. Okay. You were starting off with the --
2 the company's hypothetical capital structure in that
3 calculation --

4 Q. Uh-huh.

5 A. -- 604 million. You know, if you
6 convert the 1.8 million to basis points employing the
7 actual, the Southern Union capital structure, it
8 comes out 9.5 percent equity return. Actually, I
9 think it's 9.52. Staff witness earlier said 9.53.

10 Q. Okay.

11 A. So it's roughly 50 basis points,
12 Commissioner, based on my capital structure.

13 Q. Okay. Your -- based on your capital
14 structure it is -- it is \$36,000 a basis point?

15 A. I believe that's the way it would come
16 out. I think so.

17 Q. You believe? You believe?

18 A. I haven't calculated. I'm not here to
19 estimate how much a basis point is worth. We can do
20 the arithmetic if you like.

21 Q. I don't have to be anywhere until five
22 o'clock so indulge me -- indulge -- indulge me.

23 A. My flight's tomorrow morning, sir, so...
24 Okay. We have a rate base of approximately 604
25 million and we have a return -- and I'm going to use

1 Exhibit 98, Commissioner, and I'll use the bottom
2 number, 7.772.

3 COMMISSIONER DAVIS: Okay. Judge, will
4 we be able to show this up on the screen when he's
5 done with it?

6 JUDGE PRIDGIN: I think we've got a
7 projector that's on, I think we should be able to do
8 that.

9 THE WITNESS: Actually, my rough
10 estimate is \$25,972. That's before income taxes
11 which would be on top of that. So if you want me to
12 redo this calculation --

13 BY COMMISSIONER DAVIS:

14 Q. So you'd have to -- you'd have to gross
15 it up for taxes?

16 A. Right. You would gross up the -- the --
17 the equity as well as the preferred.

18 Q. Okay.

19 A. And the tax factor in this case, as I
20 recall, is 1.6203, something to that effect.

21 Q. Uh-huh. That's close enough for
22 government work at this point.

23 A. Well, anyway, my rough estimate here is
24 25,972 before taxes.

25 Q. Before taxes?

1 A. Yes, sir.

2 Q. Okay. All right. And so you're saying
3 if you factor it up to taxes, then it does get you to
4 that \$36,000 basis point amount?

5 A. It -- it -- it should. Typically your
6 gross-up factor is about 50 percent of your equity
7 piece, so yeah, it should be there.

8 Q. Okay. All right. Mr. Lawton, is this
9 the Ibbotson book that you use or do you use the --
10 the classic edition or some edition like Mr. Murray
11 uses?

12 A. I too am a classic user.

13 Q. Okay.

14 A. And it's the maroon or whatever color it
15 was. But I think the numbers are the same. I
16 heard -- I heard your -- your -- your --

17 Q. Okay.

18 A. -- reading the book.

19 Q. All right. So the numbers -- the
20 numbers are the same, correct?

21 A. Yes. I mean, the -- Ibbotson and
22 Sinquefield, we all use it for the -- at least their
23 historical data compilations.

24 Q. Right. And when you did your -- your
25 DCF analysis, was it an annual, a semiannual, a

1 quarterly?

2 A. It was a semiannual in the same fashion
3 as -- as Mr. Hanley described to you earlier. I
4 would not use a quarterly because that would result
5 in overstating the cost of equity to a utility even
6 though it sounds theoretically correct.

7 Q. Okay. Do you have a copy of your direct
8 testimony in front of you?

9 A. I do.

10 Q. Page, I think it's 33. Now --

11 A. I'm at 33, sir.

12 Q. You're at 33. Okay. Talking about
13 lines 12 through 24 -- well -- and I guess going up
14 to the top of page --

15 A. It would be 34.

16 Q. Well -- and -- and going back to the top
17 of page 33 as well.

18 A. Okay.

19 Q. And you say, "Along with historical
20 growth rates, the first set of growth rates is the
21 Value Line forecasted growth rate in earnings per
22 share." So that's your -- that's your first growth
23 rate?

24 A. Yes. And pardon me, Commissioner. Can
25 I ask where you're reading from? Maybe I have

1 different numbers.

2 Q. Okay. I'm on your direct testimony,
3 page 33 of 53 --

4 A. Yes, sir.

5 Q. -- lines -- beginning with line 14.

6 A. I've got different line numbers. Let me
7 check this version of it. It might have gotten -- in
8 the transmission, just so we can line up together.
9 Uh-huh. I have it now. Okay, sir, go ahead.

10 Q. Okay. So the first number you used was
11 the -- was the Value Line's forecasted growth rate in
12 earnings per share?

13 A. That would be correct, sir.

14 Q. And then the second you used was the --
15 the Zacks forecasted growth rate in earnings?

16 A. Yes.

17 Q. And the third growth estimate is the
18 First Call growth rates. Now, are those growth rates
19 in earnings, in dividends, in...

20 A. Earnings per share.

21 Q. Okay.

22 A. Same -- same -- same growth rates.

23 Q. All right. All right. So in
24 calculating your growth rate, is it -- is it fair to
25 say that you rely more on earnings?

1 A. That -- that would be one way to look at
2 it in terms of some of these forecasts, absolutely.

3 Q. Okay. And you reviewed Mr. Murray's
4 testimony, did you not or did you?

5 A. I -- I looked at the Staff report and I
6 think I've -- I've seen his rebuttal and surrebuttal
7 at one point.

8 Q. Okay. Are you aware of any -- any
9 scholarly authority for the practice of averaging
10 earnings growth rates with dividend growth rates with
11 book value growth rates?

12 A. Scholarly -- you're looking for some
13 treaties that would -- I can tell you commissions
14 that have done it --

15 Q. Okay.

16 A. -- and -- and have assigned different
17 numerical -- for example, I believe there's been a
18 case -- I think it was a gas case, a Questar Gas case
19 in Utah where the Utah Commission employed, I think,
20 a ratio of 25 percent for the dividend growth rates
21 and 75 percent for the earnings growth rates. That
22 case is probably four or five years old. But I know
23 staff in Utah sometimes will present that kind of
24 analysis.

25 Other places where you'll see averages

1 of dividends and -- and earnings, I've seen various
2 analysts over time employ that, depending upon
3 whether or not you've got good earnings data. The
4 first thing you do, even though you may like earnings
5 estimates is --

6 Q. Uh-huh.

7 A. -- is you look at what if you don't have
8 any data, what if -- what if the -- there are no
9 earnings estimates. You've got to look for something
10 or -- or good data. So sometimes you have to look at
11 dividend growth rates or book value growth rates.

12 So I -- I -- I've seen it out there and
13 I've seen -- now, commissions don't specifically
14 generally state we only look at earnings and nothing
15 else. Typically commissioners as decision-makers try
16 to keep that -- that option open, and they give
17 everything the weight it deserves when they make --
18 when they vet the evidence and make their final
19 decisions.

20 Q. But you've never -- you've never seen
21 anyone accept that methodology of a straight
22 one-third, one-third, one-third equal weighting?

23 A. No, no, no. But the closest I can come
24 is the Utah case that I described to you earlier.

25 Q. Okay. And there it was a 25/75 split?

1 A. I think it was 25/75.

2 Q. Almost -- almost like an ECAPM analysis?

3 A. Almost.

4 COMMISSIONER DAVIS: Mr. Lawton, I don't
5 have any further questions. Thank you.

6 THE WITNESS: Thank you for your time,
7 appreciate it.

8 JUDGE PRIDGIN: Commissioner Davis,
9 thank you. Do we have any recross, Mr. Thompson?

10 MR. THOMPSON: No, thank you, Judge.

11 JUDGE PRIDGIN: Mr. Swearengen?

12 MR. SWEARENGEN: Yes, I've got one or
13 two.

14 RECROSS-EXAMINATION BY MR. SWEARENGEN:

15 Q. I'm a little confused now, Mr. Lawton.

16 A. I'm sorry, Mr. Swearengen. I didn't
17 mean to confuse you, sir.

18 Q. Well, Commissioner Davis asked you right
19 at the outset about your two proposals to deal with
20 the straight fixed variable rate design, one being
21 the \$1.8 million revenue reduction, the other being
22 the 50 basis point ROE reduction. Do you recall
23 that?

24 A. That's correct.

25 Q. Okay. Now, do you have your direct

1 testimony in front of you?

2 A. I do.

3 Q. Turn to page 49, if you would, please.

4 A. I'm there.

5 Q. And reading on line 17, you say, "In
6 terms of the alternative or actual capital
7 structure" -- and I believe you're talking about the
8 Southern Union capital structure; is that not
9 correct?

10 A. That would be correct, sir.

11 Q. "-- the equity ratio of about 39 percent
12 is below the gas industry average. While this
13 reflects higher financial risks for MGE, business
14 risk has been reduced, especially in light of the
15 benefits (risk reductions) associated with
16 decoupling."

17 A. Yes, sir.

18 Q. Okay. And that's your testimony?

19 A. Yes, sir.

20 Q. So what you're saying here is that using
21 the Southern Union capital structure, you -- you're
22 making an adjustment to account for the straight
23 fixed variable rate design; is that true?

24 A. If you could repeat that. I want to
25 make sure I'm clear.

1 Q. Let me ask -- let me ask it this way:
2 What it appears to me is going on is, is that you
3 are, in fact, doing that. You're using the Southern
4 Union Company capital structure with the 39 percent
5 equity ratio and rationalizing that by saying, "While
6 it reflects higher financial risk, business risk has
7 been reduced, especially in light of the benefits
8 (risk reductions) associated with decoupling."

9 And then you go ahead and say another
10 50 basis point reduction or \$1.8 million revenue
11 reduction ought to be made on top of that. So it
12 sounds to me like you're really double-dipping this
13 issue.

14 A. Gee, I -- I -- I -- I -- even I'm not
15 that good. I wouldn't double-dip you, sir.

16 Q. Okay.

17 A. What I'm saying is the 1.8 million is my
18 recommendation. That does not -- that is to reduce
19 revenue requirement. That does not belie or
20 eliminate the fact that your financial risk
21 associated with having more leverage goes away. Why?

22 The reason it goes away is because every
23 month you will bill the customers in the MGE service
24 area, get that money. The financial risk is
25 associated with being able to pay that interest

1 payment with more leverage. That risk is -- pretty
2 much goes away.

3 Q. It seems to me that you're -- you're --
4 you're taking two bites at the apple.

5 A. No, sir, I wouldn't do that.

6 MR. SWEARENGEN: Yeah. Thank you.

7 THE WITNESS: You're welcome.

8 JUDGE PRIDGIN: Mr. Swearengen, thank
9 you. Commissioner Davis.

10 QUESTIONS BY COMMISSIONER DAVIS:

11 Q. I'm sorry. Mr. Lawton, can I go back
12 and ask you about one other thing?

13 A. Oh, sure.

14 Q. I think in your direct testimony you
15 made reference to a Connecticut decision --

16 A. Yes, sir.

17 Q. -- that was a 100 basis point reduction;
18 is that -- is that correct?

19 A. It's -- it's not exactly correct. I
20 mentioned a Connecticut decision --

21 Q. Uh-huh.

22 A. -- which did not approve the decoupling
23 and pointed out, based on some evidence, that -- that
24 not even 100 basis points would be enough. The
25 Commission was pointing out that the adjustment would

1 be so draconian, nobody would buy it, the return.

2 Q. Draconian, that's an interesting word.

3 A. Yeah, I -- utility experts really use
4 it. But that was one that --

5 Q. Have you -- have you ever heard --
6 have -- have you ever heard the word draconian used
7 to describe the Connecticut Commission?

8 A. No.

9 Q. No?

10 A. No.

11 Q. No? Are you familiar with the -- I
12 believe it's the United Illuminating case that was
13 decided in Connecticut, February of this year?

14 A. I did read something on it.

15 Q. Do you want me to help refresh your
16 recollection?

17 A. Try, thank you.

18 Q. "The 8.75 percent return on equity
19 awarded was the lowest non-penalty ROE determination
20 for an energy utility nationwide in more than 30
21 years." Does that -- does that ring a bell?

22 A. It may. Is it on Exhibit 98, the one --
23 the one the Staff put in with the --

24 Q. I don't -- I don't believe it is.

25 A. Well, it should be.

1 Q. Well, yeah, that's right, it would be --
2 it would be -- it would be in Exhibit 98.

3 A. Yeah, and I don't recall seeing it
4 there, but I might have missed it.

5 JUDGE PRIDGIN: Just to clarify, if
6 you're referring to the RRA information, that would
7 be Exhibit 96.

8 THE WITNESS: Okay. Thank you, Judge.

9 JUDGE PRIDGIN: You're welcome.

10 BY COMMISSIONER DAVIS:

11 Q. Mr. Lawton, do you -- do you subscribe
12 to SNL's RRA?

13 A. No. I -- I -- I get copies occasionally
14 from -- from different folks.

15 Q. Okay.

16 A. I'm sorry. Can I have a moment,
17 Commissioner Davis?

18 Q. Sure.

19 A. I -- I really don't see it on this list.
20 I do see a June 30th, '09 Connecticut case where they
21 awarded 9.31 percent, and I believe the footnote
22 indicates it was a forward-looking rate base for
23 12/31/09, so I would assume they upped -- or lowered
24 the equity for the forecast allowing the post-test
25 year stuff, yeah.

1 Q. Right. Are you aware that Research
2 Regulatory Associates ranks the various state public
3 utility commissions?

4 A. A lot of people -- they -- they -- they
5 do, and a lot of folks --

6 Q. Right.

7 A. -- rank them.

8 Q. Do you -- do you know what scale they
9 use?

10 A. No. No, I don't.

11 Q. Okay. So would -- would it surprise you
12 to know that they rank based on basically a -- I'd
13 say a nine-point scale where they rank utilities
14 either above average, average or below average, and
15 then from there in each category they have three
16 subcategories, one, two and three, with one being the
17 best and three being the worst?

18 A. Okay.

19 Q. Do you have any idea what Connecticut's
20 rating is?

21 A. Ratings from RRA's perspective?

22 Q. From RRA's perspective.

23 A. No.

24 Q. So would it -- would it surprise you to
25 learn that Connecticut has the -- the lowest rating

1 of any utility on their scale?

2 A. It -- it -- it -- it may. I mean, I
3 don't know what factors go into it.

4 Q. Right.

5 A. It may be the consumers rank it the
6 highest in the country, I don't know.

7 COMMISSIONER DAVIS: Okay. Judge, I
8 don't have any further questions.

9 JUDGE PRIDGIN: Commissioner Davis,
10 thank you. Further recross based on bench questions?

11 (NO RESPONSE.)

12 JUDGE PRIDGIN: No? Redirect?

13 MR. POSTON: Thank you.

14 REDIRECT EXAMINATION BY MR. POSTON:

15 Q. Mr. Swaengen asked you questions about
16 backing out that pipeline debt in making your cost of
17 capital recommendation, and you said you wouldn't do
18 that, do you recall that?

19 A. That's correct, I wouldn't do that.

20 Q. Okay. Can you please explain why you
21 wouldn't do that?

22 A. Well, the capital structure I've
23 employed is Southern Union's actual capital
24 structure. It's the same capital structure presented
25 by the company in this case as an alternative. And

1 that reflects the cost of debt and equity and
2 preferred or financing of MGE, and to take out the
3 Panhandle debt which the company is responsible for,
4 it may be nonrecourse debt, but the company is
5 ultimately responsible; that is, Southern Union
6 Company.

7 And the only way I would even consider
8 taking that out is through proper ringfencing where
9 you make a -- something like Panhandle a bankruptcy
10 remote entity, and that would involve a lot more work
11 than what's been done here. So there's no basis to
12 pull out Panhandle debt.

13 Q. And Mr. Swearngen also asked you
14 questions about why you wouldn't use a hypothetical
15 capital structure when you're looking at a division
16 versus a separate company.

17 A. Yes, sir.

18 Q. Can you please explain why?

19 A. Well, a separate company, a corporate
20 entity in and of itself has its own issues of
21 typically its own debt and it -- and it has its own
22 level of capitalization oftentimes influenced or
23 funded by -- with its parent in terms of equity.

24 This is a division. A division has no
25 corporate life or entity. It is -- it is part of

1 Southern Union, part and parcel. And all its
2 operations and to get the gas to these customers is
3 funded through this actual capital structure. And to
4 do otherwise, to set rates otherwise, would give the
5 company an opportunity to earn more than its
6 authorized equity return.

7 Q. And Mr. Swearengen also asked you
8 questions about the number of other jurisdictions
9 that have employed a 50 basis point reduction.

10 A. Yes, sir.

11 Q. Is straight fixed variable a common rate
12 design?

13 A. No. It's something that's starting to
14 sweep the country. I'm seeing it all over the
15 country, called different things. Some companies --
16 I have a litigation next week where the company just
17 increased its customer charge and just charges a
18 penny or two for the volume charge and has mentioned
19 nothing about decoupling. But that's exactly what's
20 going on, it's -- it's decoupling.

21 And it's happening all over the country.
22 It's been around for a while, but it's really picking
23 up -- picking up steam in -- among regulatory
24 authorities around the country.

25 Q. That wasn't where I was going with that,

1 but I'll move on. You said that under
2 colder-than-normal weather, customers would not
3 overpay costs. Can you explain that?

4 A. Sure. The -- the rate set by this
5 Commission in the last case is the current rate that
6 customers must pay.

7 Q. Okay.

8 A. Say it's a dollar. If it's colder than
9 normal, I'd buy more than I ordinarily would because
10 of the cold. I am paying whatever this Commission
11 has told me I should pay is a just and reasonable
12 rate. I'm not overpaying, I'm not underpaying, I'm
13 paying for every volume of gas I purchase, margins.

14 The company when it's cold may earn more
15 than its authorized return, that is true, but the
16 customer does not pay more or less. It pays the
17 legal rate which this Commission has determined what
18 level it should be set at.

19 Q. I'm going to try again with that last
20 question and go back again about straight fixed
21 variable. Have most jurisdictions in -- in the
22 United States looked at or been faced with a straight
23 fixed variable proposal?

24 A. The answer is no. Again, it's sweeping
25 the country in terms of a proposed rate design.

1 There's more and more pressure put on commissions to
2 adopt higher fixed charges for customers. If you
3 look at even Mr. Hanley's FJH-3, his schedule where
4 he shows the various jurisdictions, only two, I
5 think, gave decoupling or straight fixed variable.
6 Most of them are weather normalization adjustments
7 which have been around for years. So we don't have
8 them.

9 Q. And could that be a reason why there
10 isn't a large number of jurisdictions that have
11 addressed this need to make these reductions in risk?

12 A. That's the only explanation.

13 Q. And following up on questions from
14 Commissioner Davis, why did you use your Value Line
15 proxy without employing a selection criteria similar
16 to the one used by Mr. Murray?

17 A. Well, first of all, more is better, and
18 I point that out, that the more companies you have
19 to -- to analyze, so long as you can justify that
20 they're -- they're good proxies as well. And I
21 employed the 12 companies that a typical investor
22 would look at when looking at Value Line. They're
23 the same companies as Mr. Hanley.

24 Moreover, if -- if -- it's a nonissue
25 because my recommendation doesn't change if you take

1 these three companies out. It really didn't affect
2 the results in this case. If you look at my schedule
3 where I come up with the rate of the return for the
4 DCF and the two-stage DCF, it really doesn't change,
5 it's a nonissue.

6 Q. And my last question is Mr. Swearengen
7 on recross alleged in regards to your testimony, I
8 think it was direct, page 49, that you were
9 double-dipping. Can you please explain why it's your
10 belief you did not double-dip?

11 A. I -- I -- I -- other than to say I
12 didn't double-dip, I'll try it one more time. And
13 that is, if this Commission accepts my recommendation
14 and lowers the revenue requirement by \$1.8 million
15 for the decoupling adjustment that I've recommended,
16 that does not take away the fact that the company,
17 even though it has this adjustment, has less
18 financial risk. It doesn't eliminate or change the
19 risk factors, and -- and -- and it will have going
20 forward under decoupled rates less financial, less
21 business, less risk. It's not an added-to, it's just
22 that it never goes away, it stays less risky.

23 MR. POSTON: Thank you. That's all I
24 have.

25 JUDGE PRIDGIN: All right, Mr. Poston,

1 thank you. Mr. Lawton, thank you very much, sir.

2 You may step down.

3 THE WITNESS: Thank you, Commissioners
4 and thank you, your Honor.

5 JUDGE PRIDGIN: Thank you. I see
6 Mr. Lawton is the last witness for the day, and I
7 don't see any other witnesses that are -- you know,
8 it's 3:30, it's been a long day. I'm assuming that
9 the parties intend to stick with the proposed
10 schedule and that is to begin with class cost of
11 service beginning with MGE witness Cummings in the
12 morning; is that correct?

13 MR. THOMPSON: Yes, your Honor.

14 JUDGE PRIDGIN: All right. Is there
15 anything else further from counsel or from the bench?

16 COMMISSIONER DAVIS: Judge, I -- I have
17 no objection to dismissing Mr. Hanley now if you
18 choose to do so.

19 JUDGE PRIDGIN: All right. Thank you,
20 Mr. Hanley. You may be excused. Thank you very
21 much.

22 MR. POSTON: And Mr. Lawton as well?

23 JUDGE PRIDGIN: Oh, yes.

24 COMMISSIONER DAVIS: Mr. Lawton is
25 waving his hands back there frantically.

1 JUDGE PRIDGIN: Thank you, Mr. Lawton.
2 You're excused. Anything further from counsel or
3 from the bench before we go off the record?

4 (NO RESPONSE.)

5 JUDGE PRIDGIN: All right. Hearing
6 nothing, we will resume at 8:30 in the morning, begin
7 with class cost of service beginning with MGE witness
8 Cummings. Thank you very much. We're off the
9 record.

10 (WHEREUPON, the hearing of this case was
11 recessed until October 28, 2009.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 I N D E X

2

COST OF CAPITAL

3

Mini opening statement by Mr. Swearengen	113
Mini opening statement by Mr. Thompson	203
Mini opening statement by Mr. Poston	301

5

6

COMPANY'S EVIDENCE

7

FRANK J. HANLEY	
Direct Examination by Mr. Swearengen	124
Cross-Examination by Mr. Poston	127
Cross-Examination by Mr. Thompson	133
Questions by Commissioner Davis	156
Recross-Examination by Mr. Thompson	187
Redirect Examination by Mr. Swearengen	189

11

STAFF'S EVIDENCE

12

13

DAVID MURRAY	
Direct Examination by Mr. Thompson	211
Cross-Examination by Mr. Swearengen	215
Questions by Commissioner Kenney	231
Questions by Commissioner Davis	234
Redirect Examination by Mr. Thompson	300

17

18

OPC'S EVIDENCE

19

DANIEL J. LAWTON	
Direct Examination by Mr. Poston	303
Cross-Examination by Mr. Swearengen	305
Questions by Commissioner Davis	338
Recross-Examination by Mr. Swearengen	349
Questions by Commissioner Davis	352
Redirect Examination by Mr. Poston	356

23

24

25

1	EXHIBITS INDEX		
2		MARKED	RECEIVED
3	Exhibit No. 13		
4	Direct Testimony of Frank J. Hanley	*	126
5	Exhibit No. 14		
6	Rebuttal Testimony of Frank J. Hanley	*	126
7	Exhibit No. 15		
8	Surrebuttal Testimony of Frank J. Hanley	*	126
9	Exhibit No. 57		
10	Rebuttal Testimony of David Murray	*	214
11	Exhibit No. 58		
12	Surrebuttal Testimony of David Murray	*	214
13	Exhibit No. 69		
14	Direct Testimony of Daniel J. Lawson	*	305
15	Exhibit No. 70		
16	Rebuttal Testimony of Daniel J. Lawson	*	305
17	Exhibit No. 71		
18	Surrebuttal Testimony of Daniel J. Lawson	*	305
19	Exhibit No. 94		
20	Ibbotson book	162	201
21	Exhibit No. 95		
22	Fama and French article	180	202
23	Exhibit No. 96		
24	RRA information	186	188
25	Exhibit No. 97		
	MOSERS 'current assumptions	197	199

1	EXHIBITS INDEX (CONTINUED)		
2		MARKED	RECEIVED
3	Exhibit No. 98		
4	Document that sets out the		
5	positions of the Staff, the		
6	company and the Public Counsel		
7	with regard to capital		
8	structure and the related		
9	cost rates	215	231
10	Exhibit No. 99		
11	Article	280	**
12	** Not yet received into evidence.		
13			
14			
15			
16			
17			
18			
19			
20			
21			
22			
23			
24			
25			

1 CERTIFICATE OF REPORTER

2 STATE OF MISSOURI)
3)ss.
4 COUNTY OF COLE)

5
6
7 I, PAMELA FICK, RMR, RPR, CSR, CCR #447,

8 within and for the State of Missouri, do hereby
9 certify that the witness whose testimony appears in
10 the foregoing deposition was duly sworn by me; that
11 the testimony of said witness was taken by me to the
12 best of my ability and thereafter reduced to
13 typewriting under my direction; that I am neither
14 counsel for, related to, nor employed by any of the
15 parties to the action to which this deposition was
16 taken, and further that I am not a relative or
17 employee of any attorney or counsel employed by the
18 parties thereto, nor financially or otherwise
19 interested in the outcome of the action.

20
21
22
23 _____
24 PAMELA FICK, RMR, RPR, CSR, CCR #447
25