

Exhibit No.:
Issue: *Storage Withdrawal Adjustment*
Witness: *MICHAEL J. WALLIS*
Sponsoring Party: *MoPSC Staff*
Type of Exhibit: *Direct Testimony*
Case No.: *GR-97-191*

MISSOURI PUBLIC SERVICE COMMISSION
UTILITY SERVICES DIVISION

DIRECT TESTIMONY

OF

MICHAEL J. WALLIS

ASSOCIATED NATURAL GAS COMPANY

CASE NO. GR-97-191

Jefferson City, Missouri
June, 1999

Exhibit No. 4
Date 11-5-99 Case No. GR-97-191
Reporter Ma

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

DIRECT TESTIMONY
OF
MICHAEL J. WALLIS
ASSOCIATED NATURAL GAS COMPANY
CASE NO. GR-97-191

Q. Please state your name and business address.

A. Michael J. Wallis, P.O. Box 360, Jefferson City, Missouri 65102.

Q. By whom are you employed and in what capacity?

A. I am a Regulatory Auditor with the Missouri Public Service Commission
(Commission).

Q. Please describe your educational and professional background.

A. I graduated from Central Missouri State University at Warrensburg,
Missouri and received a Bachelor of Science degree in Business Administration, with a
major in Accounting, in July 1986. I am currently a licensed Certified Public Accountant
in the state of Missouri.

Q. What has been the nature of your duties while in the employ of the
Commission?

A. Under the direction of both the Manager of the Accounting Department
(August 1987 to November 1992) and the Manager of the Procurement Analysis
Department (October 1993 to the current time), I have assisted with audits and
examinations of the books and records of utility companies operating within the state of
Missouri.

Direct Testimony of
Michael J. Wallis

1 Q. Have you previously filed testimony before this Commission?

2 A. Yes. Schedule 1, attached to my direct testimony, is a list of cases in
3 which I have filed testimony before this Commission.

4 Q. What is the purpose of your direct testimony?

5 A. The purpose of my direct testimony is to support the Staff's proposed
6 storage withdrawal adjustment of \$382,162 to Associated Natural Gas Company (ANG
7 or Company) SEMO District gas costs. The Staff's proposed adjustment (which is
8 necessary in order to remove, from ANG's 1996/1997 ACA filing, a \$382,162 double
9 recovery of storage withdrawal costs), if accepted by the Commission, would reduce the
10 SEMO District's Firm customer gas costs by \$343,388 (\$73,441 for Liquefied Natural
11 Gas (LNG) storage withdrawals and \$269,947 for Natural Gas Pipeline Company
12 (NGPL) non-S2 storage withdrawals) and would reduce the SEMO District's Interruptible
13 customer gas costs by \$38,774 (\$9,391 for LNG storage withdrawals and \$29,383 for
14 NGPL non-S2 storage withdrawals).

15 Q. Does the Staff's proposed adjustment, to ANG's 1996/1997 ACA period
16 gas costs of \$382,162, constitute the second of three adjustments of a total proposed
17 adjustment of \$664,824 to the Missouri allocated LNG and NGPL non-S2 storage
18 withdrawal costs which were reflected in ANG's LNG and NGPL storage accounts on
19 December 1, 1995 (the date on which ANG changed its ACA recovery methodology for
20 storage withdrawal costs from an up-front method to an as-used method)?

21 A. Yes. The third portion of Staff's total proposed disallowance of \$664,824
22 is \$28,186 and Staff intends to propose this adjustment in the context of ANG's
23 1997/1998 ACA filing, Case No. GR-98-399.

1 Q. Did the Staff's proposed adjustment in Case No. GR-96-227 (ANG's
2 1995/1996 ACA period) of \$254,476 constitute the first of three adjustments of a total
3 proposed adjustment of \$664,824 to the Missouri allocated LNG and NGPL non-S2
4 storage withdrawal costs which were reflected in ANG's LNG and NGPL storage
5 accounts on December 1, 1995?

6 A. Yes.

7 Q. Was the Staff's proposed adjustment of \$254,476 and correspondingly, the
8 issue of ANG's double recovery of LNG and NGPL non-S2 storage withdrawal costs
9 fully litigated in ACA Case No. GR-96-227?

10 A. Yes. The Commission agreed with the Staff and ordered ANG to reduce
11 its SEMO District gas costs by \$254,476.

12 Q. Are the circumstances, facts, rationale, and relevant information in this
13 ACA case, Case No. GR-97-191 identical to the circumstances, facts, rationale, and
14 relevant information in ACA Case No. GR-96-227?

15 A. Yes, with the exception of the level of the Staff's proposed disallowance
16 (\$382,162 versus \$254,476). The Staff, in order to address the concerns of the
17 Commission (expressed in its Order in Case No. GR-96-227) with regard to documents
18 which the Staff may have failed to obtain or failed to review, submitted Data Request No.
19 60 to ANG. ANG's response to Staff Data Request No. 60 does not provide any new
20 rationale, facts, or relevant information (dated prior to or after July 8, 1982) which the
21 Staff has not already reviewed or of which the Staff was not already aware.

22 Q. Were you the only Staff witness in Case No. GR-96-227?

23 A. Yes.

Direct Testimony of
Michael J. Wallis

1 Q. Please describe Schedules 2, 3, 4, 5, 6, and 7 which are attached to your
2 direct testimony.

3 A. Schedules 2, 3, and 4, attached to my direct testimony, are copies of my
4 direct, rebuttal, and surrebuttal testimony, respectively, from Case No. GR-96-227.
5 Schedule 5, attached to my direct testimony, is a copy of page 57 to page 83 of the April
6 7, 1998 transcript of the Commission hearing with regard to Case No. GR-96-227
7 wherein I gave on-the-record oral testimony in support of the Staff's proposed \$254,476
8 adjustment.

9 Schedules 6 and 7, attached to my direct testimony, are copies of the June 1982
10 NGPL bundled gas invoice to ANG and the February 1982 NGPL bundled gas invoice to
11 ANG, respectively. Schedules 6 and 7 were provided by ANG in response to Staff Data
12 Request No. 60. They clearly show that in the pre-Order 636 environment (bundled sales,
13 storage, and transportation service) which was in effect prior to July 8, 1982 (the date on
14 which ANG changed its tariffs in order to implement the Commission approved ACA
15 true-up process]: (1) storage injections were included or added to the pipeline invoices
16 (see Schedule 6); and (2) storage withdrawals were excluded or subtracted from the
17 pipeline invoices (see Schedule 7). Thus, it is clear that (under its MOPSC tariffs) ANG
18 automatically received (prior to July 8, 1982) an up-front recovery of all storage
19 withdrawal costs. As a result, ANG has already recovered the \$664,824 of Missouri
20 allocated LNG and NGPL non-S2 storage withdrawal costs which were reflected in
21 ANG's storage accounts on December 1, 1995 (the date on which ANG changed its ACA
22 recovery methodology for storage withdrawal costs from an up-front method to an as-
23 used method).

1 Schedules 2, 3, 4, and 5, attached to my direct testimony, contain all the facts,
2 circumstances, rationale, and relevant information which the Staff presented to the
3 Commission in Case No. GR-96-227. Due to the identical nature of the Staff's position,
4 including the supporting documentation, between Case No. GR-96-227 and Case No.
5 GR-97-191, the Staff believes that it is more expeditious to attach the relevant
6 information as Schedules 2 to 5 to my direct testimony, rather than repeat them.

7 Q. Please summarize your direct testimony.

8 A. Staff urges the Commission to issue the same order in this case, Case No.
9 GR-97-191 as the order which it issued in Case No. GR-96-227. Staff believes that the
10 Commission would be correct in taking this approach because (1) Staff's proposed
11 adjustment of \$382,162 represents a continuation (it is the second adjustment to the
12 \$664,824 in ANG Missouri allocated LNG and NGPL non-S2 storage withdrawal costs
13 which were reflected in ANG's LNG and NGPL storage accounts on December 1, 1995)
14 of the \$254,476 adjustment proposed by the Staff in Case No. GR-96-227 wherein the
15 Commission, in its order, agreed with the Staff that ANG was engaged in a double
16 recovery of LNG and NGPL non-S2 storage withdrawal costs and (2) the circumstances,
17 facts, rationale, and relevant information in this ACA case, Case No. GR-97-191 are
18 identical to the circumstances, facts, rationale, and relevant information in ACA Case No.
19 GR-96-227.

20 Q. Does this conclude your direct testimony?

21 A. Yes, it does.

BEFORE THE PUBLIC SERVICE COMMISSION
OF THE STATE OF MISSOURI

In the Matter of Associated Natural Gas Company's)
Tariff Revision to be Reviewed in its 1996-1997) Case No. GR-97-191
Actual Cost Adjustment.)

AFFIDAVIT OF MICHAEL J. WALLIS

STATE OF MISSOURI)
) ss.
COUNTY OF COLE)

Michael J. Wallis, of lawful age, on his oath states: that he has participated in the preparation of the foregoing Direct Testimony in question and answer form, consisting of 5 pages to be presented in the above case; that the answers in the foregoing Direct Testimony were given by him; that he has knowledge of the matters set forth in such answers; and that such matters are true and correct to the best of his knowledge and belief.



Michael J. Wallis
MICHAEL J. WALLIS

Subscribed and sworn to before me this 24th day of June 1999.

Randall Z. Wright
Notary Public, State of Missouri
County of Cole
My Commission Expires: 01/02/2001

Randall Z. Wright
Notary Public

SUMMARY OF RATE CASE INVOLVEMENT

MICHAEL J. WALLIS

<u>COMPANY NAME</u>	<u>CASE NO.</u>
St. Joseph Light & Power Company	GR-88-115
Capital City Water Company	WR-88-215
GTE North Incorporated	TR-89-182
The Empire District Electric Company	WR-90-56
The Empire District Electric Company	ER-90-138
Ozark Natural Gas Company	GA-90-321
United Cities Gas Company	GR-91-249
St. Joseph Light & Power Company	EC-92-214
Western Resources Inc.	GR-93-140
Tartan Energy Company, L.C.	GA-94-127
Associated Natural Gas Company	GR-94-189
Associated Natural Gas Company	GR-95-213
Missouri Public Service	GR-95-273
Union Electric Company	EM-96-149
Laclede Gas Company	GR-96-181
Missouri Public Service	GR-96-192
Laclede Gas Company	GR-96-193
Associated Natural Gas Company	GR-96-227
Missouri Gas Energy	GR-96-450
Atmos Energy Corporation and United Cities Gas Company	GM-97-70
Associated Natural Gas Company	GR-97-272
Missouri Gas Energy	GO-97-409
United Cities Gas Company	GO-97-410
Missouri Gas Energy	GC-98-335
Laclede Gas Company	GR-98-374
Laclede Gas Company	GT-99-303
Laclede Gas Company	GR-99-315

DIRECT TESTIMONY
OF
MICHAEL J. WALLIS
ASSOCIATED NATURAL GAS COMPANY
CASE NO. GR-96-227

Q. Please state your name and business address.

A. Michael J. Wallis, P.O. Box 360, Jefferson City, Missouri 65102.

Q. By whom are you employed and in what capacity?

A. I am a Regulatory Auditor with the Missouri Public Service Commission
(Commission).

Q. Please describe your educational and professional background.

A. I graduated from Central Missouri State University at Warrensburg,
Missouri and received a Bachelor of Science degree in Business Administration, with a
major in Accounting, in July, 1986. I am currently a licensed Certified Public Accountant
in the state of Missouri.

Q. What has been the nature of your duties while in the employ of the
Commission?

A. Under the direction of both the Manager of the Accounting Department
(August 1987 to November 1992) and the Manager of the Procurement Analysis
Department (October 1993 to the current time), I have assisted with audits and
examinations of the books and records of utility companies operating within the state of
Missouri.

Q. Have you previously filed testimony before this Commission?

A. Yes. Schedule 1, attached to my direct testimony, is a list of cases in which

Direct Testimony of
Michael J. Wallis

1 I have filed testimony before this Commission.

2 Q. What is the purpose of your direct testimony?

3 A. The purpose of my direct testimony is to support the Staff's proposed
4 storage withdrawal adjustment of \$254,476 to Associated Natural Gas Company (ANG or
5 Company) SEMO District gas costs.

6 Q. Please discuss the Staff's proposed storage withdrawal adjustment to
7 ANG's SEMO District gas costs.

8 A. On December 1, 1995, ANG changed its Actual Cost Adjustment (ACA)
9 recovery methodology with regard to Liquefied Natural Gas (LNG) storage and Natural
10 Gas Pipeline Company (NGPL) non-S2 storage by showing both the injections and
11 withdrawals of gas as separate components in its ACA filing. Prior to December 1, 1995,
12 ANG did not reflect the LNG and NGPL non-S2 storage injections or storage withdrawals
13 as separate components of the ACA filing, but instead ANG accounted for the storage
14 injections and storage withdrawals as part of the invoiced flowing supplies in the months
15 in which the gas was purchased by ANG.

16 Staff agrees with ANG's decision to change its ACA recovery methodology with
17 regard to the LNG and NGPL non-S2 storage accounts because (1) ANG uses this same
18 ACA recovery methodology with regard to all of its other (PEPL, TETC, MRT, ANR,
19 and NGPL S2) storage accounts and (2) the majority of the other Local Distribution
20 Company's (LDC) in Missouri also use the same ACA recovery methodology as ANG is
21 proposing to use for the LNG and NGPL non-S2 storage accounts and which ANG
22 already uses for its other storage accounts. However, Staff believes that ANG's approach

Direct Testimony of
Michael J. Wallis

1 of changing its storage recovery methodology over a one month period ignores the fact
2 that the only storage withdrawals that should be shown in the filing are those associated
3 with gas supplies injected into storage after December 1, 1995 and thus, results in ANG
4 receiving a double recovery of all LNG and NGPL non-S2 gas withdrawn from storage
5 during the 1995-1996 ACA period.

6 Staff believes that all withdrawals of gas, shown in ANG's 1995-1996 ACA filing,
7 with regard to LNG and NGPL non-S2 storage should be removed from the filing. As a
8 result, Staff is proposing an adjustment to reduce the SEMO District's Firm customer gas
9 costs by \$234,909 (\$109,337 for LNG storage withdrawals and \$125,572 for NGPL non-
10 S2 storage withdrawals) and to reduce the SEMO District's Interruptible customer gas
11 costs by \$19,567 (\$9,451 for LNG storage withdrawals and \$10,116 for NGPL non-S2
12 storage withdrawals). Thus, Staff is proposing to reduce the SEMO District gas costs by a
13 total of \$254,476.

14 Q. Please give an example of (1) the manner in which ANG recovered the
15 amounts in its LNG and NGPL non-S2 storage accounts prior to December 1, 1995, (2)
16 the manner in which ANG currently recovers the amounts in its other storage accounts,
17 and (3) the manner in which ANG has recovered, in this 1995-1996 ACA filing, the
18 amounts in its LNG and NGPL non-S2 storage accounts.

19 A. During an injection month, ANG would receive an invoice (which for my
20 example I will assume is \$1,000) for the gas supplies which it purchased from a marketer
21 or supplier. A portion of the \$1,000 commodity gas cost amount (which for my for
22 example I will assume is \$700) would flow immediately to ANG's city gate. The

Direct Testimony of
Michael J. Wallis

1 remainder of the \$1,000 commodity gas cost amount (which for my example I will assume
2 is \$300) would be injected into storage. The \$300 commodity gas cost amount which was
3 injected into storage would subsequently be withdrawn from storage during a withdrawal
4 month and would flow to ANG's city gate at that time.

5 Prior to December 1, 1995, ANG would have recovered the amounts in its LNG
6 and NGPL non-S2 storage accounts by (1) including the entire \$1,000 commodity gas
7 cost amount in its ACA filing and (2) excluding from the ACA filing the subsequent
8 withdrawal, from storage, of the \$300 commodity gas cost amount which had previously
9 been injected into storage. Thus, ANG would have, in effect, received up-front recovery
10 of the entire \$1,000 commodity gas cost amount.

11 ANG currently recovers the amounts in its other storage accounts by (1) including
12 in its ACA filing only the \$700 portion, of the total \$1,000 commodity gas cost amount,
13 which flows immediately to the city gate and (2) including, as part of the total cost of gas
14 shown in the ACA filing, the withdrawal of the \$300 commodity gas cost amount which
15 had previously been injected into storage. Thus, ANG currently recovers the \$1,000
16 commodity gas cost amount at the time the gas supplies are used by its customers.

17 ANG has recovered, in this 1995-1996 ACA filing, the amounts in its LNG and
18 NGPL non-S2 storage accounts by (1) including the entire \$1,000 commodity gas cost
19 amount in its ACA filing and (2) including, as part of the total cost of gas shown in the
20 ACA filing, the withdrawal of the \$300 commodity gas cost amount which had previously
21 been injected into storage. Thus, ANG has received a double-recovery of the \$300
22 commodity gas cost amount which was initially injected into storage. ANG recovered the

Direct Testimony of
Michael J. Wallis

1 \$300 commodity gas cost injection amount in an up-front fashion because the \$1,000
2 invoiced commodity gas cost amount, shown in the ACA filing, was not reduced by \$300
3 at the time the gas was injected into storage and ANG recovered the \$300 commodity gas
4 cost injection amount again when it was subsequently withdrawn from storage and
5 included as part of the total cost of gas in the ACA filing.

6 Q. You have previously indicated that you agree with ANG's decision to
7 change its ACA recovery methodology with regard to the LNG and NGPL non-S2
8 storage accounts, but you disagree with ANG's approach of changing ACA recovery
9 methodologies within a one month period. How do you recommend that ANG change its
10 ACA recovery methodology with regard to the LNG and NGPL non-S2 storage accounts
11 and at the same time avoid the double recovery of storage costs which you have
12 previously discussed?

13 A. I recommend that ANG, beginning on December 1, 1995 (1) reduce the
14 gas supply invoices, which are reflected in the 1995-1996 ACA filing and any future ACA
15 filings, by the amount of any gas which is injected into the LNG and/or NGPL non-S2
16 storage accounts, (2) exclude, from the 1995-1996 ACA filing and any future ACA filings,
17 the amount of any gas withdrawn from the LNG and/or NGPL non-S2 storage accounts
18 which was injected prior to December 1, 1995, and (3) include, in the 1995-1996 ACA
19 filing and any future ACA filings, the amount of any gas withdrawn from the LNG and/or
20 NGPL non-S2 storage accounts which was injected after December 1, 1995. This
21 approach will allow ANG to change its ACA recovery methodology with regard to the

Direct Testimony of
Michael J. Wallis

1 LNG and non-S2 storage accounts gradually over a period of time without causing a
2 double recovery problem.

3 Q. Please summarize your direct testimony.

4 A. On December 1, 1995, ANG changed its ACA recovery methodology with
5 regard to LNG storage and NGPL non-S2 storage by showing both the injections and
6 withdrawals of gas as separate components in its ACA filing. Prior to December 1, 1995,
7 ANG did not reflect the LNG and NGPL non-S2 storage injections or storage withdrawals
8 as separate components of the ACA filing, but instead ANG accounted for the storage
9 injections and storage withdrawals as part of the invoiced flowing supplies in the months
10 in which the gas was purchased by ANG.

11 Staff believes that ANG's approach of changing its storage recovery methodology
12 over a one month period ignores the fact that the only storage withdrawals that should be
13 shown in the filing are those associated with gas supplies injected into storage after
14 December 1, 1995 and thus, results in ANG receiving a double recovery of all LNG and
15 NGPL non-S2 gas withdrawn from storage during the 1995-1996 ACA period. As a
16 result, Staff is proposing an adjustment to reduce the SEMO District's Firm customer gas
17 costs by \$234,909 and to reduce the SEMO District's Interruptible customer gas costs by
18 \$19,567.

19 Q. Does this conclude your direct testimony?

20 A. Yes, it does.
21
22

SUMMARY OF RATE CASE INVOLVEMENT

MICHAEL J. WALLIS

COMPANY NAME

CASE NO.

St. Joseph Light & Power Company	GR-88-115
Capital City Water Company	WR-88-215
GTE North Incorporated	TR-89-182
The Empire District Electric Company	WR-90-56
The Empire District Electric Company	ER-90-138
Ozark Natural Gas Company	GA-90-321
United Cities Gas Company	GR-91-249
St. Joseph Light & Power Company	EC-92-214
Western Resources Inc.	GR-93-140
Tartan Energy Company, L.C.	GA-94-127
Associated Natural Gas Company	GR-94-189
Associated Natural Gas Company	GR-95-213
Missouri Public Service	GR-95-273
Union Electric Company	EM-96-149
Missouri Public Service	GR-96-192
Laclede Gas Company	GR-96-193
Atmos Energy Corporation and United Cities Gas Company	GM-97-70
Associated Natural Gas Company	GR-97-272
Missouri Gas Energy	GO-97-409
United Cities Gas Company	GO-97-410

SCHEDULE 1

Schedule 2.7

OF THE STATE OF MISSOURI

Case No. GR-96-227

AFFIDAVIT OF MICHAEL J. WALLIS

SS.

Michael J. Wallis, of lawful age, on his oath states: that he has participated in the preparation of the foregoing Direct Testimony in question and answer form, consisting of 6 pages to be presented in the above case; that the answers in the foregoing Direct Testimony were given by him; that he has knowledge of the matters set forth in such answers; and that such matters are true and correct to the best of his knowledge and belief.

Michael J. Wallis
MICHAEL J. WALLIS

Subscribed and sworn to before me this 20th day of November, 1997.

Roberta A. McKelley
Notary Public

My Commission Expires: _____

ROBERTA A. McKIDDY
Notary Public, State of Missouri
County of Cole
My Commission Expires 09/11/98

1 **REBUTTAL TESTIMONY**

2 **OF**

3 **MICHAEL J. WALLIS**

4 **ASSOCIATED NATURAL GAS COMPANY**

5 **CASE NO. GR-96-227**

6 Q. Are you the same Michael J. Wallis who filed direct testimony in this case?

7 A. Yes, I am.

8 Q. What is the purpose of your rebuttal testimony?

9 A. The purpose of my rebuttal testimony is respond to the direct testimony of
10 Associated Natural Gas Company (ANG or Company) witness Mark S. Kidd.

11 Q. Do you agree with Mr. Kidd's characterization, on Page 7, Lines 1 to 9 of
12 his direct testimony, of the Staff recommendation in Case No. GR-93-169?

13 A. Yes. However, I would point out that the Staff recommendation in Case
14 No. GR-93-169 does not mention a specific time by which ANG was required to change
15 its Actual Cost Adjustment (ACA) recovery methodology with regard to the NGPL non-
16 S2 and Liquefied Natural Gas (LNG) storage accounts. In fact, ANG did not actually
17 change its ACA recovery methodology for the NGPL non-S2 and LNG storage accounts
18 until December 1, 1995 (two years after Staff made its recommendation in Case No. GR-
19 93-169), the date ANG converted from the NGPL S-2 and non-S2 storage services to the
20 new NGPL DSS and NSS storage services.

21 The Staff recommendation in Case No. GR-93-169 did state "The Company
22 should adjust gas costs in future ACA filings to account for storage injections and
23 withdrawals on the NGPL system". This statement is vague at best with regard to a
24 specific time period for making the change in ACA recovery methodology and it does not

Rebuttal Testimony of
Michael J. Wallis

1 even mention the LNG storage account.

2 Q. Do you agree with Mr. Kidd where on Page 12, Lines 6 to 8 of his direct
3 testimony he implies that Staff is planning to disallow the entire \$827,927 balance of
4 NGPL non-S2 and LNG gas costs in storage as of November 30, 1995?

5 A. No. Mr. Kidd does not mention that only a portion of the \$827,927 NGPL
6 non-S2 and LNG gas costs in storage as of November 30, 1995 will be allocated to
7 ANG's Missouri ratepayers. The \$827,927 balance, mentioned by Mr. Kidd, with regard
8 to the NGPL non-S2 and LNG gas costs in storage as of November 30, 1995 is composed
9 of \$435,019 of NGPL non-S2 storage costs and \$392,908 of LNG storage costs. The
10 NGPL non-S2 storage costs, when they are eventually withdrawn, will be allocated 100%
11 to ANG's Missouri ratepayers, whereas the LNG storage costs, when they are eventually
12 withdrawn, will be allocated at approximately 58% to ANG's Missouri ratepayers. Thus,
13 Staff is actually seeking to, eventually, disallow approximately \$663,000 in (\$435,019 of
14 NGPL non-S2 and \$228,000 of LNG) storage withdrawal costs.

15 Staff, in this case, proposes to disallow only the portion (\$254,476) of the total
16 \$663,000 balance of NGPL non-S2 and LNG gas costs in storage as of November 30,
17 1995 which was withdrawn during the 1995-1996 ACA period. If the Commission decides
18 in Staff's favor with regard to its Order in Case No. GR-96-227, the Staff will propose
19 additional disallowances in future ACA cases of approximately \$409,000.

20 Q. Do you have any comments with regard to Schedule MSK-3 which is
21 attached to the direct testimony of Mr. Kidd?

22 A. Yes. Staff would point out that Schedule MSK-3 shows that ANG, as of

Rebuttal Testimony of
Michael J. Wallis

1 September 1, 1982, had a positive withdrawal balance of \$835,859. Staff is concerned that
2 prior to July 8, 1982 (the date when ANG began recovering its procurement gas costs
3 through the ACA true-up mechanism), ANG recovered approximately \$663,000 of
4 Missouri allocated storage withdrawal costs in an up-front fashion [which was allowed by
5 its then effective Missouri PSC Purchased Gas Adjustment (PGA) tariffs] by charging its
6 Missouri customers an estimated PGA rate which was based on a determination of the
7 Company's average cost of gas by using the most recent supplier invoices (see Schedule 1
8 attached to my rebuttal testimony). ANG, by using the most recent supplier invoices,
9 would clearly have been recovering the storage costs in an up-front fashion (the pre July 8,
10 1982 tariff language does not state that ANG was to use the most recent supplier invoices
11 less storage injections) similar to its pre December 1, 1995 storage recovery methodology
12 with regard to the NGPL non-S2 and LNG storage accounts.

13 Q. Please explain Schedule 1 which is attached to your rebuttal testimony.

14 A. Schedule 1, attached to my rebuttal testimony, is canceled Missouri PSC
15 PGA tariff sheet Number 44 and it served as ANG's PGA Clause for the SEMO District
16 for the period of June 2, 1978 (effective date of the tariff sheet) to July 8, 1982 (date
17 when the tariff sheet was canceled and replaced). Thus, Schedule 1 contains ANG's pre
18 July 8, 1982 tariff language with regard to the recovery treatment of storage injection and
19 withdrawal costs.

20 Q. Please summarize your rebuttal testimony.

21 A. The Staff recommendation in Case No. GR-93-169 states "The Company
22 should adjust gas costs in future ACA filings to account for storage injections and

Rebuttal Testimony of
Michael J. Wallis

1 withdrawals on the NGPL system". This statement is vague at best with regard to a
2 specific time period for making the change in ACA recovery methodology and it does not
3 even mention the LNG storage account.

4 Staff, in this case, proposes to disallow only the portion (\$254,476) of the total
5 \$663,000 balance of NGPL non-S2 and LNG gas costs in storage as of November 30,
6 1995 which were withdrawn during the 1995-1996 ACA period. If the Commission
7 decides in Staff's favor with regard to its Order in Case No. GR-96-227, the Staff will
8 propose additional disallowances in future ACA cases of approximately \$409,000.

9 Staff is concerned that prior to July 8, 1982 (the date when ANG began recovering
10 its procurement gas costs through the ACA true-up mechanism), ANG recovered
11 approximately \$663,000 of Missouri allocated storage withdrawal costs in an up-front
12 fashion by charging its Missouri customers an estimated PGA rate which was based on a
13 determination of the Company's average cost of gas by using the most recent supplier
14 invoices (not by using the most recent supplier invoices less storage injections).

15 Q. Does this conclude your rebuttal testimony?

16 A. Yes, it does.

All Previous Schedules

CANCELLING P. S. C. MO. No. _____

ORIGINAL

SHEET No. _____

See Index

ASSOCIATED NATURAL GAS COMPANY

FOR _____

COMMUNITY, TOWN OR CITY

JUN 2 1978

GAS RATE SCHEDULE
PURCHASED GAS ADJUSTMENT CLAUSE (PGA)

MISSOURI

PUBLIC SERVICE COMMISSION

The charges which the Company makes for gas shall be subject to increases or decreases because of increases or decreases in the cost of gas charged by any or all suppliers serving areas described as follows:

Cape Girardeau, Dunklin, Iron, Mississippi, New Madrid, Pemiscot, Ripley, Scott, Stoddard, and Wayne Counties in Missouri; and Clay Craighead, Greene, and Mississippi Counties in Arkansas.

A. Each month the Company will determine its average cost of gas by using the most recent supplier invoices to compute the appropriate adjustment applicable to its rates as follows:

1. The cost of gas purchased in the most recent twelve month period shall be priced on two bases:

(a) at the wholesale base rates of -

Demand: \$2.0905 per Mcf per month; Commodity by DSC 6 1982 1983 1984 1985 1986 1987 1988 1989 1990 1991 1992 1993 1994 1995 1996 1997 1998 1999 2000 2001 2002 2003 2004 2005 2006 2007 2008 2009 2010 2011 2012 2013 2014 2015 2016 2017 2018 2019 2020 2021 2022 2023 2024 2025 2026 2027 2028 2029 2030 2031 2032 2033 2034 2035 2036 2037 2038 2039 2040 2041 2042 2043 2044 2045 2046 2047 2048 2049 2050 2051 2052 2053 2054 2055 2056 2057 2058 2059 2060 2061 2062 2063 2064 2065 2066 2067 2068 2069 2070 2071 2072 2073 2074 2075 2076 2077 2078 2079 2080 2081 2082 2083 2084 2085 2086 2087 2088 2089 2090 2091 2092 2093 2094 2095 2096 2097 2098 2099 2100 2101 2102 2103 2104 2105 2106 2107 2108 2109 2110 2111 2112 2113 2114 2115 2116 2117 2118 2119 2120 2121 2122 2123 2124 2125 2126 2127 2128 2129 2130 2131 2132 2133 2134 2135 2136 2137 2138 2139 2140 2141 2142 2143 2144 2145 2146 2147 2148 2149 2150 2151 2152 2153 2154 2155 2156 2157 2158 2159 2160 2161 2162 2163 2164 2165 2166 2167 2168 2169 2170 2171 2172 2173 2174 2175 2176 2177 2178 2179 2180 2181 2182 2183 2184 2185 2186 2187 2188 2189 2190 2191 2192 2193 2194 2195 2196 2197 2198 2199 2200 2201 2202 2203 2204 2205 2206 2207 2208 2209 2210 2211 2212 2213 2214 2215 2216 2217 2218 2219 2220 2221 2222 2223 2224 2225 2226 2227 2228 2229 2230 2231 2232 2233 2234 2235 2236 2237 2238 2239 2240 2241 2242 2243 2244 2245 2246 2247 2248 2249 2250 2251 2252 2253 2254 2255 2256 2257 2258 2259 2260 2261 2262 2263 2264 2265 2266 2267 2268 2269 2270 2271 2272 2273 2274 2275 2276 2277 2278 2279 2280 2281 2282 2283 2284 2285 2286 2287 2288 2289 2290 2291 2292 2293 2294 2295 2296 2297 2298 2299 2300 2301 2302 2303 2304 2305 2306 2307 2308 2309 2310 2311 2312 2313 2314 2315 2316 2317 2318 2319 2320 2321 2322 2323 2324 2325 2326 2327 2328 2329 2330 2331 2332 2333 2334 2335 2336 2337 2338 2339 2340 2341 2342 2343 2344 2345 2346 2347 2348 2349 2350 2351 2352 2353 2354 2355 2356 2357 2358 2359 2360 2361 2362 2363 2364 2365 2366 2367 2368 2369 2370 2371 2372 2373 2374 2375 2376 2377 2378 2379 2380 2381 2382 2383 2384 2385 2386 2387 2388 2389 2390 2391 2392 2393 2394 2395 2396 2397 2398 2399 2400 2401 2402 2403 2404 2405 2406 2407 2408 2409 2410 2411 2412 2413 2414 2415 2416 2417 2418 2419 2420 2421 2422 2423 2424 2425 2426 2427 2428 2429 2430 2431 2432 2433 2434 2435 2436 2437 2438 2439 2440 2441 2442 2443 2444 2445 2446 2447 2448 2449 2450 2451 2452 2453 2454 2455 2456 2457 2458 2459 2460 2461 2462 2463 2464 2465 2466 2467 2468 2469 2470 2471 2472 2473 2474 2475 2476 2477 2478 2479 2480 2481 2482 2483 2484 2485 2486 2487 2488 2489 2490 2491 2492 2493 2494 2495 2496 2497 2498 2499 2500 2501 2502 2503 2504 2505 2506 2507 2508 2509 2510 2511 2512 2513 2514 2515 2516 2517 2518 2519 2520 2521 2522 2523 2524 2525 2526 2527 2528 2529 2530 2531 2532 2533 2534 2535 2536 2537 2538 2539 2540 2541 2542 2543 2544 2545 2546 2547 2548 2549 2550 2551 2552 2553 2554 2555 2556 2557 2558 2559 2560 2561 2562 2563 2564 2565 2566 2567 2568 2569 2570 2571 2572 2573 2574 2575 2576 2577 2578 2579 2580 2581 2582 2583 2584 2585 2586 2587 2588 2589 2590 2591 2592 2593 2594 2595 2596 2597 2598 2599 2600 2601 2602 2603 2604 2605 2606 2607 2608 2609 2610 2611 2612 2613 2614 2615 2616 2617 2618 2619 2620 2621 2622 2623 2624 2625 2626 2627 2628 2629 2630 2631 2632 2633 2634 2635 2636 2637 2638 2639 2640 2641 2642 2643 2644 2645 2646 2647 2648 2649 2650 2651 2652 2653 2654 2655 2656 2657 2658 2659 2660 2661 2662 2663 2664 2665 2666 2667 2668 2669 2670 2671 2672 2673 2674 2675 2676 2677 2678 2679 2680 2681 2682 2683 2684 2685 2686 2687 2688 2689 2690 2691 2692 2693 2694 2695 2696 2697 2698 2699 2700 2701 2702 2703 2704 2705 2706 2707 2708 2709 2710 2711 2712 2713 2714 2715 2716 2717 2718 2719 2720 2721 2722 2723 2724 2725 2726 2727 2728 2729 2730 2731 2732 2733 2734 2735 2736 2737 2738 2739 2740 2741 2742 2743 2744 2745 2746 2747 2748 2749 2750 2751 2752 2753 2754 2755 2756 2757 2758 2759 2760 2761 2762 2763 2764 2765 2766 2767 2768 2769 2770 2771 2772 2773 2774 2775 2776 2777 2778 2779 2780 2781 2782 2783 2784 2785 2786 2787 2788 2789 2790 2791 2792 2793 2794 2795 2796 2797 2798 2799 2800 2801 2802 2803 2804 2805 2806 2807 2808 2809 2810 2811 2812 2813 2814 2815 2816 2817 2818 2819 2820 2821 2822 2823 2824 2825 2826 2827 2828 2829 2830 2831 2832 2833 2834 2835 2836 2837 2838 2839 2840 2841 2842 2843 2844 2845 2846 2847 2848 2849 2850 2851 2852 2853 2854 2855 2856 2857 2858 2859 2860 2861 2862 2863 2864 2865 2866 2867 2868 2869 2870 2871 2872 2873 2874 2875 2876 2877 2878 2879 2880 2881 2882 2883 2884 2885 2886 2887 2888 2889 2890 2891 2892 2893 2894 2895 2896 2897 2898 2899 2900 2901 2902 2903 2904 2905 2906 2907 2908 2909 2910 2911 2912 2913 2914 2915 2916 2917 2918 2919 2920 2921 2922 2923 2924 2925 2926 2927 2928 2929 2930 2931 2932 2933 2934 2935 2936 2937 2938 2939 2940 2941 2942 2943 2944 2945 2946 2947 2948 2949 2950 2951 2952 2953 2954 2955 2956 2957 2958 2959 2960 2961 2962 2963 2964 2965 2966 2967 2968 2969 2970 2971 2972 2973 2974 2975 2976 2977 2978 2979 2980 2981 2982 2983 2984 2985 2986 2987 2988 2989 2990 2991 2992 2993 2994 2995 2996 2997 2998 2999 3000 3001 3002 3003 3004 3005 3006 3007 3008 3009 3010 3011 3012 3013 3014 3015 3016 3017 3018 3019 3020 3021 3022 3023 3024 3025 3026 3027 3028 3029 3030 3031 3032 3033 3034 3035 3036 3037 3038 3039 3040 3041 3042 3043 3044 3045 3046 3047 3048 3049 3050 3051 3052 3053 3054 3055 3056 3057 3058 3059 3060 3061 3062 3063 3064 3065 3066 3067 3068 3069 3070 3071 3072 3073 3074 3075 3076 3077 3078 3079 3080 3081 3082 3083 3084 3085 3086 3087 3088 3089 3090 3091 3092 3093 3094 3095 3096 3097 3098 3099 3100 3101 3102 3103 3104 3105 3106 3107 3108 3109 3110 3111 3112 3113 3114 3115 3116 3117 3118 3119 3120 3121 3122 31

1 **SURREBUTTAL TESTIMONY**

2 **OF**

3 **MICHAEL J. WALLIS**

4 **ASSOCIATED NATURAL GAS COMPANY**

5 **CASE NO. GR-96-227**

6 Q. Are you the same Michael J. Wallis who filed direct and rebuttal testimony in
7 this case?

8 A. Yes, I am.

9 Q. What is the purpose of your surrebuttal testimony?

10 A. The purpose of my surrebuttal testimony is respond to the rebuttal testimony
11 of Associated Natural Gas Company (ANG or Company) witness Mark S. Kidd.

12 Q. Do you agree with Mr. Kidd where on Page 8, Lines 5 to 7 of his rebuttal
13 testimony, he states "Staff in this case does not allege recovery prior to the onset of ACA
14 [Actual Cost Adjustment] recovery; instead, Staff alleges that the disallowed amounts had
15 been recovered during existence of the ACA process"?

16 A. No. It is the Staff's position that the disallowed storage withdrawal amount
17 (\$254,476) has been double-recovered by ANG in its 1995/1996 ACA filing. The Company
18 has already recovered this storage withdrawal amount as a result of its use (both before and
19 after July 8, 1982) of an up-front storage recovery methodology which allows ANG to
20 recovery its storage withdrawal costs as volumes are injected into storage.

21 As I indicated in my rebuttal testimony, Staff is concerned that prior to July 8, 1982
22 (the date when ANG began recovering its procurement gas costs through the ACA true-up
23 mechanism), ANG recovered approximately \$663,000 (ANG's total-company amount is
24 \$835,859) of Missouri allocated storage withdrawal costs in an up-front fashion by charging

Surrebuttal Testimony of
Michael J. Wallis

1 its Missouri customers a tariffed estimated Purchased Gas Adjustment (PGA) rate (approved
2 by the Commission) which was based on a determination of the Company's average cost of
3 gas by using the most recent supplier invoices (including gas supplies injected into storage).

4 Thus, despite the NGPL non-S2 and LNG storage balance of \$835,859 which Mr.
5 Kidd claims (throughout his rebuttal testimony) was unrecovered (per ANG's books) as of
6 September 1, 1982 and of which amount \$827,927 allegedly remained unrecovered (per
7 ANG's books) as of November 30, 1995, the Company by following its pre July 8, 1982
8 Missouri PSC PGA tariffs has, in a previous period, already recovered the entire \$835,859
9 balance of NGPL non-S2 and LNG storage withdrawal costs. In addition, Staff would point
10 out that it is difficult to understand how ANG could have a booked capitalized (asset)
11 inventory balance of \$835,859 as of September 1, 1982 (or \$827,927 as of November 30,
12 1995) when the Company has always expensed its storage costs, in an up-front fashion, as the
13 gas supplies are purchased from the supplier and injected into storage.

14 Q. Please summarize your surrebuttal testimony.

15 A. Despite the NGPL non-S2 and LNG storage balance of \$835,859 which Mr.
16 Kidd claims was unrecovered (per ANG's books) as of September 1, 1982 and of which
17 amount \$827,927 remained unrecovered (per ANG's books) as of November 30, 1995, the
18 Company by following its pre July 8, 1982 Missouri PSC PGA tariffs has, in a previous
19 period, already recovered the entire \$835,859 balance of NGPL non-S2 and LNG storage
20 withdrawal costs.

21 Q. Does this conclude your surrebuttal testimony?

22 A. Yes, it does.

OF THE STATE OF MISSOURI

AFFIDAVIT OF MICHAEL J. WALLIS

Michael J. Wallis, is, of lawful age, on his oath states: that he has participated in the preparation of the foregoing Surrebuttal Testimony in question and answer form, consisting of 2 pages to be presented in the above case; that the answers in the foregoing Surrebuttal Testimony were given by him; that he has knowledge of the matters set forth in such answers; and that such matters are true and correct to the best of his knowledge and belief.



Michael J. Wallis
MICHAEL J. WALLIS

Subscribed and sworn to before me this 27th day of February 1998.

Randee L. Wright
Notary Public

My Commission Expires:
 Randall Z. Wright
 Notary Public, State of Missouri
 County of Cole
 My Commission Exp. 01/02/2001

1 Q. Okay. So are there any -- are there any
2 missing documents in this case that you're aware of or
3 that you -- is there any documenting anywhere that you
4 wanted to find that you could not find?

5 A. No.

6 MR. DUFFY: That's all I have, your Honor.

7 JUDGE GEORGE: Thank you.

8 And, Mr. Kidd, you can step down.

9 (Witness excused.)

10 JUDGE GEORGE: Off the record.

11 (A recess was taken.)

12 JUDGE GEORGE: On the record, please.

13 We're continuing with the testimony of Staff
14 witness, Mr. Wallis.

15 Mr. Wallis, would you please state your full
16 name for the record?

17 MR. WALLIS: Michael J. Wallis.

18 JUDGE GEORGE: Please raise your right hand.

19 (Witness sworn.)

20 JUDGE GEORGE: Thank you, and be seated.

21 Ms. McGowan?

22 MICHAEL J. WALLIS testified as follows:

23 DIRECT EXAMINATION BY MR. MCGOWAN:

24 Q. Can you state your name and business address
25 for the record?

1 A. Michael J. Wallis, P.O. Box 360, Jefferson
2 City, Missouri, 65102.

3 Q. Are you the same Michael J. Wallis that
4 prepared and caused to be pre-filed direct, rebuttal
5 and surrebuttal testimony in this proceeding?

6 A. Yes, I am.

7 Q. And is your surrebuttal -- or excuse me --
8 direct, rebuttal and surrebuttal testimony now marked
9 Exhibits 5, 6 and 7 respectively?

10 A. Yes.

11 Q. Do you have any corrections to make to those
12 exhibits?

13 A. No.

14 Q. If I were to ask you the questions contained
15 in those exhibits today, would your answers be the
16 same as contained in those exhibits?

17 A. Yes.

18 Q. And are those answers true and accurate to
19 the best of your belief and knowledge?

20 A. Yes.

21 MS. MCGOWAN: Then I offer Exhibits 5, 6 and
22 7 into the record, and tender the witness for
23 cross-examination.

24 JUDGE GEORGE: Are there any objections to
25 the admission of 5, 6 and 7?

1 MR. DUFFY: No objection, your Honor.

2 JUDGE GEORGE: Exhibits 5, 6 and 7 are
3 received into the record.

4 (EXHIBIT NOS. 5, 6 AND 7 WERE RECEIVED INTO
5 EVIDENCE.)

6 JUDGE GEORGE: Mr. Duffy, you may proceed.

7 MR. DUFFY: I have no questions for this
8 witness, your Honor.

9 QUESTIONS BY JUDGE GEORGE:

10 Q. Mr. Wallis, can you outline briefly the --
11 and before you do that, you have reviewed the
12 pre-filed testimony of Mr. Kidd in this case?

13 A. Yes, I've read it.

14 Q. And can you briefly summarize the major
15 weakness you see in that reasoning of that testimony?

16 A. Well, obviously I disagree with Mr. Kidd's
17 interpretation of Tariff Sheet 44, with which I
18 believe -- let me briefly turn to the tariff sheet.

19 On Sheet 44, which is attached to my
20 rebuttal testimony, underneath Part A it says, "Each
21 month the Company will determine its average cost of
22 gas by using the most recent supplier invoices to
23 compute the appropriate adjustment applicable to its
24 rates as follows."

25 I believe that the most recent supplier

1 invoices in the pre-Order 636 environment, that would
2 have -- that would have been from the pipeline.
3 Again, prior to Order 636, the transportation
4 function, the storage function and the actual supply
5 itself was all provided by the pipeline, and so it's
6 clear to me that you're calculating your rate based on
7 storage costs. And what -- what goes on here is there
8 is a comparison of the wholesale base rates to -- and
9 then it's updated to compare that to current. Well,
10 again, that's also going to include storage costs. So
11 that's -- that's -- that's my interpretation of Tariff
12 Sheet 44.

13 And, again, as has been pointed out, by --
14 in Mr. Kidd's testimony, they don't have the sheets.
15 They didn't retain the sheets that are -- that are --
16 relate back to this time. And another thing that
17 really concerns me is -- is how -- why would an LDC
18 wait 15 years to try to collect this -- this
19 pre-existing balance that's -- that's on their books
20 when they convert from the PGA approach to the ACA
21 PGA? That doesn't make any sense to me. I've never
22 seen an LDC do anything other than try to collect
23 those moneys immediately.

24 Q. And you referred to this Tariff Sheet 44.
25 There is a line that's very difficult to read because

1 of the stamp on that. It's under Paragraph A, Line --
2 Part 1, Subparagraph A. Can you make out what that --
3 how that line reads?

4 A. I think it says "commodity," and there is a
5 dollar sign, and it looks like that's ".7634," and I'm
6 not even sure I can --

7 MR. DUFFY: I think it says "per Mcf."

8 MS. MCGOWAN: Yeah.

9 THE WITNESS: Okay. That could be.

10 MR. DUFFY: And then a semicolon.

11 JUDGE GEORGE: Okay.

12 BY JUDGE GEORGE:

13 Q. And, Mr. Wallis, if Company had never
14 switched methods from the injection to the withdrawal
15 method, when would the Company recover those storage
16 amounts?

17 A. Well, I think that -- again, that they've
18 already recovered those amounts. They've been
19 recovering those since prior to the July 8th, 1982
20 tariff revision. The reason that there is a
21 withdrawal balance of -- depending on which version of
22 Mr. Kidd's testimony you look at -- I guess the right
23 one would be the one in surrebuttal -- but there is an
24 \$835,000 balance sitting there, or like a \$670,000
25 balance sitting there.

1 What that means is that injections were
2 larger than the withdrawals, so you have a -- you have
3 a withdrawal balance there. But, again, based on my
4 interpretation of these tariffs, that amount was
5 recovered when the gas was actually purchased. So
6 they are already getting it.

7 And the other important thing here is
8 that -- is that there is a difference between what a
9 company may do on its books for financial reporting
10 purposes and how it recovers those amounts through
11 either -- either the ACA PGA process or potentially a
12 rate-case situation.

13 Q. So to clarify that, when exactly did the
14 Company recover that inventory balance?

15 A. In my deposition, I think I indicated that
16 because of the nature of the method that they use,
17 which is weighted average, that that could go back to
18 1960 when the PGA process started, when they started
19 to actually purchase the gas. And, again, I believe
20 that it's been recovered up-front.

21 But I looked -- after I looked at my
22 deposition and I thought about that, I think it really
23 depends on whether the -- whether or not the Company
24 cycled its storage, and my understanding in most -- in
25 most cases with LDCs, they don't completely cycle the

1 storage. There will be a piece left over, so the
2 incremental piece, you know, may very well go back to
3 1962, but the majority of that -- of that balance
4 probably was recovered over the course of the last
5 injection and withdrawal season, which would have been
6 1981, 1982 time frame.

7 QUESTIONS BY CHAIR LUMPE:

8 Q. Mr. Wallis, I hesitate to ask a question for
9 fear that you've already answered it, but in listening
10 to your -- what I've heard since I came in, you're
11 saying that there -- they did recover that alleged
12 amount of capacity back in 1982, but somewhere between
13 maybe '60 and '82 they did recover it? Is that what
14 you --

15 A. Yeah. My position is that they would have
16 recovered it. The question here isn't so much whether
17 they recovered it or not, but it goes to the question
18 that there is an \$835,000 balance there and when it
19 was recovered.

20 But the answer to the question really is
21 that they recovered that when they -- when they
22 actually purchased the gas, because the up-front
23 recovery methodology that they used allows them to, by
24 using the most recent supplier invoices, allows them
25 to calculate a rate based on a cost of gas that

1 already includes the storage. So they've -- they've
2 really recovered it in an up-front fashion. And even
3 though there is a withdrawal balance sitting there,
4 they've already received it.

5 And I've got an example of kind of the way
6 this works in my direct testimony that I can -- I can
7 go through that, if that would be helpful.

8 Q. I think that was very clear.

9 A. Okay.

10 Q. I just want -- the issue seems to be where
11 did this 800 -- where did this capacity -- when did it
12 begin and why was it not recovered over this long
13 period of time? If the methodology that had always
14 been used was to recover it when it was injected, then
15 why wasn't it recovered, and that seems to me to be
16 the crux of the issue, and the evidence -- I guess I'm
17 looking for the evidence that it was or was not
18 recovered, and I don't see an answer that tells me we
19 recovered it this year under this process and at this
20 time.

21 And the suggestion is that there is still
22 this 15-year-old recovery that needs to take place,
23 which I would think would be rather strange, but
24 that's what we're suggesting that we should assume,
25 and -- but what you're saying is that given that they

1 recovered it at the beginning of the year through
2 history, you're suggesting that it was recovered?

3 A. Yes. And your point is -- is -- is very
4 astute that the Company is telling us that there is a
5 balance on their books that goes back to 1982 that
6 they haven't recovered yet, so the Company has waited
7 15 years to come in and seek recovery for this money,
8 and I -- that's -- that's very, very strange to see an
9 LDC wait 15 years to recover any money at all.

10 The normal scenario is that they know that
11 they're out the money, and they'll come in and they'll
12 find some way to get that. And I guess my -- my view
13 of this is that they didn't wait 15 years to recover
14 the money, but because they already had recovered it.

15 Q. That a good management practice would have
16 been to recover it through the ACA or a rate case or
17 something?

18 A. Yes, through some mechanism, yes.

19 CHAIR LUMPE: Thank you, Mr. Wallis.

20 FURTHER QUESTIONS BY JUDGE GEORGE:

21 Q. And, also, Mr. Wallis, at what point do you
22 disagree with the calculations set forth in Mr. Kidd's
23 surrebuttal testimony?

24 A. Are you asking me if I believe his -- his
25 calculations are -- are accurate?

1 I think -- I think they are accurate in
2 terms of he's trying to show what the book balance is.
3 But, again, there is a difference between what you --
4 what you have on your books and what you actually are
5 seeking recovery for through, again, a rate case
6 process or an ACA PGA. So I'm not denying the
7 existence of the balance. It's a question of the
8 timing of when they would have recovered that.

9 Q. So you don't point to a specific item in the
10 calculations that you disagree with?

11 A. No, because the balance does -- it doesn't
12 exist to begin with, and Mr. Kidd goes back and makes
13 some adjustments to the \$835,000 balance, but the
14 adjustments -- if they've already recovered the
15 balance, the adjustments that they're making to the
16 balance are -- they are not -- they are not necessary
17 because they've recovered it for purposes of the PGA
18 and the ACA PGA after -- after July 8th of 1982.

19 Q. And how is it that you reconcile your
20 testimony in this case with that of the rate case as
21 far as any inconsistencies?

22 A. Yeah. The Company has pointed out that they
23 think there is an inconsistency between what we did in
24 the ACA PGA case and what we did in the rate case,
25 that's correct. There really is no inconsistency

1 because for rate case purposes, it's -- once the
2 Company changed its recovery balance -- its recovery
3 methodology on December 1st of 1995; they -- they
4 were -- at that point they were using the withdrawal
5 method. And what happens is, they are not recovering
6 up-- they are not recovering the balance up-front.
7 They are recovering at -- they are recovering it as
8 the gas is actually withdrawn from the storage, flowed
9 to the city gate and used by the customers. So under
10 that method, you have a balance -- you actually have a
11 non-recovered balance sitting in storage that for rate
12 case purposes it's necessary to give the Company
13 carrying costs on it, so you treat it effectively as
14 an asset. It goes into the rate base schedule in
15 the -- in the accountant's EMS run.

16 And so that's -- we -- we took that
17 approach. And, again, we're not denying the existence
18 of the balances on the books, so the approach where we
19 used -- as Mr. Duffy has accurately pointed out, we
20 used historical prices and historical volumes, but
21 that's a common practice to go to the books to develop
22 a way of, in effect, kind of estimating for future
23 periods what -- what is going to be the appropriate
24 carrying cost balance. And that's all we're doing, is
25 taking those historical numbers, which we don't deny

1 the existence of, and using those to set rates in a
2 rate case to be recovered over future periods until
3 the Company comes in for another rate case.

4 JUDGE GEORGE: Further questions from the
5 Bench. Madam Chairman?

6 CHAIR LUMPE: Just one more.

7 FURTHER QUESTIONS BY CHAIR LUMPE:

8 Q. You were talking about the balances that's
9 agreed to, that that number and that balance is an
10 agreed-upon number by both parties; is that correct?

11 A. The 835,000, yes.

12 Q. The question is, is it a 1982 balance or is
13 it a December balance? Is that correct?

14 A. It is -- my understanding of Mr. Kidd's
15 testimony -- which kind of brings up another issue
16 which is that they claim that Staff's changed its
17 approach in midstream -- what happened is that for the
18 first time in Mr. Kidd's direct testimony was I aware
19 that this balance was, in fact, related to 1982. So I
20 went back to the tariffs that would have been in
21 effect prior to that time and looked at those, and
22 came to the conclusion that it's an up-front recovery
23 methodology just like the one they were using between
24 July 8th of 1982 and November 30th of 1995. So they
25 have -- it's my view that they've always -- until

1 December 1st of 1995, they've always been recovering
2 this -- this storage up-front.

3 CHAIR LUMPE: Up-front.

4 JUDGE GEORGE: Commissioner Murray?

5 COMMISSIONER MURRAY: Thank you.

6 QUESTIONS BY COMMISSIONER MURRAY:

7 Q. The rate sheet that we have in -- as an
8 attachment to Mr. Wallis's testimony, Sheet 44 --

9 A. Yes.

10 Q. -- that rate sheet did not reference gas in
11 storage at all, did it?

12 A. No, it didn't. And it's not so much what
13 the tariff sheet says as what it doesn't say. And my
14 view is that it's implicit in the language that
15 they're -- that they're getting up-front recovery for
16 the storage because it says in Part A there that they
17 will determine their average cost of gas by using the
18 most recent supplier invoices.

19 In the pre-636 environment, the pipelines
20 provided not only the storage and the transportation,
21 but also the gas supplied itself. So it would be --
22 it would be in there. The storage cost would be in
23 that -- in those invoices.

24 Q. And the sheet that you looked up that was
25 prior to '82, did you enter that into evidence?

1 A. Yeah, that -- that -- I believe that's
2 attached as Schedule 1 to my rebuttal testimony. It
3 would look like that (indicated).

4 Q. Well, that's 44?

5 A. Yeah.

6 Q. That's Sheet 44.

7 A. I may have misunderstood your question, but
8 I -- I thought you -- you were getting at the sheet
9 that was in effect prior to that. That is the sheet.

10 Q. I'm sorry. That is the sheet prior to '82?

11 A. Yeah.

12 Q. Did you -- do you have the sheet that took
13 effect in 1982? Is that in evidence?

14 A. No, it's not. That -- that -- that sheet
15 would basically institute the ACA true-up mechanism
16 where you would take what was estimated and then true
17 that up to actuals. And that's been in effect from
18 19-- from July 8th of 1982 to the current time.

19 Q. Okay. I'm still confused about some of your
20 testimony.

21 On the one hand I think I hear you saying
22 that prior to '82 they were recovering up-front?

23 A. That's correct.

24 Q. And I thought I also heard you say that this
25 amount, this disputed amount, was recovered between

1 '82 and '95?

2 A. The -- well, that -- that was my -- that was
3 my interpretation of the Company's position initially
4 myself. And in direct testimony for the first time
5 Mr. Kidd brought up the fact that this -- that this
6 inventory, which -- well, let me back up.

7 The process I went through is I -- when they
8 changed their method on December 1st of 1995, I went
9 back into the storage schedules in the ACA case to see
10 what -- what balance was sitting in there that was
11 injected prior to December 1st of 1995. And it was
12 835-- it was eight-hundred-twenty-seven-thousand and
13 some -- some change.

14 And then I find out in Mr. Kidd's direct
15 testimony that this actually goes back to December 1st
16 of 1982. So I said, well -- I went back and looked at
17 the tariff sheet and -- and came to the conclusion
18 that prior to July 8th of 1982 they were recovering --
19 recovering the gas up-front just like they were
20 recovering the gas up-front from July 8th of 1982 to
21 November 30th of 1995.

22 So as I understand Mr. Kidd's testimony, the
23 only thing that takes place between July 8th of 1982
24 and November 30th of 1995 is an incremental amount,
25 which -- in the amount of about \$7,900, that -- that's

1 the difference between the injections and the
2 withdrawals, and that -- and that brings the \$835,000
3 balance down to the eight-twenty-seven that I actually
4 came up with.

5 But -- but it really -- they haven't -- in
6 my view they haven't used an up-front -- or they
7 haven't used an as-withdrawn method until December 1st
8 of 1995.

9 Q. So your claim is that that \$835,000 balance
10 or \$827,000 balance should not have been there --

11 A. That's correct --

12 Q. -- as of --

13 A. -- for recovery purposes. My -- my view is
14 that they've already recovered that as the gas was --
15 was purchased in prior periods.

16 Q. And do you have anything that shows us that
17 they recovered that other than your interpretation of
18 Sheet 44?

19 A. No.

20 COMMISSIONER MURRAY: Thank you.

21 JUDGE GEORGE: Other questions from the
22 Bench?

23 (No response.)

24 JUDGE GEORGE: This will be recross based on
25 questions from the Bench. Mr. Duffy?

1 MR. DUFFY: Give me just a second, please.

2 JUDGE GEORGE: Yes.

3 MR. DUFFY: I'm going to try to few
4 questions IF that's okay, your Honor.

5 JUDGE GEORGE: Yes, go ahead.

6 RECROSS-EXAMINATION BY MR. DUFFY:

7 Q. Please refer to the Sheet 44 that's attached
8 to your testimony, Mr. Wallis.

9 A. Okay.

10 Q. If the current cost of gas on that sheet is
11 equal to the base cost of gas, what would the
12 resulting PGA factor be pursuant to that tariff sheet?

13 A. Well, to the extent you're talking about
14 making an adjustment to the base gas cost to update it
15 for differences between current and wholesale, it
16 would be zero.

17 Q. Okay. You understand that there is a --
18 what I call a two-month lag in this tariff; is that
19 correct?

20 A. Well, I -- I'm aware of No. 3 under A there,
21 "The adjustment so determined shall be applied to
22 customer's billing in the next following revenue," so
23 yeah, there would be a lag.

24 Q. There would be a two-month -- there would be
25 a two-month lag?

1 A. One or two. That's -- that's possible.

2 Q. At that point, then, when it is applied, if
3 you -- isn't it true that you apply this PGA factor to
4 sales?

5 A. That's true.

6 Q. All right. And if, as you said, it's -- the
7 factor is zero and you apply -- and you apply the zero
8 factor to sales, then there would be no recovery as a
9 result of that; is that correct?

10 A. That's true, but, again, you're still going
11 to be getting recovery for those base rates, but you
12 wouldn't have any -- any adjustment to it.

13 Q. If ANG purchased gas to inject in the month
14 that this zero PGA factor was applied, would ANG
15 recover any of its storage costs?

16 A. In my view they would because your -- you're
17 talking about -- when you look at A, you're still
18 using the most recent supplier invoices, and you've
19 got -- you've got a historical level of gas costs
20 there that would include supplies that came from the
21 wellhead, from storage, whatever you've got in there,
22 so all you're talking about is whether you would
23 adjust it or not.

24 Q. Mr. Wallis, I've heard you testify a couple
25 of times that ANG waited 15 years to ask for recovery

1 of these amounts. I just want to ask you, didn't
2 this -- this case didn't start by ANG filing some
3 documents saying we want to recover \$835,000 that
4 we've been sitting on for 15 years. It started when
5 you filed a recommendation saying you wanted to
6 disallow \$234,000 of gas costs; isn't that true?

7 A. Well, I would argue that it actually did
8 start when ANG filed its ACA filing, and on
9 December 1st of 1995 you began to see withdrawals
10 of -- withdrawals of LNG and NGPL gas that was in
11 storage prior to December 1st of 1995.

12 Q. Did we put something in that filing that
13 said we want to recover 800,000 or 600,000 worth of
14 storage costs.

15 A. You said that you wanted to recover 234,000,
16 but the whole amount is actually over 800,000, and
17 that would be an issue in this case and in future
18 cases.

19 Q. Was that ACA filing any different than prior
20 ACA filings, except for the fact that this timing
21 method was changed in response to a Staff
22 recommendation to change it? Was there anything
23 fundamentally different in those ACA filings?

24 A. Well, the previous filings, the Company was
25 not including either -- they were not showing either

1 the injections or the withdrawals of the gas, and in
2 this filing, they were, so there is -- there is
3 certainly that difference.

4 Q. Okay. So this filing was the first time
5 that you had any knowledge that there was any gas
6 inventory in storage that the Company was
7 claiming that was there and should be recovered in
8 some fashion? Is that what you're saying?

9 A. Well, our -- I guess where you're headed
10 with that, are you referring to the --

11 Q. Just answer the question and don't worry
12 about where I'm headed.

13 A. Well, I'm aware of the -- there was a Staff
14 recommendation, a previous Staff recommendation, that
15 asked the Company to change its methodology, but this
16 is the first time I was aware that there was a double-
17 recovery situation going on.

18 Q. As -- and you're alleging a double recovery?

19 A. That's my opinion.

20 Q. In one of your prior answers -- I think it
21 was perhaps to Judge George -- I thought I heard you
22 say that ANG didn't have the sheets or the documents.
23 Can you refresh my recollection as to what your
24 testimony was about that? What documents are you
25 alleging that --

1 A. I was referring to Mr. Kidd's testimony
2 where he -- he -- I think he references a Q and A from
3 my deposition where I was asked if I had looked at
4 those -- at the backup sheets, and he apparently tried
5 to find those sheets himself at the Company and they
6 couldn't find them.

7 Q. Okay.

8 A. So that's what I was referring to.

9 Q. All right. And did you hear Mr. Kidd also
10 testify that he came up to Jefferson City and looked
11 in the microfiche records of the Commission for their
12 filings?

13 A. Yes.

14 Q. And he found those documents?

15 A. Yes. I believe that's in his testimony,
16 too.

17 Q. All right. So you're not alleging that
18 there are some missing documents, are you?

19 A. No.

20 Q. Okay. Does the example that you refer to in
21 one of the questions from the Bench of recovery that
22 you outline in your direct testimony, the example in
23 your direct testimony, does that demonstrate the
24 operation of Sheet 44?

25 A. Could you repeat that, please?

1 Q. In one of the questions -- excuse me. In
2 one of the answers to one of the questions from the
3 Bench, you referred to an example that you gave in
4 your direct testimony. Do you remember giving that
5 answer?

6 A. Yes. Yes.

7 Q. And my question is, does that example
8 demonstrate the operation of Sheet 44?

9 A. Well, that -- that sheet refers to when the
10 ACA process was in effect after July 8th of 1982.

11 Q. So by --

12 A. But I think it illustrates -- it does
13 illustrate prior to July 8th of 1982 what would be
14 going on, and that is the fact that you would be
15 expensing the gas up-front and receiving recovery for
16 it.

17 Q. Let me ask it again. Your example relates
18 to the ACA process. That's what you just said.
19 Right?

20 A. Yes. And, again, that was -- that was in
21 there before I found out that the Company -- that
22 these -- that these balances went back to 1982. Had I
23 known that at the time, you might see a somewhat
24 different example. But I still think it's accurate
25 for illustrative purposes of what would be going on

1 when you have an up-front recovery situation.

2 Q. Does Sheet 44 reflect an ACA process?

3 A. No.

4 MR. DUFFY: Thank you. That's all of the
5 questions we have.

6 JUDGE GEORGE: Redirect. Ms. McGowan?

7 MS. MCGOWAN: Yeah.

8 REDIRECT EXAMINATION BY MS. MCGOWAN:

9 Q. Mr. Wallis, was Canceled Tariff Sheet 44
10 that's attached to Schedule 1 to your rebuttal
11 testimony designed to recover all of the Company's gas
12 costs on a current basis?

13 MR. DUFFY: I'm going to object. Mr. Wallis
14 has already testified that -- and we've stipulated
15 that neither of the witnesses in this case were around
16 when this sheet was "designed," so I object to his
17 giving any testimony as to how a particular sheet was
18 designed.

19 BY MS. MCGOWAN:

20 Q. Mr. Wallis --

21 MR. DUFFY: He can certainly give his
22 opinion as to how he thinks it operates, but he can't
23 testify as to how it was designed.

24 MS. MCGOWAN: ANG's witness made numerous
25 references stating as statements of fact how the

1 tariff sheet operated, when in reality he admitted
2 that he was not even working for the Company in 1982,
3 and it was his opinion. And I think as we've stated,
4 Mr. Wallis was not there, and I don't have a problem
5 rephrasing the question, but I think it's obvious that
6 it's his opinion of how it operated and was designed.

7 JUDGE GEORGE: Could you rephrase that,
8 then?

9 MS. MCGOWAN: Sure.

10 BY MS. MCGOWAN:

11 Q. Mr. Wallis, in your opinion was Canceled
12 Tariff Sheet 44 designed to recover all of the
13 Company's gas costs on a current basis?

14 A. Are you getting at under the -- under the
15 PGA situation or under the --

16 Q. In total on an annual basis.

17 A. Yes.

18 Q. Okay. In response to a question from
19 Commissioner Murray, you stated that you didn't have
20 any written documentation other than your opinion of
21 Tariff Sheet 44 to support your position that ANG
22 recovered storage up-front prior to 1982. Do you
23 remember those comments?

24 A. Yes.

25 Q. Okay. Did Mr. Kidd in his testimony offer

1 any evidence in his support of the position that the
2 storage recovery was not up-front prior to 1982 other
3 than his interpretation?

4 A. No.

5 Q. Aside from the written evidence in this --
6 and I guess also the testimony on the record, is there
7 anything surrounding the facts in this case that
8 suggests that your interpretation of Tariff 44 is more
9 probable or less probable than Mr. Kidd's?

10 MR. DUFFY: Objection. That goes beyond the
11 scope of questions from the Bench.

12 MS. MCGOWAN: My redirect is not limited to
13 questions from the Bench.

14 MR. DUFFY: Well, there wasn't any
15 cross-examination, so the only questions that showed
16 up were the questions from the Bench. Your question
17 is beyond the scope of anything that has taken place.

18 MS. MCGOWAN: Well, I think it relates to
19 Commissioner Murray's questions because she asked if
20 he had any other evidence, and there are other things
21 in the record that suggest that Mr. Wallis's
22 interpretation is more probable than Mr. Kidd's, and I
23 just thought that Commissioner Murray -- Commissioner
24 Murray's question deserved that type of information as
25 well. I think she directed it specifically to written

1 information.

2 JUDGE GEORGE: The objection is overruled.

3 Could you please answer that?

4 THE WITNESS: In my opinion, yes, yes, my
5 approach is more likely than the Company's, or my view
6 of what went on is more likely than the Company's.

7 BY MS. MCGOWAN:

8 Q. Can you go on to expound on that and explain
9 why it is more likely?

10 A. Well, again, it goes to the operation of
11 Sheet 44. I believe that that allowed the Company, or
12 ensured that the Company would receive up-front
13 recovery for the storage costs because they are using
14 the most recent supplier invoices to calculate all of
15 this stuff, and that would implicitly include, since
16 we're in the pre-636 environment, the gas itself, the
17 storage, the transportation.

18 MS. MCGOWAN: Okay. No further questions.

19 JUDGE GEORGE: Commissioner Murray?

20 FURTHER QUESTIONS BY COMMISSIONER MURRAY:

21 Q. Your last statement there, is what you're
22 saying that when ANG bought gas, it was bundled with
23 transportation and storage prior to 636?

24 A. That's correct.

25 COMMISSIONER MURRAY: Okay. Thank you.

1 JUDGE GEORGE: Commissioner -- or any
2 further questions from the Commissioners?

3 (No response.)

4 JUDGE GEORGE: Mr. Duffy, do you have any
5 further recross based on the further question from the
6 Bench?

7 MR. DUFFY: The one that Commissioner Murray
8 just asked?

9 JUDGE GEORGE: Yes.

10 MR. DUFFY: No, sir.

11 JUDGE GEORGE: Thank you.

12 Mr. Wallis, you can step down.

13 (Witness excused.)

14 JUDGE GEORGE: Go off the record, please.

15 (A discussion off the record.)

16 JUDGE GEORGE: On the record, please.

17 We've concluded with Mr. Wallis's testimony.

18 The initial briefs will be simultaneously
19 filed by the parties on May 11th, with reply briefs on
20 June 1st.

21 Is there anything further from counsel
22 before we adjourn?

23 (No response.)

24 JUDGE GEORGE: Hearing nothing, we're now
25 adjourned and off the record.



NATURAL GAS PIPELINE COMPANY OF AMERICA

04787

ASSOCIATED NATURAL GAS COMPANY
C/O ARKANSAS-MISSOURI POWER CO.
ATTN MR. RALPH WAFLER, VICE PRESIDENT
P.O. BOX 628
BLYTHEVILLE, ARKANSAS 72315

122 SOUTH MICHIGAN AVENUE
CHICAGO, ILL. 60603
PHONE: 312-431-7788

INVOICE NO. 0682-09
TERMS-NET


PLEASE SEND ALL REMITTANCES TO NATURAL GAS PIPELINE COMPANY OF AMERICA
CONTROLLER'S OFFICE, 122 SOUTH MICHIGAN AVENUE, CHICAGO, ILLINOIS 60603

JUNE, 1982

DESCRIPTION	VOLUME-M.C.F.	PRICE PER M.C.F.	AMOUNT
FOR NATURAL GAS PER ATTACHED STATEMENT			
RATE SCHEDULE DMQ1			
DEMAND CHARGE 4,477 MCF @ \$2.6900			\$ 12,043.13
COMMODITY CHARGE			
MAINLINE DELIVERIES	25,521		
-WITHDRAWALS FROM STORAGE			
MAINLINE DELIVERIES BILLED	25,521		
+INJECTIONS TO STORAGE	30,000		
	55,521	2.7109	150,511.88
TOTAL RATE SCHEDULE DMQ1	55,521		162,555.01
INCREMENTAL PRICING SURCHARGES			.00
NET SALES BILLED	55,521		\$ 162,555.01 *
INVOICE RENDERED ON JULY 09, 1982			
PAYMENT DUE ON JULY 20, 1982			
** INTEREST CHARGEABLE FOR LATE **			
** PAYMENT WILL BE ASSESSED SUB- **			
** JECT TO PARAGRAPH 8 OF THE **			
** GENERAL TERMS AND CONDITIONS **			
** OF NATURAL'S FERC GAS TARIFF **			
** VOLUME I. **			

803 2115
PWOK REG 7-12-82
RW-7-12-82
JUL 16 1982

Schedule 6



NATURAL GAS PIPELINE COMPANY OF AMERICA

ASSOCIATED NATURAL GAS COMPANY
C/O ARKANSAS-MISSOURI POWER CO.
ATTN MR. RALPH WAFER, VICE PRESIDENT
P.O. BOX 628
BLYTHEVILLE, ARKANSAS 72315

122 SOUTH MICHIGAN AVENUE
CHICAGO, ILL. 60603
PHONE: 312-431-7786

0282-09

INVOICE NO.
TERMS-NET

FEBRUARY, 1982

PLEASE SEND ALL REMITTANCES TO NATURAL GAS PIPELINE COMPANY OF AMERICA
CONTROLLER'S OFFICE, 122 SOUTH MICHIGAN AVENUE, CHICAGO, ILLINOIS 60603

DESCRIPTION FOR NATURAL GAS PER ATTACHED STATEMENT	VOLUME—M.C.F.	PRICE PER M.C.F.	AMOUNT
RATE SCHEDULE DMQ1			
DEMAND CHARGE 4,477 MCF @ \$3.4200			\$ 15,311.34
COMMODITY CHARGE			
MAINLINE DELIVERIES	102,190		
-WITHDRAWALS FROM STORAGE	-28,008		
MAINLINE DELIVERIES BILLED	74,182		
+INJECTIONS TO STORAGE			
	74,182	2.6587	197,227.68
TOTAL RATE SCHEDULE DMQ1	74,182		212,539.02
RATE SCHEDULE W/S. - 1	7,588	3.2184	24,421.22
INCREMENTAL PRICING SURCHARGES			.00
NET SALES BILLED	81,770		\$ 236,960.24
INVOICE RENDERED ON MARCH 09, 1982			
PAYMENT DUE ON MARCH 20, 1982			
** INTEREST CHARGEABLE FOR LATE **			
** PAYMENT WILL BE ASSESSED SUB- **			
** JECT TO PARAGRAPH 8 OF THE **			
** GENERAL TERMS AND CONDITIONS **			
** OF NATURAL'S FERC GAS TARIFF **			
** VOLUME I. **			
	803.2115		
	L		
	MAR 18 1982		

Schedule 7