

BEFORE THE PUBLIC SERVICE COMMISSION
OF THE STATE OF MISSOURI

In The Matter of Union)
Electric Company d/b/a)
AmerenUE for Authority) Case No.
to File Tariffs Increasing) ER-2008-0318
Rates for Electric Service)
Provided to Customers in)
the Company's Missouri)
Service Area.)

DEPOSITION OF MICHAEL S. PROCTOR
TAKEN ON BEHALF OF UNION ELECTRIC COMPANY
NOVEMBER 13, 2008

Page 2	Page 4
1 INDEX	1 APPEARANCES
2 WITNESSES	2
3 All Witnesses: Page	3 FOR THE PUBLIC SERVICE COMMISSION:
4 MICHAEL S. PROCTOR for Union	4 Staff of the Commission
5 Electric Company	5 Office of the General Counsel
6 Examination by Mr. Lowery 6	6 Missouri Public Service Commission
7	7 Governor Office Building
8 EXHIBITS	8 200 Madison Street, Suite 100
9 MP1 Schedule 2.1 from Dr.	9 Jefferson City, Missouri 65101
10 Proctor's ER-2007-002 direct	10 by: Mr. Steven Dottheim
11 testimony 96	11 gencounsel@psc.mo.gov
12	12
13	13 FOR UNION ELECTRIC COMPANY:
14	14 SMITH LEWIS, LLP
15	15 Suite 200, City Centre Building
16	16 111 South Ninth Street
17	17 Columbia, Missouri 65205-0918
18	18 (573) 443-3141
19	19 by: Mr. James B. Lowery (via telephone)
20	20 Ms. Cheryl L. Lobb, paralegal
21	21 lowery@smithlewis.com
22	22
23	23
24	24
25	25
Page 3	Page 5
1 BEFORE THE PUBLIC SERVICE COMMISSION	1 ALSO PRESENT:
2 OF THE STATE OF MISSOURI	2 MIDWEST LITIGATION SERVICES
3	3 711 North 11th Street
4 In The Matter of Union)	4 St. Louis, Missouri 63101
5 Electric Company d/b/a)	5 (314) 644-2191
6 AmerenUE for Authority) Case No.	6 1-800-280-DEPO
7 to File Tariffs Increasing) ER-2008-0318	7 by: Ms. Tara Schwake, CRR, RPR
8 Rates for Electric Service)	8
9 Provided to Customers in)	9 Mr. Ajay Arora (via telephone)
10 the Company's Missouri)	10
11 Service Area.)	11
12	12
13	13
14 DEPOSITION OF WITNESS, MICHAEL S.	14
15 PROCTOR, produced, sworn and examined on the 13th	15
16 day of November, 2008, between the hours of eight	16
17 o'clock in the forenoon and six o'clock in the	17
18 afternoon of that day, at the offices of the	18
19 Missouri Public Service Commission, 9900 Page	19
20 Avenue, Suite 130, Overland, Missouri, before	20
21 Tara Schwake, a Certified Realtime Reporter and	21
22 Notary Public within and for the State of	22
23 Illinois, in a certain cause now pending Before	23
24 the Public Service Commission of the State of	24
25 Missouri, Case No. ER-2008-0318.	25

Page 6	Page 8
<p>1 IT IS HEREBY STIPULATED AND AGREED</p> <p>2 by and between Counsel for the Plaintiff and</p> <p>3 Counsel for the Defendant that this deposition</p> <p>4 may be taken by Tara Schwake, Notary Public and</p> <p>5 Certified Realtime Reporter, thereafter</p> <p>6 transcribed into typewriting, with the signature</p> <p>7 of the witness being expressly reserved.</p> <p>8 MICHAEL S. PROCTOR,</p> <p>9 Of lawful age, having been produced, sworn, and</p> <p>10 examined on the part of Union Electric Company,</p> <p>11 testified as follows:</p> <p>12 EXAMINATION</p> <p>13 QUESTIONS BY MR. LOWERY:</p> <p>14 Q Dr. Proctor, how are you this</p> <p>15 afternoon?</p> <p>16 A I am doing well.</p> <p>17 Q I'm Jim Lowery, I know you know</p> <p>18 that, but at least for the record, I represent</p> <p>19 AmerenUE and will be taking your deposition this</p> <p>20 afternoon.</p> <p>21 A Okay.</p> <p>22 Q You've been deposed a number of</p> <p>23 times, I know. Correct?</p> <p>24 A Correct.</p> <p>25 Q So you know that you and I have to</p>	<p>1 about the regulated entity Union Electric</p> <p>2 Company. Do you understand the difference?</p> <p>3 A Yes.</p> <p>4 Q Dr. Proctor, when did you first</p> <p>5 start doing work that would be used in this rate</p> <p>6 case?</p> <p>7 A Probably in serious type of work,</p> <p>8 sometime in September.</p> <p>9 Q When you say "serious type work,"</p> <p>10 did you do some preliminary work before that?</p> <p>11 A Yes.</p> <p>12 Q Could you tell me when you began</p> <p>13 that preliminary work and what it consisted of?</p> <p>14 A I am not sure of the exact date,</p> <p>15 but it was after AmerenUE filed its testimony,</p> <p>16 direct testimony in this case, and I was asked by</p> <p>17 the staff to review certain testimonies, to take</p> <p>18 a look at those and give my opinion on those.</p> <p>19 And I reviewed the testimonies the -- in</p> <p>20 particular, Ajay Arora.</p> <p>21 Q Was it before or after several</p> <p>22 staff members met with Mr. Arora in mid to late</p> <p>23 July of this year?</p> <p>24 A I believe that it was after that</p> <p>25 period of time, but I may have -- I may have done</p>
Page 7	Page 9
<p>1 try to avoid talking over each other and that you</p> <p>2 cannot give verbal -- or a non-verbal response to</p> <p>3 my questions, right?</p> <p>4 A Yes.</p> <p>5 Q If you need to take a break, let me</p> <p>6 know and we'll do that. Dr. Proctor, you're not</p> <p>7 taking any medication that would interfere with</p> <p>8 your ability to understand my questions or give</p> <p>9 complete answers to them, are you?</p> <p>10 A I am not.</p> <p>11 Q And you don't have any other reason</p> <p>12 that you know of that would prevent you from</p> <p>13 understanding or answering my questions; is that</p> <p>14 correct?</p> <p>15 A That's correct.</p> <p>16 Q If you don't understand a question</p> <p>17 or I'm not clear about one, which is possible</p> <p>18 certainly, would you please just let me know and</p> <p>19 I'll try to rephrase it?</p> <p>20 A Okay.</p> <p>21 Q I wanted to see if we could agree</p> <p>22 on just a couple of definitions. If I say</p> <p>23 Ameren, I'm talking about Ameren Corp and its</p> <p>24 subsidiaries as a whole generally versus if I say</p> <p>25 AmerenUE or Union Electric Company, I'm talking</p>	<p>1 a quick look at his testimony before that period</p> <p>2 of time. But it was after they met with him that</p> <p>3 I went back through that testimony, and later,</p> <p>4 probably in August, gave a kind of a overview of</p> <p>5 that to the staff that was in particular</p> <p>6 interested in the fuel adjustment clause issue.</p> <p>7 Q Doctor, you indicated that staff</p> <p>8 asked you to look at testimony, and I think in</p> <p>9 particular Mr. Arora's testimony. When you say</p> <p>10 "staff," about whom are you speaking?</p> <p>11 A This probably would have been Lena</p> <p>12 Mantle was the primary staff person. I don't</p> <p>13 recall whether Dan Beck was involved with that as</p> <p>14 well, but Lena was the person who had contacted</p> <p>15 me and asked me to take a look at it.</p> <p>16 Q Lena approached you about doing</p> <p>17 that?</p> <p>18 A Yes.</p> <p>19 Q Did she indicate whether anyone</p> <p>20 else on the staff had suggested that you be</p> <p>21 approached about doing that?</p> <p>22 A I don't recall that she did.</p> <p>23 Q Did you talk with anyone else on</p> <p>24 the staff about your assignment other than Miss</p> <p>25 Mantle and perhaps Mr. Beck? And I'm not asking</p>

Page 10	Page 12
<p>1 about conversations you might have had with Mr. 2 Dottheim or other lawyers on the case. 3 A Other technical staff? 4 Q Well, from Wes Henderson on down, 5 how about that? 6 A Okay. All right. Have I talked 7 with any, anyone else? I mean -- 8 Q About, about -- 9 A My participation? 10 Q Your participation in this case. 11 A I don't recall talking to anyone 12 else about my participation in the case, no. 13 Q Or about the -- or about the work 14 that you're doing, the opinions you've arrived 15 at, the analysis you're doing? 16 A Yes. After, after I did a more 17 thorough review of Mr. Arora's direct testimony, 18 I recall, and I can't -- don't recall the exact 19 date, but we had a telephone call where we 20 discussed it, and I don't -- I know Lena was 21 there, I think Mr. Dottheim was there. 22 Mr. Schallenburg might have been 23 participating, I don't recall whether he was or 24 not specifically. There may have been other 25 staff people that were participating in that</p>	<p>1 necessary for it to approve AmerenUE's request 2 for a fuel adjustment clause. So I think that 3 falls in the category of what you're asking. 4 Q Aside from whether the risk 5 assessment study is adequate support in your 6 view, you're not expressing opinions about the 7 merits of the fuel adjustment clause proposal one 8 way or the other; is that true? 9 A That's true. My testimony focuses 10 totally on the risk assessment study. 11 Q You I believe indicated that -- 12 well, let me back up. 13 You mention an overview in August, 14 and you may have answered this and I apologize if 15 you have, but did you give an overview to 16 somebody, I take it? 17 A Well, my recollection is we had a 18 conference call among the staff, and the input 19 they were looking for from me in that conference 20 call was did I see any issues or problems with 21 Mr. Arora's study. So that was the study that I 22 gave at that time. 23 Q And you -- and was this that call 24 where you said Mr. Schallenburg might have been 25 on there but you can't remember?</p>
Page 11	Page 13
<p>1 conversation. 2 Q Who made the decision that you 3 would file testimony in rebuttal of Mr. Arora's 4 direct testimony? 5 A I'm not sure. I might have made 6 that decision. I may have made the offer, but I 7 talked to Mr. Dottheim about it. 8 Q You may have answered this or 9 largely answered it, but in working on the scope 10 of your participation in this case, did you 11 consult or otherwise communicate with any other 12 person that you have not mentioned to me thus 13 far? 14 A Oh, probably from time to time I've 15 talked with some of the people here on staff in 16 the St. Louis office, John Cassidy and Steve 17 Rackers [phonetic]. 18 Q Are you expressing any opinions 19 about the propriety or lack thereof of granting 20 Union Electric Company a fuel adjustment clause 21 in this case? 22 A I believe in my rebuttal testimony 23 I make the statement that the commission should 24 find that AmerenUE's risk assessment study for 25 net fuel expense does not provide the support</p>	<p>1 A That's correct. 2 Q Do you recall having any other 3 contacts with Mr. Schallenburg about this case 4 other than that one call where he might have been 5 involved? 6 A No, I do not. 7 Q You don't recall anything specific 8 that he said or asked during that call? 9 A No, I don't. 10 Q I think you indicated you actually 11 started developing your rebuttal testimony in 12 September? 13 A That's correct. 14 Q Dr. Proctor, in developing your 15 rebuttal testimony, did you consider all of the 16 factors and information that you consider to be 17 important to arriving at the opinions that you 18 have developed about Mr. Arora's analysis? 19 A Yes. 20 Q Dr. Proctor, are you expressing -- 21 do you express or do you have any opinions about 22 the uncertainty in AmerenUE's net fuel costs? 23 A Could you ask the question a little 24 bit more specifically? 25 Q I'll try to.</p>

4 (Pages 10 to 13)

Page 14	Page 16
<p>1 A It's pretty broad, so I'm trying to 2 narrow it down in my mind.</p> <p>3 Q Do you have an opinion about the 4 level of uncertainty/volatility in AmerenUE's net 5 fuel costs?</p> <p>6 A Can I try -- can I try rephrasing 7 it, Jim?</p> <p>8 Q Give it a try.</p> <p>9 A I have not -- well. I have not 10 performed a study in which I could testify to 11 that I have a -- have determined what the level 12 of variation or uncertainty or volatility or 13 whatever word we want to use is for AmerenUE's 14 net fuel costs. I have not performed such a 15 study.</p> <p>16 Q And without performing such a study 17 or essentially endorsing a study performed by 18 somebody else, you don't feel like you're in a 19 position to express an opinion about yes, their 20 net fuel costs are uncertain, or no, they're not, 21 or this is how uncertain they are, or this is how 22 uncertain they're not. Is that fair to say?</p> <p>23 A That's fair to say, yes.</p> <p>24 Q So it's not your testimony in this 25 case that AmerenUE's net fuel costs are not</p>	<p>1 but in general I would say yes, I would not -- I 2 haven't changed my views in general.</p> <p>3 There may be some specific 4 statements in there that might need to be 5 clarified, but I haven't had a chance to go back 6 through that to look at that. But my general 7 views about the study and most of -- most of my 8 testimony, if not all of it, hasn't changed.</p> <p>9 Q So your basic -- and let's make 10 sure I'm stating -- that you essentially have one 11 basic opinion in this, and that is that Mr. 12 Arora's analysis does not provide sufficient 13 evidence for the commission to conclude that UE's 14 net fuel costs are uncertain enough to justify a 15 fuel adjustment clause?</p> <p>16 A I would agree with that, yes.</p> <p>17 Q And you're saying that his rebuttal 18 testimony and surrebuttal testimony has not, in 19 your view, changed that basic opinion?</p> <p>20 A That's correct.</p> <p>21 Q But that there may be some things 22 that you said in your rebuttal testimony that 23 need to be clarified or modified or perhaps even 24 changed based upon what he had to say in his 25 rebuttal and surrebuttal; is that fair?</p>
Page 15	Page 17
<p>1 uncertain or not volatile, it's your testimony 2 that Mr. Arora's analysis, in your view, doesn't 3 necessarily show that they are uncertain?</p> <p>4 A I would probably phrase it a little 5 bit different from that, but essentially I think 6 you're correct. I don't think his study provides 7 the support necessary for the commission to make 8 that determination.</p> <p>9 Q I should have asked you this 10 before, but when I say "net fuel costs," you 11 understand that I mean the sum of fuel and 12 purchase power less all system sales revenues. 13 Are we on the same page about that?</p> <p>14 A Yes, we are.</p> <p>15 Q Now, you reviewed Mr. Arora's 16 rebuttal and surrebuttal testimonies; is that 17 right?</p> <p>18 A That's correct.</p> <p>19 Q Based upon your review of Mr. 20 Arora's rebuttal and surrebuttal testimonies, 21 would you modify any of the statements, 22 conclusions, or opinions that you expressed in 23 your rebuttal testimony?</p> <p>24 A Actually, I haven't looked at the 25 specifics of what was in my rebuttal testimony,</p>	<p>1 A There may be a few things, yes.</p> <p>2 Q All right. But you don't know what 3 those are at this moment.</p> <p>4 A At this moment I haven't gone 5 through my rebuttal testimony to determine if 6 there is anything there.</p> <p>7 Q Are you able to express anything 8 with which you agree in Mr. Arora's rebuttal or 9 surrebuttal testimony?</p> <p>10 A Oh. I, I'm sure there are 11 statements he makes in both of those testimonies 12 because he talks about how we agree on certain 13 things, that we do agree on those things. But 14 going, going through -- I would have to sit down 15 with his testimony in front of me and go through 16 it and look at it from that perspective, and I 17 haven't --</p> <p>18 Q You can't identify anything in 19 particular at this point?</p> <p>20 A He states in his surrebuttal 21 testimony that we agree that hedged coal costs 22 are not highly correlated with unhedged market 23 prices for electricity. That's one thing I can 24 say I know we agree on because I said it in my 25 rebuttal testimony as well.</p>

5 (Pages 14 to 17)

Page 18	Page 20
<p>1 But, I mean, that's just one of the 2 things that comes to mind. I don't right now 3 have his testimony in front of me, and I -- and I 4 really have to go through -- 5 Q And you intend -- you do intend to 6 go through it; is that correct? With this sort 7 of examination in mind? 8 A Well, I wasn't -- no, I wasn't 9 thinking about going through it -- 10 Q Not necessarily, all right. 11 A -- trying to find out where we had 12 agreement, but I was more reviewing it in terms 13 of where we disagreed. 14 Q Well, let's talk about that. Can 15 you cite to me where you disagree with Mr. 16 Arora's rebuttal testimony or surrebuttal 17 testimony? 18 MR. DOTTHEIM: Jim, I'm going to -- 19 I haven't said anything to this point, but I'm 20 going to raise an objection now as far as this 21 line of questioning if we're going to -- if 22 you're going to continue it and go into 23 considerable detail. 24 The staff has a deposition of Mr. 25 Arora scheduled for next Tuesday for which Dr.</p>	<p>1 this afternoon we might encounter questions of 2 Dr. Proctor that we have been getting and we are 3 now getting at this point. 4 And I have and fully intend to 5 object to questions of this nature, and if you 6 want to stop the deposition and go to the RLJ, I 7 am perfectly happy to do that. And if I get an 8 adverse ruling from the RLJ, I fully intend to 9 take it to the commission. 10 MR. LOWERY: Mr. Dottheim, is it 11 your contention that I can't ask Dr. Proctor what 12 his opinions are about Mr. Arora's rebuttal 13 testimony or surrebuttal testimony? 14 MR. DOTTHEIM: I believe you can 15 ask him his opinions about the rebuttal testimony 16 other than matters that we have engaged in in 17 discussion, that's attorney-client. 18 MR. LOWERY: I agree that if you -- 19 I agree that your communications to him I cannot 20 ask him about and I cannot ask him to tell me 21 what he has asked you. I agree with that. 22 MR. DOTTHEIM: And, and he is also 23 engaged in preparation, which I have -- and I 24 have reviewed and I am working on that is based 25 upon his review of Mr. Arora's surrebuttal</p>
Page 19	Page 21
<p>1 Proctor and I are working on, and we will be 2 working on preparing for the hearing's cross- 3 examination. So I think we're beginning to get 4 into some attorney-client material. 5 And, and also to -- I think we've 6 been down this road before, if my memory serves 7 me correctly, in the last rate case in your 8 deposition of Steve Rackers when I think, if my 9 memory serves me correctly, when you were 10 deposing Mr. Rackers and you were going into 11 material regarding what he was going to put in 12 his rebuttal testimony. 13 And I indicated that the staff 14 believed, I believed that was an improper area of 15 discussion, pursuit, and that I instructed Mr. 16 Rackers to not respond, and you indicated that 17 you wanted to stop the proceedings and go to the 18 RLJ, and I responded fine, let's go to the RLJ. 19 And we wound up not doing that. 20 In my review of the transcripts to 21 the depositions of Mr. Brewbaker and Mr. Dofaney 22 [phonetic] in this case, I think you pursued with 23 them some questions that I would characterize of 24 the nature that you posed in the deposition of 25 Mr. Rackers, and as a consequence, I thought that</p>	<p>1 testimony and direct testimony for purposes of 2 the deposition next Tuesday which I would 3 consider to be attorney-client. 4 So I think you can ask him certain 5 questions, but I think that there are some 6 questions that he is not required to respond to. 7 And I will object to. And you can ask your 8 questions and we can just proceed along that, 9 that course. 10 MR. LOWERY: Well, I will ask my 11 questions, but I just want to understand from 12 you, and I'm not trying to be argumentative about 13 it at all, I'm trying to clarify your position. 14 Whether or not you agree that I am entitled to 15 know his opinions about the issues that are the 16 subject of his testimony about which he might 17 testify at the hearing. Don't you agree I'm 18 entitled to know those opinions? 19 MR. DOTTHEIM: I agree that within 20 certain limits, you are entitled to know his 21 opinions about testimony that has been filed. 22 You are also, of course, entitled to know more 23 about the testimony that he himself has filed. 24 MR. LOWERY: If Dr. Proctor was 25 going to express an opinion at the hearing that</p>

Page 22	Page 24
<p>1 was different than or in addition to the opinions 2 that he has expressed in his written testimony, 3 is it your contention I'm not entitled to know 4 that?</p> <p>5 MR. DOTTHEIM: No, but again, there 6 are limits to the questions that you can ask. 7 You just -- you just phrased a completely 8 unlimited, unbounded question for which you asked 9 for a response from me.</p> <p>10 MR. LOWERY: All right. Well, I'll 11 proceed and we'll see where it goes.</p> <p>12 Q (BY MR. LOWERY) Dr. Proctor, do 13 you have any opinions based upon Mr. Arora's 14 rebuttal testimony or surrebuttal testimony that 15 you would intend to express at the hearing that 16 are not already reflected in your prefiled 17 written testimony?</p> <p>18 MR. DOTTHEIM: Mr. Lowery, I object 19 to the -- your, your question. How does Dr. 20 Proctor know what opinions he will express at the 21 hearings when he has no idea what cross- 22 examination he will be asked at the hearings?</p> <p>23 MR. LOWERY: I asked him what he 24 intended. If he doesn't know, then he couldn't 25 have an intention at this moment.</p>	<p>1 surrebuttal testimony that have not been covered 2 in my prefiled testimony. Is that a fair answer?</p> <p>3 Q That is fair. I never suggested 4 that it wasn't. My question was simply do you 5 know at this moment as you sit here in this 6 deposition of any opinions that you formed based 7 on Mr. Arora's surrebuttal or rebuttal testimony 8 to which you might testify at the hearing?</p> <p>9 Do you know of any as you sit here 10 today? I understand that you could be asked a 11 question by a commissioner or me or anybody else 12 that would call for a different answer.</p> <p>13 A I don't know if this is answering 14 your question specifically, but when you talk 15 about opinions, that's fairly broad. I will say 16 this, that my opinion of my rebuttal position has 17 not changed based upon Mr. Arora's surrebuttal 18 testimony.</p> <p>19 By the way, his rebuttal testimony 20 I don't think really dealt with the issues that I 21 am covering in my testimony, so I can probably 22 answer, I probably won't have any opinions on his 23 rebuttal testimony. And I didn't spend -- I 24 haven't spent a lot of time looking at that 25 rebuttal testimony, so I may have missed</p>
Page 23	Page 25
<p>1 MR. DOTTHEIM: Dr. Proctor, do you 2 understand the question?</p> <p>3 THE WITNESS: I'm not sure I 4 remember the question.</p> <p>5 MR. DOTTHEIM: Let Mr. Lowery -- 6 let Mr. Lowery ask the question or have the court 7 reporter read the question back.</p> <p>8 MR. LOWERY: Why don't you have her 9 read it back?</p> <p>10 THE REPORTER: "Do you have any 11 opinions based upon Mr. Arora's rebuttal 12 testimony or surrebuttal testimony that you would 13 intend to express at the hearing that are not 14 already reflected in your prefiled written 15 testimony?"</p> <p>16 A Let me think about that just a 17 minute. I'm struggling with the question in the 18 following sense, is -- and I think Mr. Dottheim 19 may have hit on it. I'm not sure what questions 20 I might get about Mr. Arora's rebuttal or 21 surrebuttal testimony. So I could get questions 22 that were not covered in my prefiled testimony.</p> <p>23 Q (BY MR. LOWERY) Fair enough.</p> <p>24 A I guess that's the answer is I may 25 -- I could get some questions on Mr. Arora's</p>	<p>1 something.</p> <p>2 I may get a question on it so I'm 3 going to kind of qualify there that I just 4 haven't spent that much time on his rebuttal 5 testimony because he was rebutting other 6 witnesses, not me.</p> <p>7 The surrebuttal was aimed at my 8 rebuttal testimony, and that's where I've kind of 9 focused.</p> <p>10 Opinions, do -- you know, generally 11 do I agree with Mr. Arora, and the answer is no. 12 We have disagreements about various things, and I 13 haven't read anything in his testimony that would 14 change my views about what I agree or disagree 15 with Mr. Arora about.</p> <p>16 Q I take it that you don't really 17 have any opinions one way or the other about the 18 matters expressed and discussed in his rebuttal 19 testimony based on your statement a moment ago?</p> <p>20 A Well, I -- generally I read his 21 rebuttal testimony, I have not set down and 22 studied his rebuttal testimony because it didn't 23 deal with the issue -- with the issues of the 24 modeling of the uncertainty.</p> <p>25 Q All right. Let's talk about some</p>

Page 26	Page 28
<p>1 areas about which you and Mr. Arora I think 2 perhaps do agree. One of them I think you 3 already mentioned yourself, and that is you agree 4 that there is an insignificant correlation 5 between UE's hedged delivered coal costs and spot 6 power prices. Is that right? 7 A I probably wouldn't state it that 8 way. I would say there is significantly reduced 9 amounts of correlation between those two as 10 compared to unhedged coal prices and power 11 prices. And I testified to that in my rebuttal 12 testimony. 13 Q Do you have an opinion about 14 whether any correlation, if there is any, between 15 UE's hedged delivered coal costs and spot power 16 prices, whether any such correlation would be 17 statistically significant? 18 A I don't have an opinion on that, 19 no. 20 Q Would you expect it to be? 21 A Here's the way correlation works, 22 and I don't know that "statistically significant" 23 is the right word to use when talking about 24 correlations. I think you can talk about data 25 series being either highly correlated or not</p>	<p>1 2009, right? 2 A I agree. 3 Q Would you agree that UE's hedged 4 delivered coal costs in 2009 should not be 5 expected to be highly correlated with spot power 6 prices in 2009? 7 A At this point in time I would agree 8 I think with that statement with the following, 9 is that once you hedge those costs, they're 10 fixed. So it's fixed, and if at this point in 11 time you're looking forward to at the electricity 12 prices, those are not fixed. 13 For example, UE hedges a certain 14 percentage of the sales that they make into -- 15 from their power plants, and of course that 16 portion is fixed. My recollection is that the 17 proportion that's hedged is highly confidential 18 so I'll try to avoid using the number here at 19 this point. 20 Q Well -- go ahead, Dr. Proctor. 21 A So, but it's, it's more than a 22 majority of their off-system sales are not hedged 23 at this point, and those prices obviously are not 24 fixed. So any variation that we see in those 25 prices compared to a fixed coal price, you're not</p>
Page 27	Page 29
<p>1 highly correlated, and you can talk about degrees 2 of correlation. 3 And I think the statement that I 4 would agree with is, is that you're not going to 5 find a high degree of correlation between these 6 hedged coal costs and unhedged power prices. 7 Q So if we have to -- if we were 8 describing -- we're going to say two variables 9 are highly correlated or two variables are not 10 highly correlated, you'd put the hedged coal 11 costs and spot power prices in the not highly 12 correlated bucket, so to speak; is that fair to 13 say? 14 A That's a fair statement. I think 15 that statement needs to be put into a context, 16 and the context is at what point in time are you 17 talking about the hedged coal, coal prices. I 18 was looking at them on an after the fact basis, 19 but -- and certainly on an after the fact basis 20 and looking at them historically they fall into 21 the category that you just described as not 22 highly correlated. 23 Q As we sit here in November of 2008 24 and UE's delivered coal costs are pretty 25 substantially hedged, you agree with that for</p>	<p>1 going to see any correlation. Because you're not 2 going to see any movement in the one, but you 3 could see movement in the other at this point in 4 time. 5 MR. LOWERY: Fair enough. Mr. 6 Dottheim, I actually had meant to mention this at 7 the inception of the deposition, but there is 8 going to be a lot of highly confidential 9 information that really is going to have to be 10 discussed in this deposition. 11 If it's all right with you, what 12 I'd like to do is go ahead and deal with those 13 numbers, have Dr. Proctor testify to them or I 14 ask questions about them, and we will -- we will 15 have to go back and any, any transcript that 16 might become part of the record, we'll have to 17 mark highly confidential, or have a redacted 18 version for a public version to take care of that 19 highly confidential information. 20 But I don't think it's practical to 21 go in and out, so to speak, with two different 22 transcripts going along. That's how we handled 23 it with Mr. Kime's [phonetic] deposition this 24 morning with Mr. Mills. 25 MR. DOTTHEIM: That sounds fine.</p>

8 (Pages 26 to 29)

<p style="text-align: right;">Page 30</p> <p>1 Q (BY MR. LOWERY) Dr. Proctor, do 2 you agree that the approach Mr. Arora took in his 3 analysis, that the concept of the study and the 4 approach was sound; is that right? 5 A Yeah, I think he basically 6 followed, I'll just call it the outline, the 7 conceptual outline that I had presented in the 8 last case. The problem I had was with the 9 implementation. 10 Q If the result that he obtained were 11 -- if it were correct or if you had not felt 12 there were implementation problems and you got 13 those same results, you would have essentially 14 come to the same conclusions that he came to; is 15 that fair to say? 16 A If I had performed such a study and 17 I felt that everything going into it was correct 18 and that study turned out to be the same study 19 that Mr. Arora performed, I think the answer to 20 your question is yes. 21 Q If you were -- for example, you 22 performed a study and you came and you generated 23 a Table 1, essentially the same table as he 24 generated, a Table 1 in his testimony, and if the 25 results were essentially similar, you would</p>	<p style="text-align: right;">Page 32</p> <p>1 that's the right -- that's the thing that he 2 should have done. Right? 3 A Correct. 4 Q And taking those uncertainties and 5 applying those correlations between the variables 6 and then running 250 scenarios of annual power 7 market simulations using a production cost model, 8 that's what you suggested in the last case and 9 that was the right approach to take; is that 10 right? 11 A That's correct. 12 Q And the -- he created this set of 13 250 scenarios to measure uncertainties for 14 several time horizons, one of them was going into 15 the immediate next year, here the test year, and 16 the other periods were for future years '09 17 through 2012; is that correct? 18 A That's correct. 19 Q And he then ran annual production 20 cost model simulations to determine the annual 21 level of net fuel costs for each of those 250 22 scenarios; is that right? 23 A That's right. 24 Q And the concept behind this 25 approach was a sound and reasonable way to</p>
<p style="text-align: right;">Page 31</p> <p>1 interpret them the same way as he did; is that 2 true? 3 A Yeah, that's correct. That's 4 correct. 5 Q And you agree that, I think you 6 said a moment ago, he basically followed the 7 steps that you would recommend to be followed for 8 an uncertainty study of UE's net fuel costs, he 9 first determined specific uncertain variables for 10 the key inputs? 11 A That's correct. 12 Q Power prices, gas prices, coal 13 prices, correct? 14 A Correct. 15 Q And that's the right -- you think 16 that's the right thing to have done, right? 17 A That's correct. 18 Q And he determined statistical 19 measures for each of those uncertain variables 20 and you think that was the right way to go about 21 it. Correct? 22 A Correct. 23 Q And he determined correlations 24 between each variable, and determining 25 correlations between each of those variables,</p>	<p style="text-align: right;">Page 33</p> <p>1 approach it. Is that right? 2 A That's correct. 3 Q Now, since we're going to deal with 4 the highly confidential issue later, you would 5 agree that UE typically hedges only about [REDACTED] 6 percent of its system sales volumes forward for 7 between a month and a year out; is that right? 8 A That's my understanding, yes. 9 Q And that means that in any given 10 twelve month period about [REDACTED] percent of UE's 11 off-system sales volumes are going to be sold in 12 the daily spot power market; is that correct? 13 A That's correct. 14 Q And I think staff and UE's models 15 in this case, they're very, very close, both come 16 up with about 10 million megawatt hours of 17 off-system sales in a given year at a normalized 18 level; is that right? 19 A You're asking me to recall a number 20 that I've probably -- I've seen, but I haven't 21 focused on it. 22 Q Fair enough. Whatever those two 23 models come up with you'd accept as a normalized 24 level off-system sales, and for the purposes of 25 my question today, can you assume it's 10 million</p>

1 megawatt hours give or take 100,000?

2 A That would be fine.

3 Q That sounds about right based on,
4 if I recall, Dr. Proctor, I think that's very
5 similar to numbers we dealt with in the last
6 case. Do you recall that?

7 A No, I don't, but that's all right.

8 Q Fair enough. Do you agree that the
9 going into the test year results in Mr. Arora's
10 Table 1 were generated using typical hedge
11 percentages at the beginning of a particular
12 year, happen to be the going into the test year
13 here, for gas, for coal, for nuclear power, and
14 for energy?

15 A Would you repeat that question?

16 Q Sure. Do you agree that the going
17 into the test year results in Mr. Arora's Table 1
18 -- you're familiar with this Table 1?

19 A Yes.

20 Q And he has a column that shows --
21 it's called -- it's labeled I think test year,
22 but it reflects a going into the test year
23 analysis?

24 A Mm-hmm.

25 Q Do you agree that the -- for

1 running those -- the 250 simulations for that
2 test for that year, going into that year, do you
3 agree that what Mr. Arora did is he used typical
4 hedge percentages for each of the main inputs,
5 coal, nuclear, gas, and power?

6 "Typical" meaning how much would UE
7 be hedged on those four items just before the
8 twelve month period that was being examined.

9 A Yes.

10 Q You agree that all or nearly all of
11 the expected coal needs are typically hedged at
12 the beginning of a year, including at the
13 beginning of the test year in this case?

14 A Yes.

15 Q Nuclear fuel was essentially hedged
16 for the test year case. You agree with that.
17 Right?

18 A I did not look at nuclear. I
19 cannot -- I didn't look at nuclear fuel so I
20 don't know the answer to that one.

21 Q Okay. That makes sense to you,
22 doesn't it, since there was a refueling -- there
23 just was a refueling the last couple weeks, and
24 the last one would have been back in the spring
25 of --

1 A I think there's a refueling every
2 eighteen months.

3 Q Right. And so going into the test
4 year, the test year in this case that was being
5 examined was April 1, '07 to March 31, '08.
6 Right?

7 A That was the staff's test year,
8 yes.

9 Q And that's the test year case that
10 Mr. Arora was examining as well. Right?

11 A I will accept that. I'm not sure
12 I'm real clear what his test year was, but I
13 think we were supposed to be operating on the
14 same test year, yes.

15 Q You don't have any information that
16 indicates that that wasn't the test year?

17 A No, I don't.

18 Q And you've looked at Mr. Arora's
19 work papers that underlie his analysis; is that
20 right?

21 A That's correct.

22 Q Do you recall that about in that --
23 in going into the test year case analysis that
24 the hedge percentages for off-system sales was
25 about [REDACTED] percent?

1 A I don't -- I'm not -- I don't
2 recall those -- the hedge percentages that he
3 used specifically going into the test year. I do
4 know that the purpose of his test year analysis
5 was to use those things that were hedged. But [REDACTED]
6 percent seems to me would be the right number to
7 use.

8 Q All right. Fair enough. Do you
9 agree that much of the gas that would be needed
10 to run the company CTGs during a particular year
11 is not typically hedged going into the year
12 because the gas burn is pretty uncertain?

13 A I agree.

14 Q Do you agree that going into any
15 particular year there's uncertainty in the spot
16 fuel and spot fuel and power prices?

17 A Oh, in spot prices, yes.

18 Q Do you agree that going into any
19 particular year there's load forecasting
20 uncertainty?

21 A If you're looking at going into a
22 year, yes.

23 Q And that was my question. So going
24 into a particular year there's load forecasting
25 uncertainty. Right?

Page 38	Page 40
<p>1 A That's correct.</p> <p>2 Q And going into any particular year</p> <p>3 there's plant availability uncertainty, is there</p> <p>4 not?</p> <p>5 A Yes.</p> <p>6 Q And going into any particular year</p> <p>7 there's uncertainty about unplanned plant</p> <p>8 outages?</p> <p>9 A Yes.</p> <p>10 Q Going into a particular year</p> <p>11 there's uncertainty about the impact of</p> <p>12 transmission outages in the region; is that true?</p> <p>13 A That's true.</p> <p>14 Q Going into a year there's</p> <p>15 uncertainty about when planned outages will occur</p> <p>16 because the company and utilities in general</p> <p>17 sometimes move planned outages up a few weeks or</p> <p>18 back a few weeks. Right?</p> <p>19 A I am not -- I don't know.</p> <p>20 Q You don't know whether or not the</p> <p>21 company sometimes moves a plant outage from the</p> <p>22 spring to the fall or vice versa?</p> <p>23 A Well, if you're talking about going</p> <p>24 into a specific test year and you're only a month</p> <p>25 or so out from the beginning of that test year, I</p>	<p>1 isn't that fair to say?</p> <p>2 A That's fair, and if power prices</p> <p>3 vary, it can -- the coal burn can vary quite a</p> <p>4 bit.</p> <p>5 Q So the dispatch could change?</p> <p>6 A That's correct.</p> <p>7 Q And the amount of diesel fuel</p> <p>8 surcharges in a given year vary from what was</p> <p>9 expected going into that year?</p> <p>10 A Diesel fuel surcharges for coal</p> <p>11 delivery?</p> <p>12 Q Sure. Yes. For delivering coal.</p> <p>13 A I believe that's the case, yes.</p> <p>14 Q Could there be coal delivery</p> <p>15 disruptions in a year that were not expected like</p> <p>16 we saw in 2005?</p> <p>17 A Yes, but I don't know how to put a</p> <p>18 probability on that one. That's the only</p> <p>19 disruption that's ever occurred on the Powder</p> <p>20 River Basin coal deliveries that I'm aware of.</p> <p>21 Q Obviously the gas burn can vary</p> <p>22 from what was expected going into the year since</p> <p>23 we can't really predict the gas burn very well.</p> <p>24 Right?</p> <p>25 A That's correct.</p>
Page 39	Page 41
<p>1 would think that planned outages are pretty much</p> <p>2 fixed.</p> <p>3 Q So you're not as certain about how</p> <p>4 much -- you're not as sure about how much</p> <p>5 uncertainty going into a particular year there</p> <p>6 may be about planned outages?</p> <p>7 A No, and I don't recall looking at</p> <p>8 any data that tried to capture that. But there</p> <p>9 may be some uncertainty there. I don't know.</p> <p>10 Q Sure. Do you agree that actual</p> <p>11 spot power prices can be quite different in a</p> <p>12 particular year than they were predicted to be</p> <p>13 going into that year?</p> <p>14 A Yes.</p> <p>15 Q Early in a year we can think that</p> <p>16 the average spot power price over that upcoming</p> <p>17 year may be X and it may turn out to be Y, higher</p> <p>18 or lower than X?</p> <p>19 A Yes.</p> <p>20 Q Can the coal burn during a given</p> <p>21 year vary from what was expected going into the</p> <p>22 year?</p> <p>23 A It will vary.</p> <p>24 Q If it's much hotter or much colder</p> <p>25 than normal, it might vary quite a little bit;</p>	<p>1 Q Market prices for power are highly</p> <p>2 correlated with weather. Correct?</p> <p>3 A Daily prices, yes.</p> <p>4 Q Daily market prices for power</p> <p>5 highly correlate with weather, with that proviso.</p> <p>6 Correct?</p> <p>7 A With that proviso, daily, yes.</p> <p>8 Q Weather is probably the variable</p> <p>9 that has the most effect on loads; is that fair</p> <p>10 to say?</p> <p>11 A It is the major factor impacting</p> <p>12 load. There are other factors as well, but --</p> <p>13 Q And that's why when you run a</p> <p>14 production cost model, you need to match weather</p> <p>15 normalized prices with weather normalized loads.</p> <p>16 Correct?</p> <p>17 A Yes, you need to match the prices</p> <p>18 with the load.</p> <p>19 Q And you need to use weather</p> <p>20 normalized loads when you run the model, so you</p> <p>21 also need to weather normalize prices?</p> <p>22 A Which models are we talking about?</p> <p>23 Q Production cost model.</p> <p>24 A Oh, production cost model. Okay.</p> <p>25 You need to weather normalize the loads,</p>

11 (Pages 38 to 41)

1 absolutely. I don't know that anyone has yet
2 attempted to weather normalize the prices, or to
3 try to do an adjustment to the prices based on
4 normal versus abnormal weather.

5 One of the things that the staff
6 does do, however, is it looks at the years of
7 data -- the year of data that it's using, and it
8 looks for months or times when the weather was
9 highly abnormal.

10 But we do not sit down and run
11 regressions and find a relationship between
12 prices and mean daily temperatures or two day
13 weighted mean daily temperatures and do an
14 adjustment to a price based on that.

15 Q Well, if you were running a
16 production cost model using weather normalized
17 loads, which you said you absolutely need to
18 weather normalize, right?

19 A Yes.

20 Q If you were running the production
21 cost model using those weather normalized loads
22 and you were using prices for a period that had
23 -- that were abnormal because the weather was
24 pretty abnormal during that period, your results
25 might not be very reliable from the model; isn't

1 that fair to say?

2 A If you found a price in a given
3 month, for example, that was extremely high or
4 extremely low and that the cause for that was
5 weather, you should adjust that -- you should
6 adjust the price in that month.

7 Q Do you know of any production cost
8 model that can conclusively always predict the
9 annual spot power prices within an error margin
10 of 20 percent?

11 A I don't think the production cost
12 model's objective is to predict power prices.
13 But I think your question is a more general one
14 of whether or not you can predict power prices
15 within a certain band of certainty. Am I
16 interpreting your question correctly?

17 Q I think so. And would it be fair
18 to say that predicting power prices, average
19 annual spot power prices within an error band of
20 even 20 percent is a fairly tough thing to do?

21 A I don't know the answer to that.

22 Q 10 percent on either side?

23 A I don't know. I don't know the
24 percentage. One of the things I recommended in
25 my rebuttal testimony is that we go back and look

1 at that. That we look at forecasts of annual
2 prices that were done a year ahead or -- and, and
3 look at a history of those kinds of forecasts to
4 find out what the uncertainty is. The
5 uncertainty band around those is. And since that
6 hasn't been done -- since that hasn't been done,
7 I don't know what the uncertainty band of
8 forecasting is.

9 Q Would you agree that if we were to
10 assume going into a particular year that the
11 average annual spot power price was going to be
12 \$45 a megawatt hour and that price were to vary
13 up or down a range of just 10 percent, a total
14 range of 20 percent, that that would represent
15 about a \$9 range of possible prices of 4.50 above
16 and 4.50 below that predicted \$45 number?

17 A Give me the parameters again? I'm
18 going to do the calculation.

19 Q Sure. Going into the year we
20 thought the average annual spot power price was
21 going to be \$45 per megawatt hour. And if the
22 variance around that prediction is just 20
23 percent, 10 percent up or 10 percent down, that
24 range is between 35.50 and 49.50. Right?

25 I'm sorry, I didn't do my math

1 right, 40.50 and 49.50?

2 A Yeah, 40.50 and 49.50. I'm doing
3 my math on a spreadsheet, so yeah. It's between
4 40.50 and 49.50.

5 Q And if you apply that \$9 range
6 between the low and the high to the roughly [REDACTED]
7 million megawatt hours of unhedged off-system
8 sales that the company has going into a
9 particular year, that represents alone a \$ [REDACTED]
10 million swing in off-system sales revenues,
11 doesn't it, just because of spot power price
12 movements within that relatively narrow plus or
13 minus 10 percent band?

14 A Real quick, that's the 10 million
15 times the 9 million?

16 Q I'm sorry, the [REDACTED] million unhedged
17 off-system sales times \$9 price range.

18 A Okay [REDACTED] million times nine is [REDACTED]
19 [REDACTED]
20 [REDACTED]
21 [REDACTED] I'm sorry.

22 Q So if power prices vary, are only
23 going to -- if we knew that power prices are only
24 going to vary plus or minus 10 percent from that
25 expected number and it's \$45 what we expected

1 going into, UE's off-system sales revenues could
2 vary by, and I'm talking about -- could vary by
3 [REDACTED] million using just the unhedged portion of
4 the off-system sales volumes just because of that
5 plus or minus 10 percent movement in power
6 prices. Right?

7 A Yes. I mean, that could be the
8 total swing from the low number to the high
9 number.

10 Q That's right. It's the total range
11 between the low to the high.

12 A Yep. I agree.

13 Q Now, if you use prices in a
14 simulation that are not weather normalized, but
15 you use weather normalized loads in that
16 simulation, couldn't you -- couldn't you
17 overstate or understate the simulated normalized
18 production costs produced by the model?

19 A Well, again, it depends, in my
20 mind, on what you mean by "weather normalized."

21 Q You mean as it pertains to the
22 prices?

23 A Well, as pertained to the specific
24 -- yeah, as it pertains to the prices, but
25 specifically what do you mean by "weather

1 normalized"? I don't know -- it -- I think I
2 have answered this question before that, that --
3 are you talking about running regressions on
4 power prices against mean temperatures and then
5 using normal mean temperatures to adjust those,
6 is that what you mean by "weather normalization"?
7 Or --

8 Q No, I guess, Dr. Proctor, what I
9 mean is using longer periods of time to average
10 out abnormalities in power prices caused by -- or
11 that were driven by weather.

12 A Well, the problem with that is the
13 period of time that you use for those averages.
14 And when we weather normalize loads, we use
15 thirty years of weather to go through versus the
16 regressions. And it's pretty specific in terms
17 of the amount of time that we talk about in terms
18 of normal.

19 And my recollection was that we --
20 that Erin Maloney [phonetic], who did this
21 analysis for the staff, did look at the weather
22 for particular -- the particular test year and
23 compared that to what you would get with the
24 thirty year normal, and also looked at averaging
25 two years, and found that actually the test year,

1 the single year was closer to normal on the
2 weather than the two year average.

3 So using something like a two year
4 average does not by any means assure you that
5 you're going to be normalizing prices for
6 weather.

7 Q Did you work with Miss Maloney on
8 her work on this rate case?

9 A Yes, I did.

10 Q What was your role with respect to
11 working with Miss Maloney?

12 A Well, she's taken over this issue
13 going into the future, and so I guess you might
14 say that my role was to consult with her and help
15 her become familiar with the things that I had
16 looked at in the previous case, and to just give
17 her advice on what she was doing in this case.

18 I'm not going to use the word
19 "trained" Miss Maloney because she's a pretty
20 good analyst, but get her familiar with all the
21 specific data and the analysis of that data for
22 this particular determination of these various
23 prices. Power prices, coal prices, gas prices.

24 Q Well, I had asked you earlier what
25 your assignment for this case was and with whom

1 you consulted, and I take it that you at that
2 time were focusing solely on the subject of your
3 rebuttal testimony, and I take it that you have
4 had some other roles with respect to this rate
5 case that you didn't tell me about; is that fair?

6 A Yeah, I understood your question to
7 be related to this issue with Mr. Arora.

8 Q Well, let's go back and let me go
9 back and broaden my question. What other
10 assistance, consultation, communication have you
11 had with staff members, and again, I'm not asking
12 for any attorney-client communications,
13 respecting the staff's case in this rate case?

14 A I communicated regularly with Miss
15 Maloney and with John Cassidy on the staff's
16 development of net fuel costs, and in particular
17 power prices and coal dispatch prices, natural
18 gas prices, those types of things.

19 I did not consult on things like
20 outages of power plants that go into the model,
21 either scheduled or forced outages, probabilistic
22 outages. I did not consult on the load input
23 that goes into the model. And I think I pretty
24 much covered that.

25 Q So two areas of responsibility with

Page 50	Page 52
<p>1 regard to this case, the areas that you</p> <p>2 previously had in mind in terms of uncertainty of</p> <p>3 net fuel costs and Mr. Arora's analysis and your</p> <p>4 analysis of that and so on, and then assistance</p> <p>5 to Mr. Cassidy and Miss Maloney relating to power</p> <p>6 prices, essentially, and the inputs, power price</p> <p>7 inputs and so on for the staff's production cost</p> <p>8 model. Are those the only two areas?</p> <p>9 A Those are the only two areas that I</p> <p>10 can recall. Yes.</p> <p>11 Q The twelve months of power prices</p> <p>12 for the test year that was used by Miss Maloney</p> <p>13 and any adjustments that she made to those, was</p> <p>14 that your recommendation or her recommendation?</p> <p>15 A It was her recommendation.</p> <p>16 Q She suggested it to you first?</p> <p>17 A We discussed it, but she's the one</p> <p>18 that -- she's the one that made the ultimate</p> <p>19 recommendation.</p> <p>20 Q Whose idea was it first?</p> <p>21 A Oh, I don't know. We talked about</p> <p>22 several possible ways to approach it.</p> <p>23 Q What's your understanding of why</p> <p>24 you arrived at the approach that was taken?</p> <p>25 A In our discussions we looked at</p>	<p>1 the system?</p> <p>2 A Absolutely.</p> <p>3 Q And economic conditions, a</p> <p>4 significant upturn or downturn in the economy can</p> <p>5 affect loads?</p> <p>6 A Yes.</p> <p>7 Q By the way, how would you expect</p> <p>8 the current economic condition that we are all</p> <p>9 experiencing in our 401(k)s, I guess, how would</p> <p>10 you expect those to affect utility loads in the</p> <p>11 next year?</p> <p>12 A Well, first, let me say that I have</p> <p>13 not done a specific analysis of that. Okay?</p> <p>14 Q Fair enough. You've been in this</p> <p>15 business for a very long time, and I don't mean</p> <p>16 that in a critical way at all, you have a lot of</p> <p>17 experience with these things, and so just based</p> <p>18 upon your twenty-five or thirty years of</p> <p>19 knowledge and experience in this industry, it</p> <p>20 seems to me that you might have an expectation</p> <p>21 about how the current economic condition would be</p> <p>22 expected to affect utility loads in the next</p> <p>23 year; is that fair?</p> <p>24 A That's fair. Generally when, for</p> <p>25 example, when you're running a load forecast, and</p>
Page 51	Page 53
<p>1 several factors. We looked at weather, the one</p> <p>2 that you've mentioned. We also looked at twelve</p> <p>3 month moving averages of prices and how they were</p> <p>4 moving. We looked at -- I'm trying to think what</p> <p>5 else we looked at.</p> <p>6 We looked at specific months to see</p> <p>7 if there were any prices that appeared to be out</p> <p>8 of line, and, you know, were they way too low or</p> <p>9 way too high. Even though -- even though the</p> <p>10 weather may be close to normal, you can -- you</p> <p>11 can have other shifts that occur that cause the</p> <p>12 prices to be higher or lower than what you would</p> <p>13 normally expect. So we looked at those -- we</p> <p>14 looked at all of those in coming to a final</p> <p>15 decision.</p> <p>16 Q We talked a minute ago that weather</p> <p>17 has probably the most effect on loads; is that</p> <p>18 what we talked about? You -- I think you agreed</p> <p>19 with that?</p> <p>20 A It has a significant -- it's the</p> <p>21 thing that can affect variations in load more</p> <p>22 than anything else, yes.</p> <p>23 Q All right. Fair enough. Other</p> <p>24 things can also affect loads, though, can't they?</p> <p>25 Like large industrial customers coming on or off</p>	<p>1 by the way, I haven't run a load forecast for a</p> <p>2 long time, it's been a long time since I've done</p> <p>3 that, but particularly with respect to commercial</p> <p>4 loads and somewhat with respect to industrial</p> <p>5 loads, one of the driver variables that's used in</p> <p>6 the forecast is the area income. So if the</p> <p>7 income is dropping, the load will drop.</p> <p>8 Q And what about your expectation</p> <p>9 about the effect of the current economic</p> <p>10 conditions on market prices for power in the</p> <p>11 coming year?</p> <p>12 A Well, generally if load is</p> <p>13 dropping, demand is falling, and if there are no</p> <p>14 other interventions on the supply side, then</p> <p>15 power prices will fall. But you could have</p> <p>16 interventions on the supply side --</p> <p>17 Q In other words, some supply goes</p> <p>18 away?</p> <p>19 A Excuse me?</p> <p>20 Q In other words, some supply goes</p> <p>21 away?</p> <p>22 A No, not that it goes away. That it</p> <p>23 -- the intervention on the supply side would be</p> <p>24 increasing prices for, for elements that are used</p> <p>25 to produce to generate the power. Increases on</p>

14 (Pages 50 to 53)

Page 54	Page 56
<p>1 the cost side, let me put it that way, increasing 2 prices of natural gas or coal supplies or things 3 along that line. 4 Q Let me ask you this. Is it fair to 5 say going into a particular year or a particular 6 twelve month period, if you were trying to 7 predict for that twelve month period, say I'm in 8 November to December looking forward into the 9 next calendar year. 10 A Okay. 11 Q Going into that next year there are 12 a lot of variables that are unknown which would 13 cause my actual net fuel costs in that next year 14 to vary considerably from the net fuel costs that 15 I expected for that coming year. Is that fair to 16 say? 17 A I think so, yes. 18 Q There are a lot of variables in 19 play and there's a lot of variables other than 20 weather in play going into each year; is that 21 fair to say? 22 A Yes. 23 Q So while if we look back after the 24 fact at a year, we would not expect to see 25 uncertainty because all of the values are already</p>	<p>1 calculating some kind of uncertainty measure 2 looking forward into a year, we would expect that 3 uncertainty measure to be higher, or much higher 4 than if we're looking backwards at a year that's 5 already over; is that correct? 6 A That's correct, and I think I 7 characterized that in my rebuttal testimony is 8 uncertainty associated with forecasting there. 9 Q Forecast uncertainty. There's not 10 forecast uncertainty looking backwards. Right? 11 A That's right. 12 Q But there is forecast uncertainty 13 looking forward. Right? 14 A That's correct. 15 Q And Mr. Arora did not look backward 16 at his test year case, did he? He was looking 17 forward at the beginning of the test year, was he 18 not? 19 A I believe that's the case, yes. 20 Q So when you criticized that the 21 uncertainty factor was too high because you 22 thought the only thing that could vary was 23 weather, that was based on a mistaken assumption 24 that Mr. Arora was looking backwards, wasn't it? 25 A I don't -- I don't think I made the</p>
Page 55	Page 57
<p>1 known after the fact. If we're looking forward 2 going into a year, we would expect there to be a 3 higher, quote, uncertainty factor, to use a 4 paraphrase I think that you used at your 5 testimony on page 30. Correct? 6 A Let me -- where on page 30? I'm 7 sorry. 8 Q Let me find it, Dr. Proctor. On 9 line 8, "I see uncertainty factors" -- 10 A Oh, uncertainty factor. I think 11 the uncertainty factor was a term that Mr. Arora 12 coined in his direct testimony. 13 Q Right. 14 A Okay. So -- 15 Q Let me ask my question again. 16 A Yeah, ask your question again. 17 Q If we look back after the fact at a 18 year, it's not surprising we don't see 19 uncertainty because the values are already known. 20 We're looking backwards, we know what happened. 21 Right? 22 A Sure. 23 Q But if we're looking forward going 24 into a year, we don't know what the values of 25 many of those variables are, and if we're</p>	<p>1 statement that the only thing that could vary was 2 weather. I don't believe I made that statement. 3 Now, I may have indicated in part of the 4 testimony in trying to characterize certain types 5 of uncertainties and uncertainty related to 6 weather or -- you know, primarily related to 7 weather, but I don't -- here is the -- here is 8 the issue in what -- 9 Q I'm sorry, Dr. Proctor, maybe if I 10 -- I'm just trying to understand your testimony. 11 On page 30, line 8 and 9 of your rebuttal 12 testimony, you say, "The uncertainty factor in 13 the test year is significantly too high for 14 variations in the annual average price of 15 electricity simply due to changes in weather 16 scenarios." 17 A That's correct. 18 Q And you understand, as you 19 indicated a moment ago, that Mr. Arora was 20 looking forward into the test year, not looking 21 backwards, so that the uncertainty factor he was 22 calculating wasn't simply due to variations in 23 weather. Right? 24 A I agree. Yeah. And I don't think 25 that's --</p>

15 (Pages 54 to 57)

1 Q So explain to me how that
2 uncertainty factor is too -- why did you say,
3 "The uncertainty factor in this test year is too
4 high for variations simply due to changes in
5 weather"?

6 A Well, let me -- let me indicate
7 that my view of the test year when I was writing
8 this testimony was that it was a base case.
9 Okay? And that in the base case you didn't have
10 any forecast uncertainty, but you did have
11 uncertainty related to the weather. So that,
12 that was the -- that was the -- that was the
13 description that was the basis for this paragraph
14 on page 30.

15 Q So when you were using the term
16 "test year" on page 30, you're not talking about
17 Mr. Arora's going into the test year case in
18 Table 1 in his direct testimony, you're talking
19 about a generic test year?

20 A Yes. I was talking about a base
21 case in which you were looking at primarily
22 variations that occur in power prices due to
23 changes in weather, though that may not be the
24 only factor that's changing when you're looking
25 at this. You can have changes in supply.

1 I mean, weather affects the demand
2 for electricity. Within any given test year you
3 can have changes in supply that also occur within
4 that test year. So both of those -- both of
5 those factors can impact what kinds of
6 uncertainty you would have within a specific test
7 year. I was differentiating that from what I
8 here was calling forecast uncertainty.

9 In other words, you're looking back
10 at historical data, and in that particular
11 historical data you're going to have uncertainty
12 that's due to changes in supply and changes in
13 demand, and you are wanting to capture that in a
14 base case.

15 That is different from, in my
16 testimony, that's different from looking forward
17 to, let's say, the next year in which you also
18 introduce a concept of forecast uncertainty.

19 And I don't call it -- in the test
20 year you can have changes in supply. What you're
21 doing is measuring the uncertainty that has
22 happened historically because of those changes.
23 That is not a forecast. That is something that
24 has already occurred and that you are measuring
25 as having already occurred.

1 Q But Mr. Arora wasn't looking
2 backward at the test year. You agree with that.

3 A I -- it -- I'm not sure what --
4 that Mr. Arora -- I think he just -- I think test
5 year just happens to be a year -- yes. A year in
6 which he is looking at it almost as every other
7 year in his analysis except that he has a greater
8 amount of the cost being hedged in the test year
9 than in the other years.

10 Q Exactly. The only difference is
11 that because just before the beginning of any
12 particular year, UE has just about all of its
13 coal costs typically hedged, high percentage of
14 its nuclear hedged, about [REDACTED] percent of its
15 off-system sales hedged, probably not a lot of
16 its gas hedged because of the uncertainty in the
17 gas burn.

18 So UE has hedged a lot of its fuel
19 and, you know [REDACTED] percent off-system sales going
20 into a year, which we would expect to make the
21 uncertainty in that year less than a year later
22 and a year later and a year later. Right?

23 A Yes. But --

24 Q And that's what -- when Mr. Arora
25 -- he called it test year with uncertainty in

1 Table 1, and I think he claimed in his
2 surrebuttal testimony that label may have been a
3 little bit confusing, but you understand that he
4 was looking forward into a test year period, not
5 looking backwards at what had already happened.

6 So he -- there was forecast
7 uncertainty going into the test year case that he
8 was running. Correct?

9 A If he says so, yes. But he did not
10 measure forecast uncertainty. He simply looked
11 at uncertainty related to daily variations in
12 power prices over the years 2006, 2007, and
13 plugged that into his -- into his model to
14 reflect uncertainty in average annual prices.

15 Q Well, do you have Mr. Arora's
16 testimony there?

17 A No, I do not.

18 Q I think Miss Lobb has it for you.
19 MS. LOBB: Which one is it, Jim?
20 Direct?

21 MR. LOWERY: Yeah.

22 A I have it now.

23 Q (BY MR. LOWERY) Turn to page 29,
24 please.

25 A Yes.

1 Q Between the 25th and the 75th
2 percentile going into the test year case we can
3 see a range of uncertainty of [REDACTED] million. Right?

4 A I'm sorry, what's this got to do
5 with my testimony? My testimony dealt with power
6 prices, not with net fuel.

7 Q I didn't say it was your testimony,
8 I'm asking you a question about Mr. Arora's
9 testimony that you rebutted.

10 A That's what the table shows.

11 Q So going into the test year case,
12 Mr. Arora calculated a range of [REDACTED] million
13 between the 25th and 75th percentile. That's
14 what the table says, right?

15 A Yes.

16 Q And that's a measure -- that's a
17 measure of uncertainty produced using his 250
18 simulations for that going into the test year
19 case. Right?

20 A It is a measure, yes.

21 Q And a year later, in 2009, when the
22 hedged percentages for coal, nuclear, power would
23 have been lower for the 250 simulations for 2009,
24 the uncertainty not quite doubled. Right?

25 A That's correct.

1 Q And in 2010, the uncertainty was
2 similar. Right?

3 A The 25 to 75 percent range was
4 actually almost identical to 2009.

5 Q And then for 2011, we're getting
6 farther in the future, net fuel costs became more
7 uncertain. Right?

8 A It did go up, yes.

9 Q 2012 it went up again, became more
10 uncertain according to the analysis. Correct?

11 A That's correct.

12 Q And what was happening here is 250
13 simulations were being run using -- for the going
14 into the test year case using those typical
15 pretty high hedge ratios for coal, about 30
16 percent of power hedged. So he ran 250
17 simulations based on that hedge position for fuel
18 and for off-system sales, and we got a more
19 narrow range of uncertainty.

20 Then we ran 250 simulations using
21 the hedge percentages on those components that we
22 would expect when we're a little more than a year
23 away for 2009, and we got more uncertainty. And
24 we used the hedge percentages that we would
25 expect when we're about two years out for 2010,

1 got about the same uncertainty, and so on.

2 So the farther out we went, the
3 more uncertainty Mr. Arora's analysis reflected.
4 Right?

5 A I think your description is
6 correct. I'm not -- that -- that those numbers
7 that you're pointing to reflect a range of
8 uncertainty for each of those years, yes.

9 And the other thing that you said
10 that I would agree with is you go out from the
11 test year to 2009, the amount that's hedged of
12 coal costs and other fuel costs is decreasing.

13 Q And you understand that that's how
14 Mr. Arora -- my description of 250 simulations
15 for the going into the test year case using those
16 higher hedge percentages were run and that's how
17 the [REDACTED] million was derived in the 25 to 75th
18 percentile range and 250 simulations were done
19 using --

20 A Yes. Understood.

21 Q -- hedge ratios about a year out
22 for the 2009 case and that's how we came up with
23 the [REDACTED] You agree that that's how it was done.
24 Correct?

25 A Yes.

1 Q And it's not surprising to you that
2 the uncertainty ranges get wider the farther out
3 we get. Right?

4 A Yeah, I guess what's surprising to
5 me is it didn't get wider for 2010.

6 Q Okay. But over the course of the
7 years observed, overall, that uncertainty became
8 larger, as you would expect. Right?

9 A Yes. As you decrease the amount
10 that's hedged in costs, your uncertainty is going
11 to increase.

12 Q We've been talking about
13 projections of net fuel cost uncertainty just
14 now, and that's what Mr. Arora's simulations are,
15 they're projections. Right?

16 A They are estimates, that's correct.

17 Q Okay. Are estimates and
18 projections the same thing in your mind?

19 A No. He's projecting a range. He's
20 estimating a range. Projection to me, it's
21 probably just me, but carries this context of
22 something like a forecast. But here he's
23 actually doing a calculation of a range of net --
24 that fuel outcomes that could occur in the
25 future. So I --

Page 66	Page 68
<p>1 Q Okay. Fair -- when I use the term 2 "projection," I really was -- I really was 3 denoting something that could occur in the future 4 is how I was using it. 5 A Sure. 6 Q So if I slip up and say 7 "projections," that -- do you understand that I'm 8 just talking about something that could happen in 9 the future? 10 A Okay. 11 Q Now, are you aware that UE 12 periodically forecasts its net fuel costs 13 approaching and going into a particular year and 14 then reforecasts them periodically as the year 15 progresses? 16 A Yes. 17 Q Are you aware that those forecasts, 18 for example, for a particular year change quite a 19 bit over time leading up to and during that 20 particular year that we're looking at? 21 A Yes. 22 Q Why would that be? Would that be 23 because all of these variables we've been talking 24 about, the hedge percentage on coal and power and 25 gas, for example, the load, the outage scheduled,</p>	<p>1 of UE's forecast is that it uses forward prices 2 to -- as estimates for the portions of the costs 3 and in this case electricity market prices that 4 are not hedged. So another reason that is going 5 to change is because of the volatility that 6 exists in the forward, forward price markets. 7 Q And there's volatility in the 8 actual daily spot power markets. Right? 9 A What'd I say? Price markets? 10 Q You said price. 11 A Power markets, yeah. 12 Q And there's volatility in the 13 actual daily spot power market, too, correct? 14 A Well, what do you mean by 15 "volatility"? 16 Q Well, daily prices go up and down 17 day to day or certainly week to week or month to 18 month quite a bit throughout the year. Correct? 19 A Sure. Yeah. They move around. 20 Now, the, to me, volatility needs to be measured 21 within a context. Just because something changed 22 -- changes doesn't mean it's volatile. It's 23 volatile if it changes around what your -- what 24 your expectations are. If it -- if there's wide 25 variations around your expectations of that</p>
Page 67	Page 69
<p>1 energy prices, fuel prices, all those things keep 2 moving as we're approaching that year and as 3 we're going through that year. Is that true? 4 A Yeah, I would be a little bit more 5 specific than that. I -- obviously as you -- if 6 you're saying you're forecasting for 2009, as you 7 move through the year in 2008 or any year prior 8 to that, you're exactly right. 9 The amount that you have hedged of 10 your cost at any point and of your sales at any 11 point will vary. So that, that will impact the 12 forecast that you will have for the upcoming year 13 or for a year out or two years out or whatever. 14 Q And it will impact, if I'm going 15 into -- let's take your 2009 example. 16 If I'm going into 2009 and let's 17 say I'm in late '08 and I forecast fuel costs for 18 2009 and then I reforecast them in the first 19 quarter of '09 and the second and third and 20 fourth, all those forecasts may vary quite a bit 21 because these variables are moving as you point 22 out, the hedge percentages are moving as the year 23 progresses. Right? 24 A Well, yeah. The hedge -- the 25 hedged amount varies, and also my understanding</p>	<p>1 price, then I think you've got a volatility. 2 MR. LOWERY: Dr. Proctor, if you 3 don't mind, I'd like to take about a five minute 4 break myself. Is that all right? 5 THE WITNESS: That's fine. 6 MR. LOWERY: All right. Let's take 7 a break. 8 (Off the record.) 9 Q (BY MR. LOWERY) Dr. Proctor, 10 before we took a break, we were talking about the 11 fact that going into a particular year, the 12 company forecast net fuel costs, and then as that 13 year progresses, say end of '08, the company 14 forecasts what fuel costs are going to be. And 15 then as that year -- for '09, and then as '09 16 progresses, the company reforecasts at various 17 times and those forecasts can vary quite a little 18 bit. Do you remember that discussion? 19 A Yes. 20 Q And if we look back, let's say if 21 we look back at a particular year after we had 22 forecasted it going into that year and after we 23 reforecasted it a few times during that year, if 24 we look back, it could turn out that the actual 25 net fuel costs for that year were quite a bit</p>

18 (Pages 66 to 69)

<p style="text-align: right;">Page 70</p> <p>1 different than any of the forecasts we had for 2 that year. Correct? 3 A Yes. 4 Q And, and that is exactly what Table 5 AKASR1 in Mr. Arora's surrebuttal testimony 6 shows; is that correct? And if you don't have 7 it, Miss Lobb will give it to you. Mr. Arora's 8 surrebuttal testimony, take a look at page 9. 9 A With one qualification. That the 10 -- he is not looking at forecasts -- well, I was 11 just looking at the 2009 forecast. Yes, I agree 12 that's what his table looks at. 13 Q And Table AKASR1 is an after the 14 fact look at how net fuel cost predictions by the 15 company varied. Correct? That's what it 16 depicts? 17 A That's what it depicts as how their 18 forecasts have changed, yes. 19 Q The variation between those 20 forecasts. Right? 21 A That's correct. 22 Q And what that table demonstrates is 23 that UE has actually experienced quite a bit of 24 uncertainty in its net fuel costs. Hasn't it? 25 A No.</p>	<p style="text-align: right;">Page 72</p> <p>1 that forecast were based upon forward prices that 2 were in place as of November 7th. 3 But in June '08, some of those 4 prices must have been higher than what was 5 forecasted because the net fuel costs dropped 6 significantly. And then he shows July of '08 7 where they went up a little bit, which means that 8 by July of '08, the forward prices for the rest 9 of the year must have been dropping at that time. 10 Q Well, the November '07 forecast 11 that you pointed to for calendar year '08 for net 12 fuel costs, that would also -- wouldn't you 13 expect that would also included whatever hedges 14 for power for 2008 existed in November of '07? 15 A That's, that's correct. 16 Q And by June of '08, a lot more of 17 the '08 power would have been hedged. Right? 18 A It's likely. I don't know that for 19 a fact, but that could have been the case, yes. 20 Q It makes sense it would have been, 21 right? 22 A If they were, if they continued to 23 -- yes. If they continued to hedge, say, a 24 couple months ahead, that would have been the 25 case, yes.</p>
<p style="text-align: right;">Page 71</p> <p>1 Q No. Why not? 2 A As I indicated earlier in my answer 3 to why you get these variations, is because UE 4 uses forward prices, which are highly volatile, 5 as a part of their forecasts of what the -- what 6 the electricity prices will be. 7 So I think what this really 8 reflects is in large part the volatility and 9 forward prices. Particularly when you're within 10 the year when almost all of your -- well, all of 11 your costs are hedged. 12 Q Well, going into the year, almost 13 all the coal costs are hedged as well, right? 14 A That's correct. 15 Q That doesn't really change 16 throughout the year. Right? 17 A That's correct. For example, for 18 2008, he's got a forecast in for November '07. 19 Q Yep. 20 A And what the net fuel costs will 21 be, and then by June of '08, that forecast is 22 dropped. The November '07 forecast was very 23 likely based upon a -- almost all the coal costs 24 being hedged by November of '07 for '08, but the 25 electricity prices that were put into there, into</p>	<p style="text-align: right;">Page 73</p> <p>1 Q And so the June '08 reforecast is 2 going to include hedges, power hedges that have 3 been put on between November '07 and June '08. 4 Right? 5 A That's correct. 6 Q And do you know whether the 7 forecast -- the three forecasts going -- that 8 that occurs throughout a year, do you -- do you 9 realize that that also includes actual fuel costs 10 and off-system sales as of the time of the 11 reforecast? 12 A I would assume that it does, yes. 13 Q All right. 14 A So, for example, in June of -- for 15 example, if the forecast -- depending on when the 16 forecast is done in June of '08, but the -- 17 surely that forecast would include what actually 18 occurred up to that point in time. 19 Q That's right. You agree that 20 that's likely what's done here. Correct? 21 A I think that's likely what's done. 22 You know, weather has an impact on this as well 23 because going into -- at November of '07, you're 24 going to be doing -- basing your forecast on 25 normalized loads, and if weather is different</p>

1 from the normalized, then by the time you get to
2 June, it's going to reflect that.

3 Q So if we take a look at, in
4 November of 2006, the company predicted its net
5 fuel costs for '07 were going to be [REDACTED] million.
6 Right? You see that in Table AKASR1?

7 A I do see that, yes.

8 Q And by December '07 when most of
9 the year is behind them and they know what their
10 fuel costs have been up to then, they know what
11 their off-system sales have been, they've layered
12 in hedges for their power, it turned out that the
13 net fuel costs were forecast for calendar year
14 '07 as of December '07 to be \$ [REDACTED] million, right?

15 A Yes. And as I said before,
16 probably the biggest factor in that difference is
17 the difference between the forward prices that
18 were used in November of '06 and the prices that
19 actually occurred in December of '07.

20 Q But it's pretty likely that the net
21 fuel costs for '07 came out probably fairly close
22 to that \$ [REDACTED] million for '07 since the reforecast
23 was being done in December. Right?

24 A I -- yes.

25 Q And regardless of why the company

1 only forecast [REDACTED] million in November of '06,
2 which is pretty close to the beginning of '07,
3 the fact is the company missed its net fuel cost
4 forecast by quite a bit for '07. Didn't it?

5 A I agree.

6 Q Doesn't that tend to indicate that
7 there is quite a little bit of uncertainty even
8 going into a particular year about what net fuel
9 costs will actually end up being?

10 A Well, it indicates to me that
11 there's a lot of uncertainty around using forward
12 prices for power prices.

13 Q What do you think the company
14 should use?

15 MR. DOTTHEIM: Mr. Lowery, would
16 you let Dr. Proctor finish his response?

17 MR. LOWERY: Sure, Mr. Dottheim, I
18 didn't realize he wasn't finished.

19 A I can't even remember what we were
20 talking about now. But I think I said it's a
21 strong indication that there's a lot of
22 uncertainty in using forward prices as a forecast
23 for what your net fuel costs are going to be in
24 the year coming up.

25 And I do not know exactly how

1 AmerenUE uses their forward price, if they're
2 using it on a specific date or if they're -- if
3 they're looking at those -- what's happening to
4 forward prices in coming up with an estimate
5 based on that -- on, on where those forward
6 prices are trending or tending to go or -- I
7 don't know exactly how they do that.

8 Q (BY MR. LOWERY) Dr. Proctor --
9 were you finished with that answer?

10 A Yes.

11 Q Dr. Proctor, it sounds to me like
12 you have an issue with using forward prices to
13 predict what power prices are going to be in a
14 subsequent period.

15 A Sure. Go ahead.

16 Q That's a -- you agree you do have
17 an issue with that. Right?

18 A I have a concern, yes.

19 Q A concern. Dr. Proctor, what do
20 you -- how do you think the company should
21 forecast what power prices are going to be in the
22 future?

23 I mean, the company has a risk
24 management department, they have training groups.
25 It's my understanding those risk management

1 policies apply to the unregulated generation
2 owned by affiliates of Union Electric Company,
3 the same as they apply to the AM&T training group
4 that trains UE's generation.

5 And it's my understanding that this
6 is how those risk management groups advise
7 management about how it ought to be trying to
8 make money in the off-system sales market, or in
9 the merchant generation market.

10 So if you've got concerns about how
11 Ameren Corporation and UE goes about forecasting
12 those power prices, what's your recommendation?

13 A I have not sat down and -- my, my
14 concern comes from the amount of volatility that
15 I see in forward prices. And in using a measure
16 that's, that's highly volatile, and -- by the
17 way, is a lot more volatile than the actual
18 prices that occur historically over time for
19 average annual levels.

20 I am just expressing a concern. I
21 do not -- I have not studied this, or tried to
22 come up with a recommendation for an alternative.
23 I think in my rebuttal testimony what I said was
24 I would, for purposes of the study that Mr. Arora
25 did, I would look at several different

<p style="text-align: right;">Page 78</p> <p>1 alternative forecasting, um, forecasts that were 2 done and choose the one that had the lowest 3 forecasting error. I don't know what that is. 4 In fact, it may be forward prices. I don't know. 5 But I haven't looked at alternative 6 forecasting methods. So I'm not sure I can 7 answer your question about giving a 8 recommendation to UE about what to use on this. 9 Q Fair enough. But it may be that 10 forward prices is the right, right thing to be 11 looking at for this purpose. You just don't 12 know. Right? 13 A It may be, and it may be that it's 14 not the most current forward price, it might be 15 an average of this week's forward prices or it 16 might be an average of this past month's forward 17 prices or it might be some analysis of those 18 forward prices on which you base the forecast. 19 Q Dr. Proctor, you know, I -- you 20 know probably ten times, a hundred times more 21 about this than I do. But it just seems to me 22 that when you've got -- you got a merchant 23 generating company, Ameren energy generating 24 company sitting over there. It's selling into a 25 power market, it doesn't have captive rate</p>	<p style="text-align: right;">Page 80</p> <p>1 MR. DOTTHEIM: Mr. Lowery, would 2 you please let Dr. Proctor complete his response? 3 A I don't know whether that's the 4 case or not. I don't think we've seen any 5 testimony on that. I don't think the staff has 6 looked into the risk management in the way -- in 7 any great detail how AmerenUE manages its risks, 8 particularly with respect to any forward 9 contracts that they enter into for sales of power 10 from their generating units. 11 I think there's a lot more that 12 goes into it than what just goes into this net 13 fuel forecast. So I have a little bit of 14 disconnect between what you're saying and what 15 I'm looking at on Table AKASR1 on page 9. 16 Q (BY MR. LOWERY) Let's take a look 17 at Table AKASR2 on page 11 of Mr. Arora's 18 surrebuttal testimony. 19 A Yes. 20 Q We don't see as much variability in 21 the forecast as we did in net fuel costs, and 22 that's not surprising. Right? 23 A That's correct. 24 MR. DOTTHEIM: Dr. Proctor, I'm 25 going to object at this point.</p>
<p style="text-align: right;">Page 79</p> <p>1 payers. 2 It's trying to figure out when to 3 put hedges on its power. Do I -- do I contract 4 for a lot of my generation today at this price, 5 do I wait, what kind of product do I sell? All 6 of those decisions that are going to -- that are 7 going to decide whether that company makes money 8 or not, which directly impacts whether Ameren 9 Corporation makes money. 10 It just seems to me that if that 11 company is using risk management policies that 12 use forward prices in the way UE is using them as 13 well, that there must be a good reason for doing 14 it, else they're, I don't know, else they're 15 incompetent or something, because surely, surely 16 they've thought about whether this was a good way 17 to forecast power prices. Doesn't that make 18 sense? 19 A Well, I'm not -- I, I don't know if 20 that's the way the -- the way they do their risk 21 management, and their forecasts and risk 22 management are related to the way they use 23 forward prices to put together this forecast and 24 net fuel costs. I don't know that that's -- 25 Q If you were -- if you were --</p>	<p style="text-align: right;">Page 81</p> <p>1 Mr. Lowery, can you indicate 2 whether you have a great amount of the remainder 3 of the deposition on questions involving the 4 surrebuttal testimony or, or not very much? 5 It's approaching four o'clock and I 6 don't know that I want to lose the RLJ, because 7 if we're going down this road in great detail, I 8 think I'd like to avail ourselves of the 9 opportunity of putting this before the RLJ. 10 MR. LOWERY: I don't think I have 11 very many additional questions about Mr. Arora's 12 surrebuttal testimony at all. 13 MR. DOTTHEIM: Is it limited to 14 this Table AKASR2? Or are we going to go to 15 another table and another testimony in the 16 surrebuttal? 17 MR. LOWERY: Mr. Dottheim, honestly 18 I don't recall exactly, but I don't believe I 19 have a lot of questions about the surrebuttal 20 testimony. 21 MR. DOTTHEIM: Well, why don't you 22 check, because -- 23 MR. LOWERY: Again, I am not -- I, 24 I do not understand -- I understand if I were to 25 ask something that called for advice or ideas and</p>

Page 82	Page 84
<p>1 so on that you may have given Dr. Proctor, I</p> <p>2 certainly understand I'm not entitled to that.</p> <p>3 To answer your question, I don't</p> <p>4 believe I have very many more questions about the</p> <p>5 surrebuttal testimony.</p> <p>6 MR. DOTTHEIM: All right. Well,</p> <p>7 let's, let's continue, then.</p> <p>8 MR. LOWERY: I'll ask the court</p> <p>9 reporter just to read back the last question or</p> <p>10 at least give us an idea of where we were.</p> <p>11 THE REPORTER: "Let's take a look</p> <p>12 at Table AKASR2 on page 11 of Mr. Arora's</p> <p>13 surrebuttal testimony."</p> <p>14 The answer was "Yes."</p> <p>15 "Question: We don't see as much</p> <p>16 variability in the forecast as we did in net fuel</p> <p>17 costs, and that's not surprising. Right?"</p> <p>18 And the answer was "That's</p> <p>19 correct," and then we began the colloquy.</p> <p>20 Q (BY MR. LOWERY) So it's not</p> <p>21 surprising we don't have as much variation, you</p> <p>22 agreed with that, but there's still quite a bit</p> <p>23 of variation in the forecast of fuel and purchase</p> <p>24 power costs and we're ignoring off-system sales?</p> <p>25 A There is variation there, yes.</p>	<p>1 A That's correct.</p> <p>2 Q Dr. Proctor, do you agree there was</p> <p>3 uncertainty in the individual components of net</p> <p>4 fuel cost?</p> <p>5 A Yes.</p> <p>6 Q Uncertainty in gas prices and</p> <p>7 volumes?</p> <p>8 A Yes.</p> <p>9 Q Uncertainty in coal prices?</p> <p>10 A Yes.</p> <p>11 Q Uncertainty in power prices?</p> <p>12 A Yes.</p> <p>13 Q Loads?</p> <p>14 A Yes.</p> <p>15 Q Dr. Proctor, let's turn to your</p> <p>16 rebuttal testimony, your Figure 3. I don't have</p> <p>17 a page reference, but we'll probably both find</p> <p>18 it, it's on page 16.</p> <p>19 A Yes.</p> <p>20 Q Figure 3 on page 16 of your</p> <p>21 rebuttal testimony indicates what you believe to</p> <p>22 be a trend in power prices from 2002 to 2007.</p> <p>23 Right?</p> <p>24 A That's correct.</p> <p>25 Q And you drew that trend line,</p>
Page 83	Page 85
<p>1 Q If we look down at Table AKASR1 and</p> <p>2 look at the range of forecast variation we were</p> <p>3 talking about there and we look at the forecast</p> <p>4 variation, the range of the uncertainty measured</p> <p>5 on Mr. Arora's Table 1 in his direct testimony</p> <p>6 for the going into the test year case, those</p> <p>7 numbers are sort of in the same ballpark.</p> <p>8 Correct?</p> <p>9 A We're on Table AKASR1, you're</p> <p>10 asking --</p> <p>11 Q Look at Table AKASR1 and the</p> <p>12 [REDACTED] and we</p> <p>13 compare it to --</p> <p>14 A Compare that to the [REDACTED] million?</p> <p>15 Q Right.</p> <p>16 A Are those numbers in the same</p> <p>17 ballpark?</p> <p>18 Q That's correct.</p> <p>19 A I don't know what the same ballpark</p> <p>20 is. Those numbers appear to be higher than the</p> <p>21 [REDACTED]</p> <p>22 Q Forecasts were actually varied by</p> <p>23 more than the uncertainty range that Mr. Arora</p> <p>24 found in the 25th to 75th percentile in his 250</p> <p>25 simulations. Right?</p>	<p>1 right?</p> <p>2 A I did.</p> <p>3 Q And to determine the trend line you</p> <p>4 performed a regression on historical average</p> <p>5 electricity prices. Is that right?</p> <p>6 A That's correct.</p> <p>7 Q That regression relies on a</p> <p>8 formula. Correct?</p> <p>9 A Yes.</p> <p>10 Q That formula -- in that formula you</p> <p>11 included a dummy variable for 2005 which allows</p> <p>12 the formula to treat 2005 different than the</p> <p>13 annual average electricity prices that you</p> <p>14 included for the other years. Is that right?</p> <p>15 A That's correct. That's correct.</p> <p>16 Q Including the dummy variable for</p> <p>17 2005 means that the actual data for 2005 did not</p> <p>18 influence the trend line depicted in Figure 3.</p> <p>19 Right?</p> <p>20 A That's correct.</p> <p>21 Q And you've also used a dummy</p> <p>22 variable to exclude 2005 from the determination</p> <p>23 of the uncertainty band that's depicted on</p> <p>24 Schedule 2A to your rebuttal testimony.</p> <p>25 A That's correct.</p>

Page 86	Page 88
<p>1 Q Now, just so I understand, the</p> <p>2 closer the dashed lines are to the solid line in</p> <p>3 Schedule 2A, the less uncertainty and vice versa.</p> <p>4 Correct?</p> <p>5 A Let me -- let me get back to the</p> <p>6 Schedule 2A.</p> <p>7 Q Right.</p> <p>8 A Yes.</p> <p>9 Q Let's just look at the top part on</p> <p>10 Schedule 2A, focus on that one. Coal and power</p> <p>11 prices. Okay?</p> <p>12 A Right. Yes.</p> <p>13 Q Just make sure the record's clear,</p> <p>14 the closer those dashed lines are on each side of</p> <p>15 that solid black line, the less uncertainty</p> <p>16 that's being depicted. Right?</p> <p>17 A That's correct.</p> <p>18 Q Or the less uncertainty that's been</p> <p>19 calculated. Right?</p> <p>20 A That's correct. Well, it's</p> <p>21 uncertainty around the trend line, yes.</p> <p>22 Q Less uncertainty around the trend</p> <p>23 line.</p> <p>24 A Right.</p> <p>25 Q So those dashed lines are closer to</p>	<p>1 A If I had what? I'm sorry.</p> <p>2 Q If you had not subtracted the value</p> <p>3 of the dummy variable from the 2005 actual</p> <p>4 observation --</p> <p>5 A And just put the 2005 observation</p> <p>6 in? Yes, it would have been higher.</p> <p>7 Q The standard deviation would have</p> <p>8 been higher, wouldn't it?</p> <p>9 A That's correct.</p> <p>10 Q Would you be surprised if the</p> <p>11 standard deviation which is a measure of</p> <p>12 uncertainty would have been more than two times</p> <p>13 as high as the number you calculated? Three</p> <p>14 dollars and eighty cents versus \$1.62?</p> <p>15 A I haven't made that calculation,</p> <p>16 but it would be significantly higher. And</p> <p>17 there's a lot of reasons for that.</p> <p>18 Q I understand. Now, while I</p> <p>19 understand that you think using the dummy</p> <p>20 variable was appropriate?</p> <p>21 A Yes.</p> <p>22 Q I understand that that's your</p> <p>23 opinion?</p> <p>24 A Yes.</p> <p>25 Q The fact that uncertainty you</p>
Page 87	Page 89
<p>1 the solid line than they otherwise would be</p> <p>2 because you excluded 2005 for purposes of</p> <p>3 determining the trend line. Right?</p> <p>4 A That's correct.</p> <p>5 Q Had you included the historical</p> <p>6 data for 2005, the uncertainty band on Schedule</p> <p>7 2A would have been wider, would have shown more</p> <p>8 uncertainty. Right?</p> <p>9 A Correct.</p> <p>10 Q Now, let's look at your Table 1</p> <p>11 back on page 16 of your rebuttal testimony.</p> <p>12 A Okay.</p> <p>13 Q I'm correct that the dummy variable</p> <p>14 you used to generate your trend line in Figure 3</p> <p>15 measures the difference between the trend line</p> <p>16 and the actual 2005 prices?</p> <p>17 A That's correct.</p> <p>18 Q In Table 1 what you did was you</p> <p>19 subtracted the value of the dummy variable from</p> <p>20 the actual 2005 observations. Is that right?</p> <p>21 A Yes, that's correct.</p> <p>22 Q And had you not done that, the</p> <p>23 uncertainty that you measured in Table 1, which</p> <p>24 is represented by the standard deviation that you</p> <p>25 list in Table 1, would have been higher. Right?</p>	<p>1 measured in Table 1 and that's depicted in</p> <p>2 Schedule 2A is substantially lower, the fact is</p> <p>3 that the uncertainty that you measured in Table</p> <p>4 1, the \$1.62 standard deviation, and the width of</p> <p>5 that uncertainty band depicted in Schedule 2A,</p> <p>6 they're substantially lower because you used the</p> <p>7 dummy variable to exclude the effect of 2005.</p> <p>8 Right?</p> <p>9 A Right.</p> <p>10 Q Have you drawn a similar Figure 3</p> <p>11 trend picture for coal or gas prices? Have you</p> <p>12 looked at that?</p> <p>13 A No, I have not.</p> <p>14 Q Why not?</p> <p>15 A I don't know. It wasn't -- I mean,</p> <p>16 I did not -- there's a lot of analysis I could</p> <p>17 have done. I guess it just -- I didn't have</p> <p>18 enough time.</p> <p>19 Q Would you anticipate that trends</p> <p>20 for coal and natural gas would look similar to</p> <p>21 the trend that you depict for power in Figure 3?</p> <p>22 A Yes.</p> <p>23 Q Would you also want to exclude 2005</p> <p>24 for coal and natural gas because 2005 was</p> <p>25 unusual?</p>

23 (Pages 86 to 89)

Page 90	Page 92
<p>1 A Yes.</p> <p>2 Q Let's talk some more about the</p> <p>3 deviations of the individual years from the trend</p> <p>4 that you are depicting in your Figure 3.</p> <p>5 A Sure.</p> <p>6 Q You agree, do you not, that actual</p> <p>7 2005 data is quite a bit different from your</p> <p>8 trend?</p> <p>9 A Yes.</p> <p>10 Q Even though you excluded it from</p> <p>11 your analysis, 2005 happened. Right?</p> <p>12 A Correct.</p> <p>13 Q The coal and gas and power prices</p> <p>14 that, that you believe were unusual in 2005, they</p> <p>15 happened. Correct?</p> <p>16 A That's correct. They were --</p> <p>17 Q When UE was planning for 2005</p> <p>18 throughout 2004, could UE have anticipated what</p> <p>19 was going to happen in 2005?</p> <p>20 A I don't think so.</p> <p>21 Q Isn't it a fact that UE actually</p> <p>22 faced uncertainty going into 2005?</p> <p>23 A Sure.</p> <p>24 Q Isn't it a fact that whether or not</p> <p>25 UE could have anticipated the events of 2005, UE</p>	<p>1 A Well, when you say "manage that</p> <p>2 uncertainty," what do you mean?</p> <p>3 Q How about if I say to address the</p> <p>4 uncertainty?</p> <p>5 A Well, there's no -- let me answer</p> <p>6 it by saying there's no mechanism by which if</p> <p>7 things turn out differently than what are in</p> <p>8 rates, that the -- either the rate payer can be</p> <p>9 paid back the difference or that the company can</p> <p>10 receive the difference.</p> <p>11 Q The utility is facing a lot of</p> <p>12 uncertainty going into each year which means its</p> <p>13 net fuel costs may be a lot higher or a lot lower</p> <p>14 which is going to affect its earnings, and that</p> <p>15 could be good for utilities, could be good for</p> <p>16 rate payers; but without a fuel adjustment</p> <p>17 clause, somebody's going to win and somebody's</p> <p>18 going to lose in that year. Right?</p> <p>19 A There are risks on both sides, yes.</p> <p>20 I don't know if somebody's going to win or</p> <p>21 somebody's going to lose, but there are a lot of</p> <p>22 -- there are risks on both sides for the rate</p> <p>23 payer and for the company.</p> <p>24 Q And a fuel adjustment clause</p> <p>25 mitigates those risks for both sides, true?</p>
Page 91	Page 93
<p>1 had no mechanism in place that would adjust its</p> <p>2 rates either up or down due to uncertainty that</p> <p>3 it was facing going into 2005 and that it</p> <p>4 couldn't control during 2005?</p> <p>5 A Are you saying that they didn't</p> <p>6 have a fuel adjustment clause?</p> <p>7 Q Or any other mechanism. Right?</p> <p>8 A Yeah, except 2005 turned out to be</p> <p>9 one of the best years for them to hedge their</p> <p>10 coal costs because the power prices went up.</p> <p>11 They didn't need -- they would have had to return</p> <p>12 dollars to rate payers had they had a mechanism</p> <p>13 in place.</p> <p>14 Q So a fuel adjustment clause would</p> <p>15 have worked in the rate payers' favor at that</p> <p>16 time, right?</p> <p>17 A Yes.</p> <p>18 Q But going into a particular year if</p> <p>19 you don't have a mechanism, a fuel adjustment</p> <p>20 clause, for example, then if the uncertainty you</p> <p>21 face going into that year causes actual results</p> <p>22 to vary a lot from what you expected, whether</p> <p>23 it's in the utility's favor or not in the</p> <p>24 utility's favor, there's no way to adjust rates</p> <p>25 to manage that uncertainty, is there?</p>	<p>1 A Depends on how the fuel adjustment</p> <p>2 clause is constructed, but generally that's the</p> <p>3 way that you would put together a fuel adjustment</p> <p>4 clause is to balance that between rate payers and</p> <p>5 shareholders.</p> <p>6 Q If you had a fuel adjustment clause</p> <p>7 with either no sharing or symmetric sharing, you</p> <p>8 would balance that between the utility and the</p> <p>9 rate payers, that risk, wouldn't you?</p> <p>10 A Yes. When you say no -- I just --</p> <p>11 you said no sharing or -- no sharing meaning</p> <p>12 what?</p> <p>13 Q Well, a full pass-through of</p> <p>14 whatever's being tracked in the fuel adjustment</p> <p>15 clause. Net fuel costs in this case.</p> <p>16 A Well, that -- yeah. I just wasn't</p> <p>17 real clear on what those concepts were.</p> <p>18 Q Sure. If you had a fuel adjustment</p> <p>19 clause that just passed through changes in net</p> <p>20 fuel costs, then the risk that the actual results</p> <p>21 turn out different from what might have been</p> <p>22 expected because of all this uncertainty you face</p> <p>23 going into a year would be mitigated for both</p> <p>24 sides. Right?</p> <p>25 A Yeah, if you're wanting to balance</p>

Page 94	Page 96
<p>1 the risk for both sides, the starting point is 2 critical. 3 Q In other words, what the base 4 amount is critical. 5 A That's correct. 6 Q But if you choose a reasonable base 7 amount, then you've balanced the risk for both 8 sides and you have a fuel adjustment clause with 9 no sharing, haven't you? 10 A That's -- yeah, if you're talking 11 about straight flow through. If net fuel costs 12 go up, the company gets to raise its rates to 13 collect that. If they go down, then dollars are 14 refunded to customers or rates are lowered, I 15 should say. Rates are lowered. 16 Q Right. Rates are lowered which is 17 -- amounts to the same thing. It's not a refund, 18 but customers pay less for their electricity. 19 A Right. 20 Q And we talked about you expect that 21 very well might have happened in 2005 had there 22 been a fuel adjustment clause of the type we're 23 talking about in place? 24 A That's correct. 25 Q So, Dr. Proctor, in your last -- in</p>	<p>1 MR. LOWERY: And what is the 2 Exhibit No? MP1? 3 (Exhibit MP1 marked for 4 identification by the court reporter.) 5 Q (BY MR. LOWERY) Miss Lobb has 6 handed you Deposition Exhibit MP1. Do you 7 recognize that, Dr. Proctor? 8 A Yes. 9 Q Is that your Schedule 2.1 from your 10 ER-2007-002 direct testimony? 11 A It is from the direct testimony. 12 Yes. 13 Q Now, in the analyses that you did 14 that generated the trend line, the data that's 15 shown in Schedule 2.1, you did not exclude 2005 16 data as an outlier, did you? 17 A I don't believe I did. But this -- 18 Q I'm sorry to interrupt you, but on 19 that question, you did not exclude 2005 when you 20 did the analyses that led to Schedule 2.1. I 21 mean, I just want to make sure I understand yes 22 or no to that. 23 A Yes, but this is different, if my 24 recollection is that this is twelve month moving 25 average data. It's not annual average data.</p>
Page 95	Page 97
<p>1 your case No. ER-2007-002 rate case testimony, 2 and you know that's the last UE rate case, right? 3 That case number? 4 A Yes. 5 Q You also analyzed trends and 6 correlations of power and fuel costs. Correct? 7 A Correct. 8 Q You depicted an analysis of trends 9 and correlations of power and fuel costs in 10 Schedule 2.1 to your 2007 rate case direct 11 testimony. Did you not? 12 A Don't have that in front of me. 13 Q Well, Miss Lobb will give it to 14 you. How about that? 15 A Okay. 16 MS. LOBB: Can you mark that? 17 Please? 18 MR. LOWERY: And I'm looking at 19 Schedule 2.1, I might have mentioned that. 20 MS. LOBB: Do you want me to hand 21 him his testimony or just the -- 22 MR. LOWERY: Well, Dr. Proctor, 23 she's going to hand you and have the court 24 reporter mark it as an exhibit. 25 MS. LOBB: Yes. I am. She is.</p>	<p>1 Average annual coal price data. 2 Q I understand. But the 2005 data is 3 in this data that generated Schedule 2.1, right? 4 A I'm trying to remember how -- 5 MR. LOWERY: Dr. Proctor, maybe I 6 can help you. Miss Lobb, would you have the 7 court reporter mark Dr. Proctor's work paper, the 8 MP coal dispatch prices spreadsheet? 9 MS. LOBB: Yeah. 10 (Exhibit MP2 marked for 11 identification by the court reporter.) 12 A I'm trying to recall how far into 13 2005 this data went. I know it didn't go all the 14 way to the end of 2005. 15 Q (BY MR. LOWERY) Dr. Proctor, do 16 you have I believe what would be Deposition 17 Exhibit MP2? 18 A Right. Yeah. 19 Q Do you recognize that as a work 20 paper that you provided from your -- from your 21 ER-2007-002 direct testimony? 22 A Yes. 23 Q And that's the data that underlies 24 Schedule 2.1; is that correct? 25 A Yeah, looks like it goes through</p>

25 (Pages 94 to 97)

Page 98	Page 100
<p>1 September '06.</p> <p>2 Q So data for every month of 2005 is</p> <p>3 included in the analysis that generated what's</p> <p>4 depicted on Schedule 2.1. Correct?</p> <p>5 A Yes. That's correct.</p> <p>6 Q Now, if you had excluded 2005 from</p> <p>7 your analysis back in that -- in, in that rate</p> <p>8 case, you would have found a different</p> <p>9 relationship than is depicted on Schedule 2.1.</p> <p>10 Correct?</p> <p>11 A It's two completely different types</p> <p>12 of analyses. You're making a comparison between</p> <p>13 an analysis of twelve month moving average data</p> <p>14 versus looking at average annual prices. I don't</p> <p>15 -- I don't know how in this particular analysis</p> <p>16 you could exclude the data from 2005.</p> <p>17 MR. DOTTHEIM: Dr. Proctor, excuse</p> <p>18 me, you said "in this particular analysis."</p> <p>19 Could you clarify in what analysis you were</p> <p>20 referring to?</p> <p>21 THE WITNESS: Yeah, the one that</p> <p>22 was done in my direct testimony in the last UE</p> <p>23 rate case.</p> <p>24 Q (BY MR. LOWERY) I understand. Let</p> <p>25 me just -- so maybe we can short circuit this.</p>	<p>1 coal dispatch prices on the X axis --</p> <p>2 MR. DOTTHEIM: Dr. Proctor, when</p> <p>3 you said "this one," could you clarify what</p> <p>4 document you're referring to when you said "this</p> <p>5 one"?</p> <p>6 THE WITNESS: Yeah, Schedule 2.1 in</p> <p>7 my direct testimony is a, an analysis of</p> <p>8 correlation between off-peak prices to coal</p> <p>9 dispatch prices. It's not a trend analysis.</p> <p>10 Q (BY MR. LOWERY) Dr. Proctor, can I</p> <p>11 direct your attention to Schedule 2A to your</p> <p>12 rebuttal testimony in the current rate case?</p> <p>13 A Yes.</p> <p>14 Q The top graph on 2A?</p> <p>15 A Yes.</p> <p>16 Q Correlation of off-peak electric</p> <p>17 prices to coal dispatch prices. Correct?</p> <p>18 A Correct.</p> <p>19 Q 2A, Deposition Exhibit MP1 from</p> <p>20 ER-2007-002, is also a correlation of off-peak</p> <p>21 prices to coal dispatch prices. Correct?</p> <p>22 A Correct.</p> <p>23 Q You are looking at the same</p> <p>24 variables, are you not?</p> <p>25 A No.</p>
Page 99	Page 101
<p>1 You obviously believed including 2005 data in the</p> <p>2 last rate case was the appropriate thing to do</p> <p>3 for purposes of what you were doing. Right?</p> <p>4 A That's correct.</p> <p>5 Q And you obviously believe that</p> <p>6 excluding the 2005 data was the right thing to do</p> <p>7 in this rate case for what you were -- for the</p> <p>8 purpose for what you were doing. Right?</p> <p>9 A That's correct.</p> <p>10 Q Okay. So we can agree on what you</p> <p>11 thought was appropriate. Is that fair?</p> <p>12 A Okay.</p> <p>13 Q Now, the slope of your line from</p> <p>14 the last case as depicted on Schedule 2.1, it's</p> <p>15 quite a bit steeper than the slope you calculated</p> <p>16 for this case as shown on the top chart on</p> <p>17 Schedule 2A to your rebuttal testimony. Is it</p> <p>18 not?</p> <p>19 A I -- first of all, the analysis on</p> <p>20 Schedule 2.1 is not a trend line. Okay? It's a</p> <p>21 correlation of off-peak prices to coal dispatch</p> <p>22 prices. So you can't compare slopes. No,</p> <p>23 they're not comparable.</p> <p>24 I mean, one -- on one you have a</p> <p>25 time axis, the dates. On this one you've got a</p>	<p>1 Q You've got coal dispatch prices</p> <p>2 along one axis of both of these charts, do you</p> <p>3 not?</p> <p>4 A Yes.</p> <p>5 Q You've got off-peak prices along</p> <p>6 the other axis on both of these charts, do you</p> <p>7 not?</p> <p>8 A I do. But it's not -- they're not</p> <p>9 the same variables. One, and I mentioned this</p> <p>10 before, one is a twelve month moving average and</p> <p>11 the other is an annual average.</p> <p>12 Q There are two different ways of</p> <p>13 looking at the correlation. Correct?</p> <p>14 A Yes.</p> <p>15 Q But they are looking at the</p> <p>16 correlation between the same two commodities, are</p> <p>17 they not?</p> <p>18 A Yes.</p> <p>19 Q And the slope of your line in the</p> <p>20 last case is quite a bit steeper than the slope</p> <p>21 of the line on Schedule 2A in this case?</p> <p>22 A And I would expect it to be.</p> <p>23 Q And that's true, though. Correct?</p> <p>24 A Yeah, but you're comparing oranges</p> <p>25 and apples.</p>

Page 102	Page 104
<p>1 Q Well, you -- that's fine. But --</p> <p>2 that's fine that you have that opinion, but I</p> <p>3 asked a -- I think I asked a fairly simple</p> <p>4 question, and that's whether the slope -- the</p> <p>5 line in the last case is quite a bit steeper than</p> <p>6 the line in this case, and your answer was yes.</p> <p>7 Correct?</p> <p>8 A That's correct.</p> <p>9 Q Just to dumb it down for dummies</p> <p>10 like me, if I look at Schedule 2.1 in the last</p> <p>11 case and I look at a price of \$1.40 for MMBTU for</p> <p>12 coal, I'm going to get a power price of about</p> <p>13 \$31?</p> <p>14 A Yes.</p> <p>15 Q And at 1.70 I'm getting a power</p> <p>16 price of about thirty-four. Right?</p> <p>17 A Yes.</p> <p>18 Q And if I look at Schedule 2.1A in</p> <p>19 your rebuttal testimony in this case, power price</p> <p>20 for that same \$1.40 coal cost is about 22 or \$23;</p> <p>21 and at \$1.70, power price is about twenty-five.</p> <p>22 Right?</p> <p>23 A At \$1.40 coal dispatch price, the</p> <p>24 off-peak electric price is around -- on Schedule</p> <p>25 2.1?</p>	<p>1 conclusion in comparing two different types --</p> <p>2 two different types of data.</p> <p>3 And as you pointed out, the data on</p> <p>4 Schedule 2.1 has the 2005 prices in it. And it's</p> <p>5 based on a twelve month moving average and it is</p> <p>6 going to result in higher prices because of that.</p> <p>7 Q All right. Now, those higher</p> <p>8 prices in Schedule 2.1 in the last rate case,</p> <p>9 Exhibit MP1, Deposition Exhibit MP1, those higher</p> <p>10 prices resulted in higher off-system sales</p> <p>11 margins calculated in the last rate case which in</p> <p>12 turn led to a lower revenue requirement</p> <p>13 recommendation for the staff in that case.</p> <p>14 Right?</p> <p>15 A I am sorry, you made a big jump</p> <p>16 there.</p> <p>17 Q Okay.</p> <p>18 A And I'm not following the logic.</p> <p>19 Q Well, including the 2005 prices,</p> <p>20 that twelve month moving average, calculating</p> <p>21 prices in that fashion resulted in a higher power</p> <p>22 price than if you had excluded 2005 power prices.</p> <p>23 Right?</p> <p>24 A I am -- we did not base our</p> <p>25 recommendation for off-peak prices in that case</p>
Page 103	Page 105
<p>1 Q Yeah.</p> <p>2 A What did you say the off-peak price</p> <p>3 was?</p> <p>4 Q Twenty-two or twenty-three.</p> <p>5 A I don't think so. I think it's</p> <p>6 around thirty-two. Or thirty-three.</p> <p>7 Q On Schedule 2A in this rate case?</p> <p>8 A Oh, I -- no. I said Schedule 2.1.</p> <p>9 Q I'm sorry. The numbers are too</p> <p>10 close.</p> <p>11 A Yeah.</p> <p>12 Q Schedule 2A in your rebuttal</p> <p>13 testimony in this case.</p> <p>14 A Yes.</p> <p>15 Q About 22, \$23, right?</p> <p>16 A Yes, that is correct.</p> <p>17 Q And at \$1.70, about \$25. Right?</p> <p>18 A That's correct.</p> <p>19 Q So the relationship between coal</p> <p>20 prices and power prices, if you look at these two</p> <p>21 correlations, has changed substantially since the</p> <p>22 last rate case; is that right?</p> <p>23 A No, you're -- and I've told you</p> <p>24 before you're looking at two different sets of --</p> <p>25 two different types of data in trying to reach a</p>	<p>1 based on 2005 prices.</p> <p>2 Q I'm aware you didn't. You used a</p> <p>3 multi-year period. Did you not?</p> <p>4 A No.</p> <p>5 Q Well, what did you do?</p> <p>6 A What we did was we plotted how</p> <p>7 off-peak prices had been changing over time, and</p> <p>8 my recollection was that there was a significant</p> <p>9 increase in those prices in 2005. As we came</p> <p>10 into 2006, those prices dropped and were lower.</p> <p>11 And that what we had -- what we</p> <p>12 went with was where the prices were trending to</p> <p>13 at the end of the test year, and I believe that</p> <p>14 was September. We did not base prices in that</p> <p>15 case on 2005 prices.</p> <p>16 Q When you say you ended up where</p> <p>17 they were trending to, you were -- you were</p> <p>18 calculating a twelve month moving average, and</p> <p>19 because the prices were coming down in 2006, you</p> <p>20 would add a lower cost month and replace a higher</p> <p>21 cost month, twelve month moving average, right?</p> <p>22 A Yes, and we trued up to the end of</p> <p>23 the period is my recollection. We -- and I'm</p> <p>24 trying to recall whether -- I think we did get</p> <p>25 December of 2006 in our true up. And so the</p>

27 (Pages 102 to 105)

Page 106	Page 108
<p>1 twelve month moving average would have had none 2 of the prices from 2005 in it.</p> <p>3 Q Is it your testimony today that the 4 power price used in staff's model and the 5 production cost model in the last case upon which 6 staff based its off-system sales recommendation 7 did not include any 2005 power price data; is 8 that your testimony?</p> <p>9 A That's my recollection. I would 10 have to go back and check what we put into 11 surrebuttal to confirm that. But that's my 12 recollection, yes.</p> <p>13 Q Give me just a minute, Dr. Proctor, 14 please.</p> <p>15 A Yes.</p> <p>16 Q You believe that's in your 17 surrebuttal testimony?</p> <p>18 A I'd have to go back and check the 19 work papers from the surrebuttal testimony, but I 20 believe that's what we did for the true up. And 21 I can't recall right now whether we completed the 22 true up before surrebuttal or after. So it may 23 or may not be in the surrebuttal testimony.</p> <p>24 Q Just to clarify again, your 25 recollection at least as you sit here today is</p>	<p>1 off-peak or on-peak prices, Schedule 2A and 2 Schedule 2B, whether or not those have been 3 correlated under, under normal conditions.</p> <p>4 What happened in 2005 was we had 5 supply disruptions from problems with Powder 6 River Basin train deliveries, and we had two 7 hurricanes that impacted -- disrupted the supply 8 of natural gas.</p> <p>9 Q Right.</p> <p>10 A And those unusual events, there's 11 no question they did occur, and -- but the 12 analysis here is to come up with what is a -- is 13 a typical correlation between these prices and, 14 and the natural gas and coal prices. That was --</p> <p>15 Q Why wouldn't you want to look at a 16 typical correlation in the last rate case? I 17 think what you just indicated to me is that the 18 correlation you calculated in the last rate case 19 was atypical because it had this atypical 2005 20 data in it.</p> <p>21 A Right.</p> <p>22 Q And you want to look at a typical 23 correlation now. My question is why are you 24 looking at an atypical correlation in the last 25 rate case?</p>
Page 107	Page 109
<p>1 that the energy price for off-system sales used 2 in staff modeling that underlied your, I believe 3 it was approximately [REDACTED] million off-system sale 4 margin number in the last case was the end point 5 of twelve month moving average power prices for 6 2006?</p> <p>7 A '6. That's my recollection. 8 Again, I'd have to go back and check that.</p> <p>9 Q Okay.</p> <p>10 A I'm not sure whether we had 11 December -- what I can't recall is I know we had 12 through -- well, I think we had through November, 13 and I don't recall whether we had December prices 14 in at the time we did the true up. But that's my 15 recollection.</p> <p>16 Q Dr. Proctor, can you explain to me 17 again, and forgive me if you already have, but 18 why when looking at the correlation of off-peak 19 power to coal dispatch prices for this case you 20 excluded 2005 data, but when looking at that same 21 correlation in the last case you included 2005 22 data?</p> <p>23 A Okay. In this particular case, 24 what you're trying to determine is generally 25 whether or not coal dispatch prices and either</p>	<p>1 A Well, there are a couple of reasons 2 for that, but, but one is we had put together an 3 analysis of how coal prices were related to 4 off-peak prices for electricity, and we -- the 5 focus there was on when we put the model together 6 with our coal dispatch prices and with the 7 off-peak prices, were, were they going to match.</p> <p>8 Were they going to correspond to 9 one another with the best information that we had 10 available at this time. And we had data from, I 11 believe the earliest was 2003 through, it appears 12 from this schedule was around September of 2006.</p> <p>13 Q You're looking at Exhibit MP2, 14 right?</p> <p>15 A Yes. Right. And what we were 16 trying -- the purpose for this correlation in 17 this particular analysis was --</p> <p>18 Q When you say "this," you need to 19 clarify for the record. What, what's "this"?</p> <p>20 A I'm sorry. The purpose of the 21 analysis in the previous rate case was to make 22 sure that what we were putting into the model was 23 matching the dispatch prices, the coal dispatch 24 prices with, with the electric prices that we 25 were putting in there. Putting into that. That</p>

28 (Pages 106 to 109)

Page 110	Page 112
<p>1 was the purpose.</p> <p>2 So whatever, whatever prices that</p> <p>3 we were putting in there -- and by the way, we</p> <p>4 didn't put in off-peak prices that were up at the</p> <p>5 \$[REDACTED] range in this. I think we were much closer</p> <p>6 to the middle of [REDACTED] and \$[REDACTED]. We wanted to make</p> <p>7 sure that those corresponded when we ran the fuel</p> <p>8 model. Okay?</p> <p>9 What schedule 2A is addressing --</p> <p>10 Q Now we're back in this case.</p> <p>11 Right?</p> <p>12 A Yes. What Schedule 2A in this case</p> <p>13 is addressing is from, from the data that --</p> <p>14 these average annual prices, is there correlation</p> <p>15 between the coal dispatch prices and the off-peak</p> <p>16 electric prices.</p> <p>17 Now, let me say the data in</p> <p>18 Schedule 2A for this case came from Ajay Arora's</p> <p>19 direct testimony. I did not go in and look at</p> <p>20 that, how he defined off-peak, or how he defined</p> <p>21 on-peak.</p> <p>22 We may have different definitions</p> <p>23 of those things between the two. In fact, I</p> <p>24 think we did. What he was calling off -- well.</p> <p>25 I believe what he was calling off-peak for the</p>	<p>1 A That's correct.</p> <p>2 Q -- as we talked about before, it</p> <p>3 actually happened. Katrina happened and coal</p> <p>4 supply disruptions happened. Right?</p> <p>5 A Yes. That's correct.</p> <p>6 Q And both those things could happen</p> <p>7 again. Couldn't they?</p> <p>8 A They could. One of the problems in</p> <p>9 this type of analysis is how likely are they to</p> <p>10 happen.</p> <p>11 Q And probably none of us know, do</p> <p>12 we?</p> <p>13 A Well, if you're going to include</p> <p>14 them in your analysis of uncertainty, you have to</p> <p>15 make a determination of that. I would have put</p> <p>16 it into what I would call forecast uncertainty.</p> <p>17 Q But when you exclude them, you get</p> <p>18 less forecast uncertainty, correct?</p> <p>19 A I didn't say I would exclude them</p> <p>20 from forecast uncertainty. And it depends upon</p> <p>21 what type of forecast uncertainty you're dealing</p> <p>22 with. Is it a month ahead for the next year? Or</p> <p>23 is it a year ahead? Or is it two years ahead?</p> <p>24 And you have to evaluate this</p> <p>25 particular occurrence that occurred once in nine</p>
Page 111	Page 113
<p>1 data that he had in his table on this particular</p> <p>2 question of correlation may have, and I don't</p> <p>3 know for certain, but may have only included the</p> <p>4 hours from 11 p.m. until 6 a.m. in the morning</p> <p>5 seven days a week.</p> <p>6 The off-peak prices is defined in</p> <p>7 Schedule 1 -- 2.1 from the previous case dealt</p> <p>8 with a definition of off-peak electric prices</p> <p>9 that also included all of Saturday and all of</p> <p>10 Sunday. And when you include the on-peak hours</p> <p>11 from Saturday and Sunday, you're going to</p> <p>12 increase the average price level.</p> <p>13 So I don't -- these, these were two</p> <p>14 different sets of data and they were put together</p> <p>15 for two different purposes. So I -- that's the</p> <p>16 only way I know how to answer your question at</p> <p>17 this point. I don't think the data is the same</p> <p>18 and the analysis was done for different purposes.</p> <p>19 What the analysis on Schedule 2A</p> <p>20 was, was to show that if you excluded this very</p> <p>21 -- this year in which there were significant</p> <p>22 supply interruptions, that the coal dis -- that</p> <p>23 the average annual prices that occurred are</p> <p>24 highly correlated.</p> <p>25 Q The unusual year of 2005 --</p>	<p>1 years historically. Maybe you put that level of</p> <p>2 probability on it.</p> <p>3 Q So by excluding it, there's no</p> <p>4 probability on it at all. Right?</p> <p>5 A By excluding it from what? I'm</p> <p>6 sorry.</p> <p>7 Q By excluding it from the</p> <p>8 calculations that showed the uncertainty range on</p> <p>9 your Schedule 2A in your rebuttal testimony in</p> <p>10 this case.</p> <p>11 A I'm sorry, Schedule 2A doesn't have</p> <p>12 to do with uncertainty. It has to do with</p> <p>13 correlation.</p> <p>14 Q The dashed lines depict uncertainty</p> <p>15 around your trend line, don't they?</p> <p>16 A Yes, they do.</p> <p>17 Q And the range of uncertainty around</p> <p>18 that trend line would have been substantially</p> <p>19 higher if you had included 2005. Right?</p> <p>20 A What the dashed lines represent is</p> <p>21 plus or minus one standard deviation around the</p> <p>22 trend line for the points that were included in</p> <p>23 the calculation of that trend line.</p> <p>24 Q Let's talk some more about your</p> <p>25 trend line in Figure 3. The trend shown in</p>

Page 114	Page 116
<p>1 Figure 3 of your current rebuttal testimony, that 2 trend did not apply before 2002. Right? 3 A Excuse me, I need to catch up with 4 you. 5 Q Sorry. 6 A Would you ask the question again? 7 Q Sure. Figure 3, page 16 of your 8 rebuttal in this case, the trend that you have 9 drawn in Figure 3, that trend did not apply 10 before 2002. Correct? 11 A That's correct. 12 Q And prior to 2003, the trend was 13 flat or down. Is that fair to say? 14 A Yes. 15 Q If we were back in time in 2002 16 today and you looked at the historic data prior 17 to 2002, what you would have seen, you would have 18 seen the flat or downward trend. Right? 19 A Yes. 20 Q Would you have been able to 21 anticipate in 2002 that a new trend would have 22 started in 2002? 23 A No. And that's not the purpose of 24 this analysis. 25 MR. LOWERY: Miss Lobb, would you</p>	<p>1 generation from 3/31/05 through the end of 2 September 2008. 3 A Okay. 4 Q You can see the spike in 2005 in 5 those LMPs. Right? 6 A Yes. 7 Q And you can see starting in about 8 late May 2008 a pretty noticeable jump up in LMPs 9 that has fallen off considerably when we get down 10 to August and September of 2008. Right? 11 A Yes. 12 Q If we look across the rest of that 13 data, we don't see really any other -- we see one 14 other spike there in the 8/13/2006, we see one 15 other one there, but the data is fairly, fairly 16 level across that period, is it not? 17 A Across which period? 18 Q The period depicted on this figure. 19 A I see a lot of variation. I'm 20 sorry, I'm not following the question. I see a 21 lot of variation in the data, but I think you're 22 -- I'm not sure what you're asking. Across this 23 whole figure I see a lot of variation in the 24 data. 25 Q Would you agree we've seen some</p>
Page 115	Page 117
<p>1 hand Dr. Proctor Mr. Schukar's rebuttal 2 testimony? 3 Q (BY MR. LOWERY) Would you turn to 4 page 6 of Mr. Schukar's rebuttal testimony, Dr. 5 Proctor? 6 A Yes. I am there. 7 Q The figure on page 6 depicts those 8 unusually high prices in the second half of 2005, 9 doesn't it? 10 A Yes. 11 Q And that's -- that looks pretty 12 similar to several months of unusually high 13 market prices we've seen in 2008, does it not? 14 A I don't know. 15 Q You don't know. 16 A No. This is -- I'm not sure what 17 this data is. I have not read Mr. Schukar's 18 testimony. 19 Q Well, let me ask you this. If we 20 assume that this data are the hourly weighted 21 LMPs, weighted being weighted by UE generating 22 plants. 23 A Yes. 24 Q We assume that this data shows the 25 hourly weighted LMPs for Union Electric Company's</p>	<p>1 arguably unusual events in 2008? 2 A I don't know what they are. 3 Q How about the big run up in coal 4 prices that was due at least in part in 5 disruptions in coal supply in China and 6 Australia? Was that unusual? 7 A I don't know. I wasn't aware of 8 those. 9 Q Were you aware that the Clean Air 10 Interstate Rule was vacated by the federal courts 11 this summer, summer of '08? 12 A Yes. 13 Q Was that a pretty important event 14 in the electric industry? 15 A I'm not an expert in that area. I 16 don't know whether it was or not. 17 Q Was oil shooting up to \$145 a 18 barrel and back down to \$60 a barrel, is that 19 unusual? 20 A I think the fact that it came down 21 from 160 was not expected. 22 Q From 145 or -- maybe it was 160. I 23 thought it got up to about 145, but. 24 A I don't think people expected it to 25 drop that fast, no. If that's the question. But</p>

30 (Pages 114 to 117)

Page 118	Page 120
<p>1 that's -- you know, I'm still kinda searching for 2 the unusual event. I mean, when I talk about 3 unusual events, I'm talking about things that 4 cause the occurrence of these things. 5 Q You don't think the spike up in 6 power prices in June and July of this year and 7 the quick fall off after that to where they are 8 now, you don't think that's unusual? 9 A Yes, we did. 10 Q You do think that's unusual? 11 A Yes. And the staff modified on its 12 true up the prices for June and July. Because 13 they saw those as unusual and too high. 14 Q In late 2007 when UE was planning 15 for 2008, the uncertainties and the events that 16 have occurred in 2008, those are the kinds of 17 uncertainties UE faced, right? 18 A Yes. 19 Q I mean, do unusual years happen? I 20 mean, every year is not a normal, usual year, is 21 it? 22 A Of course not. That's what you're 23 trying to capture with, to some degree, with 24 these uncertainty things, is if every year was 25 the same, we wouldn't be concerned with this</p>	<p>1 surprised if they came down. I don't know by how 2 much. And I don't know if that's considerable or 3 not. 4 Q Do you agree, Dr. Proctor, that UE 5 can, as a practical matter, hedge a lot more of 6 its coal purchases farther into the future than 7 it can do for off-system sales volumes? 8 A I know they do, and one of the 9 reasons is because of load uncertainty. They 10 don't want -- they don't want to hedge too much 11 in sales going forward because they may need the 12 generation to meet their load. And that 13 generation may not be available there to meet 14 their obligations under the hedge. 15 Q Which is why I say as a practical 16 matter, UE can hedge a lot more of its coal 17 further into the future than it can its 18 off-system sales. 19 A Sure. Right. Because they know -- 20 Q You agree with that, right? 21 A I would agree with that, yes. 22 Q And the reason is the reason you 23 gave, there's native load uncertainty and UE's 24 got to make sure that it's got generations that 25 can show up, so to speak, to serve that load if</p>
Page 119	Page 121
<p>1 issue. 2 Q If unusual things -- if unusual 3 years do occur, the net fuel cost could be 4 substantially lower or higher than UE thought 5 they were going to be going into that year, 6 right? 7 A They could be higher or lower. 8 Q Right. 9 A The problem is using the word 10 "substantially," I don't believe we have a good 11 measure yet of whether or not there is 12 substantial variation there. 13 Q You're aware that oil, natural gas, 14 and power prices have greatly decreased since 15 July of this year? 16 A Yes. 17 Q Are you aware that the forward 18 energy prices for 2009 and 2010 have also dropped 19 substantially? 20 A I haven't looked at forward prices 21 for 2009, 2010. It wouldn't surprise me. 22 Q Makes sense they probably have come 23 down considerably, right? 24 A Again, you use the adjective 25 "considerably." I'm not -- I, I wouldn't be</p>	<p>1 the load varies. Right? 2 A That's, that's correct. And any 3 hedge they enter into has to be met -- well. In 4 order for it to be a hedge, it has to be met from 5 generations that they will have available to sell 6 into the market. 7 Q Staff is of the view that UE's coal 8 costs are pretty well known in 2009, and while 9 not as well known, substantially known for 2010. 10 Right? 11 A Yes. 12 Q And you may not know -- pardon me? 13 A I don't know the exact percentages 14 for 2010. I think for 2009, we're probably at 15 [REDACTED] percent. 16 Q And the costs are substantially 17 known in 2010, that's your understanding, is it 18 not? 19 A Again, I don't know the exact 20 percentages, but a significant amount of coal has 21 already been purchased for 2010, yes. 22 Q Which means we know what the cost 23 is going to be. 24 A Yes. 25 Q UE and staff both agree that on a</p>

31 (Pages 118 to 121)

Page 122	Page 124
<p>1 normalized basis, about 40 million megawatt hours 2 of generation each year comes from UE's coal 3 plants; is that right? 4 A Yes. That's right. 5 Q And we talked about earlier that UE 6 normally sells about 10 million megawatt hours of 7 off-system sales volumes; right? 8 A Yes. 9 Q Agree that UE generates about four 10 times more power from its coal plants than it 11 sells off-system? 12 A Yes. 13 Q Would you then agree that on a per 14 megawatt hour basis, assuming volume has remained 15 constant, if the delivered cost of coal goes up a 16 dollar, the realized power price on off-system 17 sales has to go up \$4 in order for the increased 18 power sales to offset the \$1 increase in 19 delivered coal costs? And I'm looking at both of 20 those on a per megawatt basis. 21 A That's correct. 22 Q Now, if Mr. Neff currently predicts 23 a [REDACTED] percent increase in delivered coal costs in 24 2010 over '09 -- and by the way, do you have any 25 reason to believe that Mr. Neff's prediction is</p>	<p>1 Q I want you to assume that. 2 A Yes. 3 Q And I want you to also assume that 4 in 2010, UE's coal costs are going up about [REDACTED] 5 percent. Okay? Mr. Neff says. Do you have that 6 assumption in mind? 7 A Yes. 8 Q That would represent a \$ [REDACTED] per 9 megawatt hour increase in delivered coal costs in 10 '10 over '09. Is that right? 11 A You're pushing me to make -- 12 Q I think Miss Lobb has a calculator 13 if you'd like to borrow it. 14 A No, I have a calculator. I'm going 15 to do that. Yep, \$ [REDACTED] rounded. 16 Q And a \$ [REDACTED] increase per megawatt 17 year to year doesn't sound all that unreasonable 18 or unexpected to you; is that fair to say? 19 A Sounds pretty high. But go ahead. 20 Q Really. Are you familiar with the 21 coal cost increases UE has been experiencing year 22 to year the last few years? 23 A I haven't looked at that. [REDACTED] 24 percent sounds fairly steep though. 25 Q Well, based on the assumption that</p>
Page 123	Page 125
<p>1 substantially off? 2 A I have -- I didn't even know he had 3 a prediction. 4 Q Well, given that -- given that a 5 significant amount of the coal is hedged in 2010, 6 it seems reasonable that Mr. Neff could probably 7 do a pretty good job predicting what the 2010 8 increase in coal cost is going to be, doesn't 9 that make sense? 10 A He probably has a pretty good idea, 11 I don't know how good his prediction will be, 12 though. 13 Q All right. Well, you don't have 14 any reason to believe that Mr. Neff's rebuttal 15 testimony, which reflects 2009 delivered coal 16 costs of \$ [REDACTED] a megawatt hour, is significantly 17 off, do you? 18 A Again, I wasn't even aware of what 19 his prediction was. 20 Q I'm going to ask you to assume that 21 his, his rebuttal testimony says that UE's coal 22 costs in 2009, a delivered coal cost will be 23 [REDACTED] a megawatt hour, and that's for '09, and 24 we're pretty well hedged, right? 25 A Okay.</p>	<p>1 Mr. Neff is right at least, if Mr. Neff is right, 2 then when Mr. Arora says power would have to go 3 up \$ [REDACTED] per megawatt hour from '09 to '10 to 4 offset a [REDACTED] per megawatt increase in delivered 5 coal costs, he's exactly right, isn't he? 6 A If you multiply [REDACTED] by four, you 7 do get \$ [REDACTED] 8 MR. DOTTHEIM: Mr. Lowery, I don't 9 believe Dr. Proctor had completed his response. 10 A I am a little -- I am a little 11 reluctant to use averages for the purpose of 12 what's going on here. Average coal costs and 13 average power prices don't necessarily translate 14 to revenues from off-system sales. 15 And I do understand on the coal 16 cost side that the average cost of coal is -- 17 plays an important role in determining what the 18 actual coal costs are going to be. 19 But I'm a little reluctant on the 20 average power price increase and implying that 21 that has to be what the power price increase is 22 in order to produce the -- on the average for the 23 year to produce offsetting revenues. The 24 markets, they just don't work that way. 25 So no, I'm not going to agree that</p>

32 (Pages 122 to 125)

Page 126

1 simply because I think it's one-fourth of UE's
2 generation is -- goes to off-system sales, that
3 on the average you have to have a \$ increase.
4 I don't think it's that simple.

5 I think as a ballpark type of
6 estimate, it, it, it may be a back of the
7 envelope type of calculation, it may give you an
8 idea of what the increase has to be, but I'm not
9 going to testify that you would need exactly a
10 \$ average price increase.

11 Q (BY MR. LOWERY) But you would need
12 an increase that's in that range, would you not?

13 A It depends. Okay? Depends on a
14 lot of different factors. And you can have
15 natural gas price increases that outstrip this
16 percent increase because on-peak prices to go up
17 significantly and perhaps the off-peak prices
18 don't go up as much, and how much is UE selling
19 in the off-peak versus the on-peak to get their
20 revenues from this?

21 I mean, I'm just -- I'm very
22 uncomfortable with these numbers as being even
23 representative of the types of increases that
24 would be needed in power prices. I mean, I guess
25 my answer is I don't know.

Page 127

1 Q You don't know.

2 A Yeah. It's -- I think it's more
3 complex than this simple example.

4 Q Would you agree that clearly you're
5 going to need a significantly greater move in
6 power prices, average annual power prices to
7 offset that \$ per megawatt hour increase in
8 delivered coal costs? \$ is not
9 going to do it, is it?

10 A Depends on where that occurs.

11 Q \$ is going to occur on
12 January 1 of 2010, because as I think you know,
13 UE's coal costs change on January 1 of each year;
14 isn't that right?

15 A Well, let me -- suppose they had a
16 decrease in a period of time when they don't do
17 very many off-system sales.

18 Q A decrease in what, Dr. Proctor?

19 A Decrease in market prices in a
20 period where they don't do -- currently don't do
21 much in off-system sales, but later they had a
22 significant price increase in a period of time
23 where they do do off-system sales. I'm not sure
24 that the -- that you can look at the average and
25 determine, or even make a determination that the

Page 128

1 average has to be higher or lower.

2 Q Dr. Proctor, you're not disputing
3 that UE's coal costs go up on January 1 --

4 A No. I'm not --

5 Q They don't go up a little bit in
6 January and a little bit more in February and a
7 little bit more in March. Their coal and
8 transportation contracts are calendar year based,
9 and when the increases take effect, they take
10 effect on January 1 and apply to the whole year.
11 Isn't that right?

12 A That's correct.

13 Q So that \$ per megawatt hour
14 increase in delivered coal cost, if Mr. Neff is
15 right, is going to apply to every megawatt hour
16 generated from those coal plants in 2010. Right?

17 A Yes.

18 Q And if I've got four times as much
19 coal generation as I have off-system sales, my
20 power price increase is going to have to be
21 substantially more than my delivered coal cost
22 increase to offset it. Is it not?

23 A I told you I do not know the answer
24 to that question.

25 MR. LOWERY: Don't know. Okay.

Page 129

1 Fair enough. Why don't we take a little break.
2 (Off the record.)

3 Q (BY MR. LOWERY) Dr. Proctor,
4 continuing our discussion we were having just
5 before we took a break, which I think it's about
6 over, but wouldn't UE have to realize on average
7 a \$ increase in its realized LMP at its
8 generating units to generate a \$ increase in
9 coal costs?

10 A I think what you're asking is if,
11 under the circumstance, that -- say their sales
12 stayed at 10 million?

13 Q Right. And that's the assumption
14 of all my questions in this area.

15 A And if we had looked at the average
16 price that they received for those sales at 10
17 million --

18 Q Right.

19 A -- would it have to -- would that
20 average revenue that they got be -- have to be
21 equal to \$ to offset the increase in costs.
22 And my answer to that is yes, just as a -- just
23 as a matter of calculating the equation. I may
24 have misunderstood your question to be that power
25 prices had increased by that much.

33 (Pages 126 to 129)

Page 130

1 Q Fair enough. And my question may
2 not have been a good one. But they would have to
3 realize \$ [REDACTED] more to offset that [REDACTED] per
4 megawatt hour coal cost increase, wouldn't they?

5 A That's correct if, if the standard
6 you're looking at is offset, that's absolutely
7 correct.

8 Q All right.

9 A If you want it to end up being at
10 the same place as what you started, then that's
11 true.

12 Q Have we ever observed an increase
13 in power prices of that magnitude over the period
14 1999 to 2007?

15 A I haven't measured that, but in
16 terms of you're, you're going back and comparing
17 this average revenue number to power pricing
18 increases.

19 Q Right. I have no idea what --
20 well, we don't even have LMPs at UE for nine
21 years, but --

22 A Let's look at -- from Mr. Arora's
23 table, let me see if I can find it here real
24 quick.

25 Q Are you in his rebuttal testimony?

Page 131

1 A No, I am in his direct testimony.

2 Q I'm sorry, I meant to say direct.

3 A Right. And let's look and see, I
4 think there was, but --

5 Q Are you looking for a schedule or
6 something that has UE LMPs?

7 A No, I'm looking at Schedule AKA-E2.

8 Q All right.

9 A And the average -- I'm going to do
10 this on a calculator. I'm going to subtract the
11 -- from the price in 2005 the price in 2004, and
12 I get \$12.49.

13 Q And I'm looking at -- you're
14 looking at Schedule AKA-E2 to Mr. Arora's direct
15 testimony. Right?

16 A Correct.

17 Q We've seen a increase in power
18 prices of \$ [REDACTED] or more one time over that nine
19 year period, right?

20 A I think that's the only -- I, I
21 don't -- that's the only place I recall seeing a
22 large price increase.

23 Q And they -- and that increase
24 occurred because of Katrina and Rita and the coal
25 supply disruptions that occurred in 2005. Right?

Page 132

1 A Yes.

2 Q And 2005 was unusual. Right?

3 A Yes.

4 Q If we ignore 2005, we haven't seen
5 a move in power prices anywhere near [REDACTED] between
6 years over this last eight, nine year period,
7 have we?

8 A I'm looking at them, but I don't
9 think so. I think we had a, about a \$4 increase
10 between '03 and '04, but there was around a \$7
11 increase between '02 and '03. Little more than
12 \$7 increase.

13 Q A [REDACTED] increase is pretty unusual
14 based upon that historical information, correct?
15 I mean, I realize it happened in '05, but we have
16 agreed I think '05 was an unusual year, haven't
17 we?

18 A Right. Well, I think it's an
19 unusual year, yes.

20 Q Right. I mean, I -- so --

21 A But here's kind at -- here's where
22 the correlation stuff comes into play, and it's
23 -- you know, if coal prices are increasing by
24 that much, I would expect power prices to
25 increase as well.

Page 133

1 Now, is it by a factor of four, you

2 know, I don't know. I haven't done that
3 analysis. But that factor of four, I don't think
4 I've ever testified that power prices have to
5 offset increases in fuel costs. I think the
6 question is how much volatility is out there in
7 that fuel.

8 So I, I don't expect power prices,
9 and I don't think I've ever testified that power
10 prices will offset, you know. So, so maybe, I
11 mean, maybe that's too tough of a standard that
12 they totally offset.

13 Q It's never been your testimony that
14 a dollar increase in AmerenUE's delivered coal
15 cost is going to be offset -- and I'm talking
16 again on a per megawatt hour basis, all right?

17 A Right.

18 Q And a dollar increase in UE's
19 delivered coal cost is going to be offset by a
20 dollar increase in power prices.

21 A No. My recollection from the last
22 case was that -- was that the increase in power
23 prices since they would be correlated with
24 increases in coal prices would narrow the range.

25 Q The power prices UE would have to

34 (Pages 130 to 133)

Page 134	Page 136
<p>1 realize at its generators to offset an increase 2 in its delivered coal costs -- and we're looking 3 at the same period, all right? Just to be clear, 4 I'm looking at the same periods. 5 A What periods? 6 Q The realized prices UE is going to 7 have to receive -- 8 MR. DOTTHEIM: Mr. Lowery? 9 MR. LOWERY: I think I was in the 10 middle of a question, Mr. Dottheim. 11 MR. DOTTHEIM: No, Dr. Proctor 12 asked you a question for clarification. 13 Q (BY MR. LOWERY) Okay, go ahead. 14 A I didn't understand what you meant 15 by "the same periods." I'm sorry. 16 Q If I have a dollar increase per 17 megawatt increase for coal costs in 2009, to 18 offset that increase with off-system sales in 19 2009, I'm going to have to realize \$4 per 20 megawatt hour more at my generators, right? 21 A Okay. So we're talking about the 22 same concept. 23 Q Yeah. 24 A All right. I understand. 25 Q You understood my question?</p>	<p>1 are different kinds of uncertainty and they face 2 both, yes. I think uncertainty in daily prices 3 is something that occurs due to weather, supply 4 conditions at that time, those types of things, 5 and that those accumulate to give you what the 6 average annual realized price is. 7 But in terms of uncertainty, I 8 think there are two different concepts. 9 Q Well, Dr. Proctor, every day UE has 10 volumes of off-system sales that aren't hedged 11 that are available to sell. Right? 12 A That's correct. That's right. 13 Q And the price they're going to get 14 for those -- get for those each day depends on 15 what the price of power is that day. Right? 16 A Actually, each hour. 17 Q Well, actually each hour of that 18 day, but just a simplified assumption though, 19 let's -- can we simplify it and say that, that -- 20 well, that's fine. 21 A No, I don't think -- 22 Q Let's take hourly uncertainty, 23 then, each day, right? 24 A That's right, but see, the problem 25 that you're getting to is Ajay -- I'm sorry, Mr.</p>
Page 135	Page 137
<p>1 A I understand what you meant by "the 2 same." I don't know if I recall your question. 3 You might ask your question. 4 Q All right. I'll try it again. If 5 I have a dollar per megawatt hour increase in 6 delivered coal costs in 2009, on January 1, 2009, 7 that applies all year, then UE's going to have to 8 realize \$4 per megawatt hour more for its 9 off-system sales in 2009 to offset that, correct? 10 A Assuming that their generation used 11 for off-system sales stays constant. 12 Q Assuming the volume of off-system 13 sales stays the same. 14 A Yes. 15 Q All right. Thank you. Dr. 16 Proctor, would you agree that for approximately 17 -- the approximately [REDACTED] percent of UE's 18 off-system sales that UE does not hedge, that the 19 actual uncertainty UE faces is uncertainty in 20 daily power price? 21 A As opposed to what? And I'm trying 22 to get a context. 23 Q As opposed to annual average 24 prices. 25 A I think they face -- I think those</p>	<p>1 Arora could have measured hourly uncertainty in 2 prices and used that to represent average annual 3 uncertainty. He didn't, but it's -- but it's a 4 different concept. 5 Q But for that [REDACTED] percent of those 6 off-system sales, the uncertainty every day when 7 the traders are bidding that generation that they 8 face is the uncertainty associated with what the 9 hourly prices are going to be for every hour of 10 that day. Right? 11 A Absolutely. Yes. 12 Q UE doesn't know with certainty what 13 the spot price of power will be on the next day, 14 the average daily price, the average, the hours, 15 certainly doesn't know what the spot price of 16 power will be on a -- for a given hour on a given 17 day. Right? 18 A I think -- I -- yeah, I agree. 19 They don't know precisely. They have a pretty 20 good idea of what it's going to be, though. Now, 21 things can happen. 22 Q Things do happen, do they not? 23 A Yeah, things do happen. 24 Q Things definitely happen, right? 25 A That cause prices to be different</p>

35 (Pages 134 to 137)

1 from expectations.

2 Q But when UE is sitting at the
3 beginning of a year and they've got [REDACTED] million
4 megawatt hours of off-system sales that they are
5 expecting to sell in that year.

6 A Yes.

7 Q They don't have any real good idea
8 what the prices are going to be for each of those
9 365 days, do they?

10 A Yeah, I think that's what this
11 whole issue is about is how much uncertainty is
12 around there. Yeah. I agree there's, there's
13 uncertainty. Yes.

14 Q Let me ask you this. Let's assume
15 that UE could not hedge any of its off-system
16 sales. I realize that UE does typically hedge [REDACTED]
17 percent as we've talked about, but assume that
18 they couldn't do that for whatever reason. Loads
19 are way too uncertain, I don't know, just doesn't
20 really matter, but just assume they couldn't do
21 it. Okay?

22 A Yes.

23 Q UE would face the kind of
24 uncertainty that we're talking about for every
25 megawatt hour of off-system sales under that

1 assumption. Right?

2 A Correct.

3 Q So given that UE only sells forward
4 about [REDACTED] percent, UE faces that uncertainty for
5 about [REDACTED] percent of its off-system sales volumes.
6 Doesn't it?

7 A Yes.

8 Q Even if one assumed that there's
9 some correlation between coal prices and spot
10 power prices on a going forward basis, since UE
11 hedges coal one to five years out but power only
12 one month to one year out, even for the power
13 that's hedged that correlation starts to break
14 down, does it not?

15 A That's a complex question. Let me
16 try to break it apart. I think what you're
17 saying -- or let me tell you what I would agree
18 to. That when you -- UE hedges coal costs
19 significantly ahead of the time that they hedge
20 their sales, and they're somewhat restricted on
21 what they can hedge on their sales because of the
22 uncertainty about their forecasted load --

23 Q All right, I'm following you so
24 far.

25 A So you can't -- you can't match

1 those hedge -- you can't match those hedges. You
2 can't, while you're hedging coal, hedge all of
3 your off-system sales at the same time. Am I
4 understanding, is that what you're asking?

5 Q Yes.

6 A Okay. Yeah, I agree.

7 Q Would you agree that any
8 correlation between coal prices and power prices
9 only explains how much of the total variance in
10 power prices is related to the variance in coal
11 prices?

12 A Oh, my goodness. Repeat the
13 question. I'm trying to picture.

14 MR. LOWERY: Could you read it
15 back, please?

16 THE REPORTER: "Would you agree
17 that any correlation between coal prices and
18 power prices only explains how much of the total
19 variance in power prices is related to the
20 variance in coal prices?"

21 A I'm sorry, I'm not --

22 Q (BY MR. LOWERY) If there is -- I'm
23 sorry, go ahead.

24 A I've got the correlation -- let's
25 say you've got a correlation between coal prices

1 and power prices. Okay? And if, if you -- let's
2 suppose it's a perfect correlation.

3 And when you talk about the
4 variance in the coal prices, I think you're
5 talking about the deviations that can occur in
6 the coal prices from the mean, how big of a
7 variance there is there. And if you have perfect
8 correlation, that then translates to how much
9 variance you would then see in electric prices.
10 And I'm not sure if that's what you're asking,
11 though.

12 Q Well, you don't think there's a
13 perfect correlation. Correct?

14 A No.

15 Q All right. What I'm asking, and
16 apparently am not doing a very good job, which
17 may not be your fault, but if there's a
18 correlation between coal and power, imperfect
19 though it may be, a movement in power prices that
20 occurs because of a movement in coal prices,
21 given that correlation, that correlation only
22 explains how much of the total movement in the
23 power prices is caused by the movement in coal
24 prices. It doesn't explain how much of the
25 movement in power prices is caused by other

Page 142	Page 144
<p>1 variables that affect power. 2 A That's correct. 3 Q That was a better question, 4 apparently. 5 A Yeah. I understood that one. 6 Q Any such correlation with coal 7 doesn't explain movement in power price due to 8 uncertainty in loads. Right? 9 A Okay. 10 Q Correct? 11 A Correct. 12 Q It doesn't explain movements in 13 power prices because of unplanned outages that 14 affect the market. 15 A That's correct. 16 Q It doesn't explain movement in 17 power prices because of transportation 18 disruptions? 19 A That's correct. 20 Q It wouldn't explain movement in 21 power prices due to congestion or outages on the 22 transmission system. Right? 23 A That's correct. 24 Q It wouldn't explain changes in 25 power prices due to change in economic</p>	<p>1 -- 2 A Right. 3 Q -- isn't it necessarily the case 4 that the correlation of power prices to each of 5 those factors may -- is necessarily going to be 6 small? 7 A Is necessarily going to be small? 8 Q Yes. 9 A No. That's not the case. They -- 10 they can be highly correlated to several of those 11 factors. Okay? But I, I think what you're 12 asking is if you don't take the movement, if you 13 have those high correlations and you don't take 14 the movement, if you're just looking at the 15 movement in one of them and not in the others, 16 could you -- could you use that as a -- as a good 17 predictor, and the answer is probably no because 18 you haven't taken into account the movements of 19 all the factors that tend to come into play. 20 Q Fair enough. All right. Let's 21 talk about another subject a minute. We already 22 I think talked about and you agree that it's 23 tough for UE to predict its gas burn for 24 generation going into a calendar very well, 25 right?</p>
Page 143	Page 145
<p>1 conditions. Right? 2 A Not sure I agree with that one. 3 Q Why? Because if economic 4 conditions change, they're going to affect coal 5 in the same way? Is that what you're getting at? 6 A Yes. 7 Q What if they don't? 8 A Well, there's always a combination 9 of impact from the correlation that we're talking 10 about in residual impacts from other things, and 11 when you do a statistical analysis, you can 12 actually measure what those are. 13 And I don't want to get into the 14 statistics of it, but if you run a regression on 15 the data, you can calculate the deviations from 16 the regression line that occur and you can 17 statistically measure what the variance of those 18 deviations turn out to be and those are 19 unexplained. They are looked at as random 20 errors, okay, but in fact you are exactly right, 21 all of these other elements are what are causing 22 those. They are unexplained elements by the 23 correlation between the two variables. 24 Q If I've got eight or ten different 25 factors that might explain power price movements</p>	<p>1 A Yes. 2 Q And one of the reasons UE can't 3 predict its gas burn very well is because the 4 MISO, M-I-S-O all caps, dispatches the gas units 5 for reliability, not economic reasons. Right? 6 A Yes. 7 Q UE doesn't know when that's going 8 to happen or how often. Right? 9 A That's correct. 10 Q And doesn't know how long the PTDs 11 are going to have to run when that happens. 12 Right? 13 A That's correct. 14 Q So UE's limited on the -- its 15 ability to -- in terms of the volume of gas for 16 electricity generation that it can hedge going 17 into a particular year; is that correct? 18 A That's correct. 19 Q Which means that when UE turns on a 20 CTG, it's often buying the gas to run it in the 21 daily spot gas market; right? 22 A That's my understanding. 23 Q Which subjects UE to substantial 24 daily gas spot market uncertainty. Correct? 25 A Correct.</p>

37 (Pages 142 to 145)

Page 146	Page 148
<p>1 Q Dr. Proctor, I am assuming you've 2 never traded power. 3 A You are correct. 4 Q And that you've never been 5 responsible for risk management of a utility's 6 generation portfolio? 7 A You're correct. 8 Q Would you agree that forward power 9 prices for particular delivery time reflect the 10 market's expectation for what the spot price of 11 power will be as of that delivery time? 12 A Ask the question again. I'm trying 13 to -- 14 Q Sure. 15 A I think I lost the assumption. 16 Q Would you agree that forward power 17 prices for a particular delivery time reflect the 18 market's expectation for what the spot price of 19 power will be as of that delivery time? 20 A If we had a highly liquid market 21 with lots of trades occurring on a daily basis, I 22 would agree. I'd be much more inclined to agree 23 if we were talking about futures markets rather 24 than forward markets. 25 What I would say is that the</p>	<p>1 A No. Even if it's highly liquid 2 market, any time -- any time you've got a, an 3 average settlement price that occurs, you've got 4 a whole distribution of what people think the 5 expectation is going to be. What their 6 individual expectations are. 7 For example, if I really expect a 8 price of, let's say, \$40 at a future point in 9 time and I am a seller, if that's my expectation, 10 I probably won't enter into a forward contract 11 unless I get at least \$40, and I may enter into a 12 contract where I am able to sell for \$45. 13 And even though my expectation is 14 that the price will only be 40 bucks, I am 15 willing to enter into that trade at \$45 because 16 at least in my mind I am making a \$5 profit over 17 what I would make if I didn't enter into that 18 contract. 19 Q Would you tell me again, then, what 20 you believe forward power prices represent? 21 A They represent an average of what 22 -- let's see if I can say it again. An average 23 of the maximum price that buyers are willing to 24 pay at that -- for the product at that delivery 25 date, and the minimum that sellers are willing to</p>
Page 147	Page 149
<p>1 average trade price that occurs on a given day in 2 a forward market represents the -- a settlement 3 between sellers and buyers. Those folks that 4 actually enter into contracts at that time as to 5 the maximum that the buyers were willing to pay 6 for a forward contract and the minimum that 7 sellers were willing to take for such a contract. 8 Whether or not that represents the 9 market's expectations about what the spot price 10 is going to be I think is another -- it goes a 11 step further than what I just described. 12 Q Is the synergy market a highly 13 liquid market for electricity? 14 A I don't know. 15 Q You don't know if there are a lot 16 of transactions, a lot of traders transacting at 17 the synergy hub on a daily basis? 18 A I don't know. I haven't looked at 19 that data. 20 Q If there are, then would you agree 21 that the forward power price at synergy for a 22 particular delivery time reflects all of those 23 traders' collective expectations for what the 24 spot power price will be at synergy at that 25 delivery time?</p>	<p>1 take for that product at that delivery point in 2 the future. 3 Q All right. So if I -- if I'm -- if 4 I'm transacting for power deliveries next June, 5 if I'm transacting today for power deliveries 6 next June, okay? 7 A Yes. 8 Q There is 500 of us transacting at a 9 particular location for power deliveries next 10 June. 11 A Right. 12 Q Five hundred buyers and 500 13 sellers, let's say there's a thousand of us. 14 We're going to average what the 500 -- the 15 maximum the 500 buyers are willing to pay and 16 we're going to average the minimum the -- the 500 17 buyers are willing to pay and the -- average what 18 the 500 sellers are willing to take, we're going 19 to average that and we're going to get a forward 20 price for June. Right? 21 A No. What we're going to do is 22 allow those 500 people to interact and come up 23 with trades. 24 Q All right. So we're going to end 25 up with 500 trades today for delivery in June.</p>

38 (Pages 146 to 149)

<p style="text-align: right;">Page 150</p> <p>1 A Yeah. If everybody can find 2 someone they can trade with, it'll be 500, yeah. 3 Q All right. 4 A And then we're going to average -- 5 everybody reports the price that they traded at 6 and we calculate the average of that trade price 7 for -- that occurred that day. 8 Q All right. And that's forward 9 price for next June. Right? 10 A Yes. 11 Q Those participants and that 12 transacting that took place on this day, today, 13 that we were just talking about, that's a market, 14 right? 15 A Yes. 16 Q So I am not understanding why the 17 forward price for next June, as of today, which 18 is an average of all the transactions conducted 19 in that market, why it's not that market's 20 expectation of what the price will be next June. 21 A Are you asking me to explain why 22 you don't understand? I don't -- I can't do 23 that. 24 Q I guess I'm -- right. I'm not 25 understanding, so where am I wrong?</p>	<p style="text-align: right;">Page 152</p> <p>1 associated with the uncertainty in those prices. 2 A I'm going to answer I don't know. 3 Q Okay. 4 A I don't know what "adjusted for the 5 risk" means. 6 Q I asked you if you agreed with the 7 following statement. Forward prices are 8 expectations of future commodity prices adjusted 9 for the risk associated with the uncertainty in 10 those prices. And is your answer "I don't know"? 11 A Yes. My answer is I don't know. 12 Q And it's "I don't know" because you 13 don't know what "adjusted for the risk associated 14 with the uncertainty" means? 15 A Yes. I don't know what you meant 16 by that particular phrase, so I don't know the 17 answer to the question. 18 Q Let me ask you if you agree with 19 this statement. Volatility is a measure of the 20 uncertainty in a future commodity price at a 21 particular time, and can be estimated from the 22 prices of traded options or from model fits to 23 spot or forward price changes over time. 24 A My goodness. 25 Q Let me break it down.</p>
<p style="text-align: right;">Page 151</p> <p>1 A Well, I mean, there's lots of -- 2 there's lots of different expectations reflected 3 in those 500 sellers and 500 buyers about what 4 the price is going to be. It's not like a single 5 expectation. Now, if what you -- what -- and, 6 and there are lots of expectations by folks that 7 don't enter into contracts that particular day. 8 Now, if they see the contract price 9 being lower than their expectations, they may get 10 into that market tomorrow and try to make some 11 trades. Okay? 12 I think that's really kind of where 13 you're going is does -- do -- does the -- do the 14 forward prices tend to converge to what the spot 15 market price is, and my answer is yes. 16 But on any particular day does that 17 represent the -- everybody in the market's 18 expectation about what the price is, and the 19 answer is no. 20 Q Let me ask this question, all 21 right? I think that helped. 22 A Okay. 23 Q Would you agree with the following 24 statement. Forward prices are expectations of 25 future commodity prices adjusted for the risk</p>	<p style="text-align: right;">Page 153</p> <p>1 A Yes. Break it down. 2 Q Do you agree that volatility is a 3 measure of the uncertainty in a future commodity 4 price at a particular time? 5 A I agree that volatility -- I would 6 have said it the other way around. That 7 uncertainty is a measure of volatility. But I 8 guess I -- that's okay. What is the issue about 9 a particular point in time? I don't understand 10 that. 11 Q Would you agree that volatility is 12 a measure of the uncertainty in a future 13 commodity price? 14 A In a future commodity price. No, I 15 actually have thought of volatility in terms of 16 spot prices, not future prices, but yeah, you 17 could -- you could talk about volatility with 18 respect to future prices as well as spot prices. 19 That's where I'm struggling a 20 little bit with this statement, because 21 volatility is a general concept and it can be 22 applied. So is volatility in future prices a 23 measure of uncertainty that occurs in those 24 future prices at a particular point in time, I 25 would agree with that. I'm not trying to parse</p>

Page 154	Page 156
<p>1 words --</p> <p>2 Q No, no, I don't believe that you</p> <p>3 are.</p> <p>4 A I'm just trying to grab ahold of</p> <p>5 the concept in terms of the words that are being</p> <p>6 used.</p> <p>7 Q I mean, there's no uncertainty in</p> <p>8 prices that have already happened. Right? I</p> <p>9 mean, we know what power prices have been for the</p> <p>10 last six months, we can look them up. Right?</p> <p>11 A Yeah, but we can certainly talk</p> <p>12 about prices that have already occurred and</p> <p>13 whether or not they were volatile.</p> <p>14 Q True. So volatility can be a</p> <p>15 measure of the uncertainty in a future commodity</p> <p>16 price?</p> <p>17 A Sure.</p> <p>18 Q It can also be the measure of</p> <p>19 uncertainty that was observed in a past set of</p> <p>20 prices.</p> <p>21 A That's correct.</p> <p>22 Q Is that what you're really getting</p> <p>23 at?</p> <p>24 A Yes.</p> <p>25 Q So it can be a measure of the</p>	<p>1 Q Well, what if I'm talking about a</p> <p>2 calendar year on peak product.</p> <p>3 A Okay.</p> <p>4 Q Got a lot of traders trading that</p> <p>5 product, don't we?</p> <p>6 A Probably more so than around the</p> <p>7 clock product.</p> <p>8 Q Are you familiar with Platts?</p> <p>9 A Yes.</p> <p>10 Q Platts Megawatt Daily?</p> <p>11 A I've certainly heard of it.</p> <p>12 Q Are you aware that Platts Megawatt</p> <p>13 Daily publishes an on-peak calendar year 2009</p> <p>14 forward price?</p> <p>15 A If you say they do, that's fine. I</p> <p>16 am not familiar with, with the various things</p> <p>17 that Platts publishes on a regular basis.</p> <p>18 Q If they do, do you think that power</p> <p>19 traders, when they're making decisions about</p> <p>20 on-peak power they would have available in 2009,</p> <p>21 how much to sell and at what price they would</p> <p>22 sell it, do you think they would consider</p> <p>23 possible changes in that forward price in making</p> <p>24 those decisions?</p> <p>25 A Oh, yeah. Sure.</p>
Page 155	Page 157
<p>1 uncertainty in a future commodity price, just</p> <p>2 trying to make sure the record is clear. Do you</p> <p>3 agree with that?</p> <p>4 A Yes. I agree with that.</p> <p>5 Q Now I'm reading you. We can also</p> <p>6 measure volatility retroactively.</p> <p>7 A Yes.</p> <p>8 Q All right. Do you know if energy</p> <p>9 traders who are making decisions today about</p> <p>10 whether to sell power they have available for</p> <p>11 delivery in 2009 and about how much of that power</p> <p>12 to sell and at what price they should sell it, do</p> <p>13 you know if they consider possible changes in the</p> <p>14 forward price for power in calendar year 2009</p> <p>15 when they make those decisions?</p> <p>16 A Well, I suspect it depends on the</p> <p>17 product that they're trading.</p> <p>18 Q What if they're trading a calendar</p> <p>19 year 2009 product?</p> <p>20 A I don't know how frequently that</p> <p>21 particular product is traded. If you're talking</p> <p>22 about around the clock, which is the average for</p> <p>23 all the hours in that period, I don't know how,</p> <p>24 how many traders are involved in trading that</p> <p>25 product.</p>	<p>1 Q Do you disagree with the fact that</p> <p>2 companies that sell power in wholesale</p> <p>3 electricity markets, or for that matter that sell</p> <p>4 them via bilateral contracts or both, commonly</p> <p>5 estimate the uncertainty in future spot power</p> <p>6 prices by quantifying how much the forward price</p> <p>7 for a forecasted delivery date is likely to</p> <p>8 change between the time of the forecast and the</p> <p>9 date of delivery?</p> <p>10 A That would not surprise me at all.</p> <p>11 That sounds very familiar to what I described in</p> <p>12 my testimony as -- in terms of how much a price</p> <p>13 changes between a fixed point in time and the</p> <p>14 delivery point.</p> <p>15 Q In other words, when they are</p> <p>16 making decisions on when to hedge a portion of</p> <p>17 their electricity volumes and at what price, they</p> <p>18 estimate the uncertainty in future spot power</p> <p>19 prices by quantifying how much the forward price</p> <p>20 for a forecasted delivery date is likely to</p> <p>21 change between the time of the forecast and the</p> <p>22 date of delivery. Right?</p> <p>23 A Yes.</p> <p>24 Q And this includes merchant</p> <p>25 generators who have no captive native load and</p>

40 (Pages 154 to 157)

Page 158	Page 160
<p>1 whose profits depend entirely on how good a job 2 they do in making those sales, right? 3 A Well, I'm sure Ameren Energy 4 Marketing is involved in that kind of -- those 5 kinds of trades, yes. 6 Q And any other merchant generator. 7 Right? 8 A I -- probably, but I don't know 9 that for a fact. 10 Q Is it fair to say that this method 11 of forecasting uncertainty, in other words, 12 analyzing the likelihood of changes in forward 13 prices, is standard practice for power traders in 14 the real world? 15 A I suspect it is. 16 Q Should it not then also be 17 appropriate for measuring the uncertainty related 18 to UE's future off-system sales? 19 A Well, help me out. I don't know, I 20 don't know if, if the uncertainty around future 21 prices -- future price changes between a given 22 point in time and a delivery point in the future 23 is the same thing, the same kind of uncertainty 24 that UE faces. 25 Q You don't know whether it is?</p>	<p>1 Q Let's talk about the portion that's 2 hedged. 3 A Okay. 4 Q Talk about the hedged portion. 5 A There the -- I would agree that the 6 distribution of -- around forward price changes 7 between the time that you're wanting to enter 8 into the contract and the delivery date of the 9 contract is very important. 10 Q So for that -- for that portion 11 that UE hedges for its off-system sales, same 12 kind of uncertain -- UE faces the same kind of 13 uncertainty a merchant generator faces. Right? 14 You would agree with that? 15 A Absolutely. Yeah. 16 Q Where we are breaking down is you 17 don't know whether UE faces the same kind of 18 uncertainty with respect to the remainder of its 19 off-system sales. 20 A That's correct. 21 Q UE might or might not face the same 22 kind of uncertainty; is that your testimony? 23 A Yes. 24 Q Dr. Proctor, is it fair to say that 25 off-system sales are an item that's difficult to</p>
Page 159	Page 161
<p>1 A I don't -- I can't -- I don't -- I 2 don't know if it is. I don't have the connection 3 between those two. 4 Q Do you have some reason to believe 5 UE faces different uncertainty than everybody 6 else? 7 A No, but the uncertainty that you 8 face as a trader in a futures market or forwards 9 market is different than the uncertainty that you 10 face in net fuel expense. 11 Q Well, I'm only talking about 12 off-system sales right now, though, right? 13 A Yes. 14 Q I mean, for the 10 million megawatt 15 hours of off-system sales UE has, UE is simply 16 trading power in the power market just like these 17 other traders we're talking about, aren't they? 18 A Are you talking about with respect 19 to UE entering into hedging, or are you talking 20 about that portion that remains unhedged? 21 Q Well -- 22 A I'm confused. 23 Q Let's talk about each of them 24 separately. 25 A Okay.</p>	<p>1 forecast? 2 A Yes. 3 Q Dr. Proctor, are you aware that 4 AmerenUE for its natural gas LDC business hedges 5 natural gas costs through a multi-year process 6 that procures natural gas for up to four to five 7 years out? 8 A Yes. I didn't know how far out. I 9 knew they were involved in hedging their natural 10 gas for their natural gas business and hedging 11 their purchases, yeah. 12 Q Does it make sense that it would be 13 for several years out given that contracts are 14 available for several years out and the LDC 15 business is a lot easier to predict than gas 16 generation? 17 A Well, I'm not -- 18 Q If you don't know, that's fine. 19 A It's been -- it's been too long 20 since I've been involved in the natural gas side. 21 The last time I was involved in it, I think 22 AmerenUE and others were about one or two years 23 into hedging programs. So -- and at that time 24 they -- I think they were just hedging for the 25 year ahead.</p>

41 (Pages 158 to 161)

Page 162	Page 164
<p>1 Q Okay.</p> <p>2 A If they've gone to multiple years</p> <p>3 out, I was not aware of that. But I haven't been</p> <p>4 following it that closely.</p> <p>5 Q Fair enough. Dr. Proctor, would</p> <p>6 you agree that the spot price uncertainty of</p> <p>7 natural gas and power is fairly similar?</p> <p>8 A The spot power. Say that again?</p> <p>9 Q Would you agree that the spot price</p> <p>10 uncertainty of natural gas and power is fairly</p> <p>11 similar?</p> <p>12 A Well, I think they're -- I think</p> <p>13 they're highly correlated. Does that translate</p> <p>14 into similar uncertainties, um, it means that the</p> <p>15 uncertainty in one is related to the uncertainty</p> <p>16 in the other. I don't know what similar means.</p> <p>17 Are you talking about the -- a similar --</p> <p>18 Q If I measure the -- I'm sorry?</p> <p>19 A A similar uncertainty factor, a</p> <p>20 similar standard deviation, what?</p> <p>21 Q Yeah, if I measured the uncertainty</p> <p>22 in spot natural gas prices and I separately</p> <p>23 measured the uncertainty in spot power prices,</p> <p>24 would I get similar levels of uncertainty?</p> <p>25 A I think the standard deviations</p>	<p>1 A Is that what you mean by similar</p> <p>2 uncertainty?</p> <p>3 Q Yes. That's what I mean.</p> <p>4 A Oh, okay. Yeah, I think they both</p> <p>5 have a high degree of uncertainty when compared</p> <p>6 to things that are fairly stable.</p> <p>7 Q That's fair enough. Dr. Proctor,</p> <p>8 if a utility buys 10 million megawatt hours of</p> <p>9 power in the spot market, is the uncertainty</p> <p>10 related to those purchased costs the same as the</p> <p>11 uncertainty in sales revenue if a utility sells</p> <p>12 10 million megawatt hours of power in the same</p> <p>13 spot market?</p> <p>14 A I don't know the perspective this</p> <p>15 question is coming from and I'm trying to figure</p> <p>16 that out. I mean, at one level the uncertainty</p> <p>17 would be the same, that is, that the distribution</p> <p>18 -- the uncertainty distribution about the forward</p> <p>19 price would be the same for both, whether you</p> <p>20 were purchasing or selling. Is that your</p> <p>21 question?</p> <p>22 Q My question was my question. I</p> <p>23 honestly thought it was a simple question. If I</p> <p>24 got 10 million megawatt hours of power that I</p> <p>25 need to buy in the spot power market, so I'm a</p>
Page 163	Page 165
<p>1 would be different. I think the means would be</p> <p>2 different, and therefore, I think the uncertainty</p> <p>3 factors could be different.</p> <p>4 Q Let me ask you this. Would you</p> <p>5 consider spot natural gas prices to be moderately</p> <p>6 uncertain, highly uncertain? Choose your</p> <p>7 adjective.</p> <p>8 A The problem with choosing the</p> <p>9 adjectives is it's making an assumption about</p> <p>10 something that I am measuring it against. It's</p> <p>11 highly uncertain when I'm measuring it against,</p> <p>12 say, the prices of automobiles.</p> <p>13 Q Okay.</p> <p>14 A It's -- it may be moderately</p> <p>15 uncertain when I'm measuring it against the price</p> <p>16 of gasoline.</p> <p>17 Q Okay. If I measure -- so natural</p> <p>18 gas spot prices are highly uncertain when I</p> <p>19 measure it against automobiles. Are power prices</p> <p>20 highly uncertain if I measure those against</p> <p>21 automobiles?</p> <p>22 A I would suspect so.</p> <p>23 Q Okay. So when measured against the</p> <p>24 same benchmark, both power and natural gas spot</p> <p>25 prices are highly uncertain.</p>	<p>1 buyer and I need 10 million megawatt hours, and</p> <p>2 I'm a seller and I got 10 million megawatt hours</p> <p>3 to sell, the price I may have to buy at tomorrow</p> <p>4 or the next day, next week, or next month, or the</p> <p>5 price I can sell at tomorrow, next day, next</p> <p>6 week, next month, I got the same uncertainty on</p> <p>7 both sides, don't I?</p> <p>8 A Probably. You're facing the same</p> <p>9 uncertainty in distribution on both -- on whether</p> <p>10 the price goes up or down. Both the buyer and</p> <p>11 the seller are facing the same -- the same</p> <p>12 uncertainty as to whether the price goes up or</p> <p>13 goes down.</p> <p>14 Q If an electric utility relies on</p> <p>15 purchased power to supply, let's say, for</p> <p>16 example, about half of its native load, would you</p> <p>17 think that a significant portion of those</p> <p>18 purchased power needs could be hedged several</p> <p>19 years out just like UE can hedge its gas for --</p> <p>20 its gas delivery business several years out,</p> <p>21 assuming UE can do that?</p> <p>22 A I don't know.</p> <p>23 Q You don't know, you don't know what</p> <p>24 hedges are available for power or for gas for</p> <p>25 that matter; is that your testimony?</p>

42 (Pages 162 to 165)

Page 166	Page 168
<p>1 A Well, I'm not -- I don't know what, 2 what hedges are available for going several years 3 out for hedging purchased power. You know, I 4 don't know what the products are in the market 5 going several years out. 6 If -- you know, there's a question 7 between can you hedge, of course you can hedge. 8 Okay? You can buy, you can buy several years 9 out. But I don't think that's what you're trying 10 to get at in your question. 11 Yeah, I can always -- if the 12 products are there, I can buy them several years 13 out. I don't know if the products are there 14 several years out or not. Do -- is it a good 15 practice to do that is another question. 16 Q Dr. Proctor, given the uncertainty 17 in spot power markets, do you think it would be a 18 good idea if utilities in Missouri who rely on 19 spot power purchases -- for utilities in Missouri 20 to rely on spot power purchases to supply, for 21 example, at 40 percent of their native load? 22 A You made it sound like a question, 23 but I'm not sure I got the question. Is it a 24 good practice for them to hedge it; is that -- 40 25 percent?</p>	<p>1 lots of ways you can hedge. One of the ways you 2 can hedge is in the futures market that you're 3 talking about. Another way you can hedge is to 4 enter into a contract for basically generation. 5 Q Right. Lock up a bilateral 6 contract for a base load unit for a period of 7 time at a fixed price to remove that spot price 8 uncertainty. Right? 9 A Right. So I guess it kind of falls 10 in the same category. I would be encouraging 11 them to find -- look at all the alternative ways 12 to hedge against that -- paying that -- being 13 exposed to the spot price. 14 Q Do you believe that if a Missouri 15 utility did supply 40 percent of its native load 16 through spot power purchases, that that would be 17 a reason that would support its receiving an FAC 18 since it faces all of this spot power 19 uncertainty? 20 A Well, in the short run, it might 21 be. But I would certainly from a longer 22 perspective want to encourage that utility to not 23 continue doing that. 24 Q Do you believe it's good public 25 policy to grant FACs only to utilities who have</p>
Page 167	Page 169
<p>1 Q No. Let me try it again. Given 2 that there's uncertainty in spot power markets, 3 and we agree there's uncertainty, right? 4 A Right. 5 Q Do you believe it would be a good 6 idea for a utility in Missouri to rely on spot 7 power purchases to supply, let's say, for 8 example, 40 percent of that utility's native 9 load? 10 A Let me put it this way. If a 11 utility was in that situation where they were 12 depending on purchases to supply 40 percent of 13 their native load, I would encourage them to 14 hedge rather than buy in the spot market. That's 15 one question, and I think the answer is yeah, I 16 would probably encourage them to hedge. 17 Another question is do I think it's 18 a good idea that they -- that they're needing 40 19 percent of their native load from power purchases 20 and should they do something about that, my 21 answer is 40 percent is a pretty high number. 22 Q And that that might not be such a 23 good idea? 24 A Might not be a very good idea. 25 They probably need to look for -- see, there's</p>	<p>1 done a less than optimal job of hedging 2 uncertainty while not allowing FACs [sic] who do 3 a good job of hedging uncertainty to use an FAC? 4 A No, I don't think that's good 5 policy. 6 Q Have you analyzed how the 7 volatility of coal spot or dispatch prices 8 compares to the volatility of spot prices for 9 natural gas and power? 10 A I did in the previous case, and I 11 think in this particular case the only 12 relationships I have looked at are the ones that 13 you see in my rebuttal testimony. I think it was 14 Schedule 2A and 2B. But I haven't looked at 15 daily, monthly, weekly, I just looked at this 16 annual average price. 17 Q AmerenUE witnesses in this and the 18 last case have provided evidence that the 19 volatility of spot coal prices is now similar to 20 the volatility of spot power and natural gas 21 prices. Do you have any reason or basis to 22 disagree with that? 23 A No, I don't disagree with that. 24 Q Now, if the spot prices for coal, 25 natural gas, and power are all very similar,</p>

43 (Pages 166 to 169)

Page 170	Page 172
<p>1 isn't it true that the volatility of the 2 utility's fuel costs should be a function of its 3 hedging/contracting program, not a function of 4 its mix of coal, natural gas, or purchase power? 5 A You sure put together some tough 6 questions to follow. Can you parse that out a 7 little bit? Or put it out in pieces? 8 Q I'll do my best. We just talked 9 about that you didn't really disagree with the 10 concept that spot prices for coal and natural gas 11 and power are similar. 12 A Right. 13 Q So if that's true, then the 14 volatility of utility fuel costs should be driven 15 by -- should be a function of how it hedges and 16 contracts, not a function of its mix of coal, 17 natural gas, and purchase power generation and 18 purchase power serve load. Right? 19 A Oh, I think I understand. I think 20 I understand your question now. 21 Q Okay. 22 A If -- and the concept is the 23 differentiation between a utility that has, say, 24 has a lot of purchase power or natural gas in its 25 net fuel expense versus one that has a lot of</p>	<p>1 the country where a utility was forced to 2 discontinue its fuel adjustment clause because it 3 was expected to file frequent rate cases? 4 A I'm not aware of what's -- 5 generally what goes on in regulation with respect 6 to fuel adjustment clauses across the country. 7 Q Fair enough. I guess, then, you're 8 not aware of any case where fuel adjustment 9 clauses were limited to -- any case around the 10 country where fuel adjustment clauses were 11 limited only to small utilities that don't have 12 the resources to manage their fuel cost 13 uncertainties? 14 A Again, I guess the answer is no. 15 Q Do you think that smaller utilities 16 manage the uncertainty of their fuel cost more 17 poorly than larger ones? 18 A I don't know. 19 Q How do you believe market liquidity 20 affects price uncertainty? Would you believe 21 buyers face more uncertainty when markets are 22 highly liquid or do they face more uncertainty 23 when markets are not very liquid? 24 A I don't know. I haven't thought 25 about that question. So I don't know.</p>
Page 171	Page 173
<p>1 coal that's been hedged -- 2 Q The spot, let me -- 3 A So what you're saying is that it's 4 the volatility of fuels that ought to drive the 5 fuel adjustment clause, not strictly a function 6 of what its fuel mix is. And I -- generally I 7 agree with that. 8 I think the history until recently 9 has been that natural gas has been the most 10 volatile fuel, and so if a utility has a high 11 level of natural gas in its net fuel cost, that 12 it's more exposed to volatility than if it has 13 coal. 14 I think that's been historically 15 the concept, and I think you're asking is that 16 changing because coal prices are becoming more 17 volatile, and I think the answer is yes. 18 Q All right. Dr. Proctor, are you 19 aware of any case around the country where a 20 utility was denied a fuel adjustment clause 21 because it was expected that it would file 22 another rate case in a year or so? 23 A I am not, no, I'm not aware of 24 that. 25 Q Are you aware of any case around</p>	<p>1 Q Doesn't it make sense that if a 2 market's less liquid, they've got a lot less 3 transactions, lot less price discovery, that 4 there's a lot more uncertainty in an illiquid 5 market than there is in a liquid market? Isn't 6 that just a pretty basic concept? 7 A I don't -- I have not -- I have not 8 thought of that, nor analyzed that, and I think 9 it's -- it may be a basic concept for folks that 10 have thought about it and have analyzed it, that 11 it's not one that I feel ready to or competent to 12 express an opinion on. 13 Q Do you know if liquidity in the gas 14 market is higher than in the coal market? 15 A Do I know for certain? No. 16 Q Do you have an opinion about that? 17 A Do I have a guess? 18 Q Well, is it a guess or -- are you 19 speculating or do you have some reasonable 20 opinion about which -- 21 A I don't know. 22 Q Excuse me? 23 A Since I haven't analyzed the two 24 markets in terms of liquidity, I don't -- I don't 25 know.</p>

44 (Pages 170 to 173)

Page 174	Page 176
<p>1 Q Okay. Fair enough.</p> <p>2 Mr. Dottheim, I'm just about done,</p> <p>3 just to give you an idea.</p> <p>4 Dr. Proctor, in your rebuttal</p> <p>5 testimony -- let me find it. You made note of</p> <p>6 the fact that you weren't contacted by Mr. Arora</p> <p>7 before UE filed its direct testimony and his</p> <p>8 analysis. Right?</p> <p>9 A That's correct.</p> <p>10 Q I take it from my earlier questions</p> <p>11 that you were aware when you wrote your rebuttal</p> <p>12 testimony that the staff requested and that Union</p> <p>13 Electric accommodated that request and held more</p> <p>14 than a half day meeting with staff members on or</p> <p>15 about July 22 of this year in St. Louis. Were</p> <p>16 you aware of that?</p> <p>17 A And that was after the testimony</p> <p>18 was filed.</p> <p>19 Q That's right.</p> <p>20 A Yes, I was aware of that.</p> <p>21 Q Why didn't you attend that meeting?</p> <p>22 A I had a conflict and I -- I was --</p> <p>23 wanted to go to that meeting, but I had a</p> <p>24 conflict. And I have looked back at my calendar,</p> <p>25 because I thought you would ask this question,</p>	<p>1 know that I wasn't going to make it to the</p> <p>2 meeting, and I don't think any of us felt that it</p> <p>3 was appropriate at the last minute to cancel it.</p> <p>4 Q You're aware staff has requested</p> <p>5 numerous meetings since this case was filed with</p> <p>6 numerous experts on a moment's notice, moved</p> <p>7 meetings around, asked a lot of questions,</p> <p>8 company's met with a lot of the staff auditors</p> <p>9 and experts. Why wouldn't it be appropriate for</p> <p>10 you to have said, "Hey, this is my area, I know</p> <p>11 Mr. Arora, I ought to be asking these questions.</p> <p>12 I ought to be having this discussion with him,"</p> <p>13 not witnesses who are not nearly as qualified and</p> <p>14 didn't end up filing testimony on the issue?</p> <p>15 MR. DOTTHEIM: I object to the</p> <p>16 question, I think it's argumentative, it assumes</p> <p>17 facts in evidence, the statement about the staff</p> <p>18 has asked for meetings on a moment's notice. Dr.</p> <p>19 Proctor, answer the question, please.</p> <p>20 A Okay. Probably the best way to</p> <p>21 answer your question is -- and I don't -- I don't</p> <p>22 know what the polite thing to do is on meetings</p> <p>23 that have been schedule for a period of time and</p> <p>24 people are preparing for those meetings, I -- I</p> <p>25 assumed that it wasn't proper for me to say,</p>
Page 175	Page 177
<p>1 and I really can't tell you exactly what that</p> <p>2 conflict is. But I, I had a conflict and that's</p> <p>3 why I wasn't able to make it.</p> <p>4 Q You, I'm sure, in staff's view, are</p> <p>5 the most qualified person on the staff to look at</p> <p>6 what Mr. Arora did, analyze it, discuss it</p> <p>7 intelligently; isn't that fair to say?</p> <p>8 A Probably. Yes. That's fair to</p> <p>9 say.</p> <p>10 Q Now, the staff had April and May</p> <p>11 and June and July and August to put its direct</p> <p>12 case together, and you had until October to file</p> <p>13 your rebuttal testimony. What prevented you from</p> <p>14 asking to change the meeting with Mr. Arora, or</p> <p>15 whatever needed to be done so that the person</p> <p>16 that really had the most knowledge would attend a</p> <p>17 meeting, a four or five hour meeting where lots</p> <p>18 and lots of questions were posed and answered by</p> <p>19 Mr. Arora about his analysis?</p> <p>20 A I think the conflict, and I don't</p> <p>21 recall exactly, but I think the conflict came up</p> <p>22 at the last minute, because I -- my recollection</p> <p>23 is that I was planning to attend that meeting,</p> <p>24 and then something came up at the last minute and</p> <p>25 I didn't feel it was appropriate -- I let people</p>	<p>1 "Hey, can we move this meeting because I can't be</p> <p>2 there."</p> <p>3 Q (BY MR. LOWERY) Is it fair to say</p> <p>4 that you were criticizing Mr. Arora on page 6 of</p> <p>5 your rebuttal testimony on the fact that he</p> <p>6 didn't contact you before he filed his testimony?</p> <p>7 A Yes.</p> <p>8 Q Is that the staff's expectation</p> <p>9 that utilities have to contact the staff before</p> <p>10 the utility files its rate case about various</p> <p>11 issues that may come up in the rate case?</p> <p>12 A On something that's being done for</p> <p>13 the first time and that hasn't been done</p> <p>14 previously, to contact the staff, to get the</p> <p>15 staff's input on this particular thing, I think</p> <p>16 would have made a big difference.</p> <p>17 Not, not to make the staff feel</p> <p>18 better, but to, to get input from other</p> <p>19 perspectives on, on how this -- how this -- how</p> <p>20 the uncertainties for these models should be put</p> <p>21 together, and to understand that ahead of time.</p> <p>22 And we've done that, for example,</p> <p>23 we did it in the Midwest ISO case where we were</p> <p>24 working with the cost benefit analysis, obviously</p> <p>25 that came out of an agreement to do it ahead of</p>

45 (Pages 174 to 177)

Page 178	Page 180
<p>1 time.</p> <p>2 But, you know, to me, it's just I</p> <p>3 had made the offer in the previous case, I was</p> <p>4 just telling the commission, that had not</p> <p>5 happened in this case.</p> <p>6 Q Well, Mr. Arora did put together an</p> <p>7 analysis following the steps and the approach</p> <p>8 that you suggested in the last case, did he not?</p> <p>9 You quarrel with how he implemented it, but he</p> <p>10 put together an analysis that was essentially as</p> <p>11 outlined in terms of the approach in your</p> <p>12 testimony in the last case, did he not?</p> <p>13 A Yes.</p> <p>14 Q You know Mr. Arora fairly well?</p> <p>15 A Yes.</p> <p>16 Q You respect his expertise?</p> <p>17 A Yes.</p> <p>18 Q Do you find him to be a reasonable</p> <p>19 utility manager with whom to deal?</p> <p>20 A Yes.</p> <p>21 Q Do you believe he's a person of</p> <p>22 integrity?</p> <p>23 A Yes.</p> <p>24 Q You're not suggesting that he had</p> <p>25 some ill motive or intent in not contacting you</p>	<p>1 attend a meeting about this on July 22, you</p> <p>2 weren't able to make the meeting, but you were</p> <p>3 thinking about this back in July, correct?</p> <p>4 A Yes.</p> <p>5 Q And from July, August, September,</p> <p>6 you didn't contact Mr. Arora to discuss your</p> <p>7 concerns, right?</p> <p>8 A No, I did not. I didn't start</p> <p>9 getting into the depth of this until September.</p> <p>10 Q Well, but that's not Mr. Arora's</p> <p>11 fault, is it?</p> <p>12 A No, I -- this isn't about fault.</p> <p>13 Q Well, you yourself indicate you</p> <p>14 were being critical of Mr. Arora on page 6 of</p> <p>15 your rebuttal testimony.</p> <p>16 A Yeah, and it has to do with meeting</p> <p>17 with the staff before you file the direct. I</p> <p>18 mean, once you file that direct testimony, it --</p> <p>19 and particularly in this case where a lot of</p> <p>20 computer runs went into it, into his analysis, at</p> <p>21 this point he's going to be very reticent to</p> <p>22 change anything and to rerun anything.</p> <p>23 Q Well, you don't know if you don't</p> <p>24 ask the question.</p> <p>25 A I don't know that, you're right.</p>
Page 179	Page 181
<p>1 before he filed his direct testimony?</p> <p>2 A No, I was not.</p> <p>3 Q You said that you think it would</p> <p>4 have made a big difference had that discussion</p> <p>5 taken place. A big difference in what? A big</p> <p>6 difference in the analysis he would have done? A</p> <p>7 big difference in staff's position regarding an</p> <p>8 FAC in this case? What difference would it have</p> <p>9 made?</p> <p>10 A I think it would have made a big</p> <p>11 difference in the analysis that he had done.</p> <p>12 Q Do you have any reason to believe</p> <p>13 -- I'm sorry, go ahead.</p> <p>14 A I think that -- I think it would</p> <p>15 help -- it would have helped this -- the staff in</p> <p>16 understanding what the uncertainties are that</p> <p>17 AmerenUE faces.</p> <p>18 Q You didn't contact Mr. Arora in the</p> <p>19 more than six months between the filing of the</p> <p>20 direct case and the file of your rebuttal case to</p> <p>21 express to him that you had concerns about what</p> <p>22 he did, did you?</p> <p>23 A No, as I indicated, I didn't really</p> <p>24 start working on this until September.</p> <p>25 Q Well, you had scheduled yourself to</p>	<p>1 Q Is that fair? You don't know -- if</p> <p>2 you had -- if you had called Mr. Arora and said,</p> <p>3 "Look, Mr. Arora" -- you probably would have</p> <p>4 said, "Look, Ajay," because you know him</p> <p>5 personally.</p> <p>6 You would have said, "Look, I got</p> <p>7 some severe concerns, why don't we have a</p> <p>8 technical conference? Why don't we sit down and</p> <p>9 talk about this in July or August or September?"</p> <p>10 You don't know that he would have been the least</p> <p>11 bit reticent, do you?</p> <p>12 A I don't know.</p> <p>13 Q In fact, knowing him as you do,</p> <p>14 don't you think he would have sat down with you?</p> <p>15 A Oh, I think he would have, yes.</p> <p>16 Q You said you believe he's a person</p> <p>17 of integrity, you respected his intelligence and</p> <p>18 ability. So if you had made valid points to him,</p> <p>19 and I'm not saying that your points are or are</p> <p>20 not valid, but if you made points that he</p> <p>21 believed to be valid, what leads you to believe</p> <p>22 that he would be reticent to listen to those</p> <p>23 points and perhaps make adjustments based on</p> <p>24 those points?</p> <p>25 A I think it's generally the case</p>

Page 182	Page 184
<p>1 that after you file the position and you've put 2 in testimony and you swear that this is the right 3 and correct thing, it becomes much more difficult 4 to change that. 5 Q Which could apply to your position 6 in this case as well. 7 A Sure. I think it applies to 8 everyone's. That's why -- 9 Q You're going to be much more 10 reluctant if Mr. Arora in his -- 11 MR. DOTTHEIM: Mr. Lowery, I don't 12 think Dr. Proctor had completed his response. 13 Q (BY MR. LOWERY) Go ahead, Dr. 14 Proctor. 15 A I think all my testimony referred 16 to was that I had not been contacted before the 17 company filed its position in this case, and what 18 I am -- you know, I don't know whether he would 19 have changed anything afterwards. 20 I just know generally from my 21 experience in testifying in many rate cases that 22 it becomes more and more -- it becomes more 23 difficult to change something after you have 24 already put it into -- after you have already 25 filed it and said this is your position. That's</p>	<p>1 fuel adjustment clause that you have not told me 2 or that are not reflected in your prepared 3 written testimony filed to date? 4 A Well, look, I, I was asked and came 5 in to look at the specifics related to the 6 analysis that was performed by Mr. Arora. Okay? 7 I am not the staff policy witness on fuel 8 adjustment clause. I may have opinions on those 9 things, but I am not the witness on that, and I 10 am -- so I am not expressing opinions on that 11 either today or in my testimony. 12 Now, if asked those opinions in a 13 hearing about things -- if, if I have an opinion 14 on them, I may very well express those. And 15 there's just too -- 16 Q You don't have an intention to 17 express any particular opinion that you haven't 18 told me, though -- 19 A That's correct. 20 Q -- or that's not reflected in your 21 written testimonies. 22 A That's correct. 23 MR. LOWERY: I think that's all I 24 have. I assume that we're going to waive 25 presentment and read and sign, Steve?</p>
Page 183	Page 185
<p>1 all I'm saying. 2 I'm saying it's much better to meet 3 -- for folks to meet before that point in time to 4 work out differences than to try to work out 5 differences after that point in time. That's all 6 I'm saying. 7 Q Dr. Proctor, do you have any other 8 opinions about AmerenUE's requested fuel 9 adjustment clause that you've not told me today 10 or that are not reflected in your prepared 11 written testimony that you've filed to date? 12 MR. DOTTHEIM: Mr. Lowery, I object 13 to that question as similar in nature of one 14 earlier, much earlier. I don't think -- 15 MR. LOWERY: That he knows of 16 today. 17 MR. DOTTHEIM: -- that, that you -- 18 I don't know that you have a question pending now 19 specifically of the nature, you know, asking, 20 asking him for a particular response. But, Dr. 21 Proctor, if you can respond to Mr. Lowery's 22 question. 23 Q (BY MR. LOWERY) Let me rephrase my 24 question. Have you as of this moment formulated 25 any other opinions about AmerenUE's requested</p>	<p>1 MR. DOTTHEIM: Yes. Yes. 2 MR. LOWERY: And can we stipulate, 3 I think as we've done before, that if the 4 deposition is not signed at the time Dr. Proctor 5 takes the stand, it will be treated as if it is 6 signed? He's obviously going to have an 7 opportunity to read it and sign it, but -- 8 MR. DOTTHEIM: Yes. Yeah. I mean, 9 we've got -- you know, I haven't read what Stu 10 filed so, you know, I don't know if he's gone 11 ahead and -- and when I said "Stu," that's Mr. 12 Conrad -- 13 MR. LOWERY: Why don't we go off 14 the record. Or I mean, unless there's some 15 reason we need to be on the record. I don't 16 think we need to be on the record for this 17 discussion, do we? 18 MR. DOTTHEIM: No, I don't -- I 19 don't think so, other than I really don't have 20 any great need not to be on, on the record for 21 that having started down this road. 22 So if the schedule stays the way it 23 is, Dr. Proctor being as busy as he is and not 24 traveling to Carmel, Indiana, and various sites 25 because of SPP, assuming that the fuel adjustment</p>

47 (Pages 182 to 185)

<p style="text-align: right;">Page 186</p> <p>1 clause issue stays at the end of the hearings, or 2 the second to last week of the hearings, I don't 3 think there's going to be any problem with us 4 having Dr. Proctor review the transcript and him 5 signing and us getting back to you whatever 6 corrections he might have. 7 MR. LOWERY: Well, how about if we 8 stipulate to this. As long as you have the 9 transcript, Steve, five days before Dr. Proctor 10 takes the witness stand, then if for some reason 11 it didn't get signed, we can stipulate that it 12 can be used as if it was. How about that? 13 I have expedited the transcript, 14 you're going to have it soon. 15 MR. DOTTHEIM: Yeah. And so -- and 16 so I fully expect that, that before Dr. Proctor 17 takes the stand, it will be signed and whatever 18 corrections he has to the transcript, you will 19 have. 20 MR. LOWERY: If for any reason that 21 weren't the case, I don't want to be in a 22 situation because I don't control that, you do. 23 MR. DOTTHEIM: Understood. 24 Otherwise -- 25 MR. LOWERY: As long as you have</p>	<p style="text-align: right;">Page 188</p> <p>1 CERTIFICATE OF REPORTER 2 3 I, TARA SCHWAKE, a Registered 4 Professional Reporter and Notary Public within 5 and for the State of Illinois, do hereby certify 6 that the witness whose testimony appears in the 7 foregoing deposition was duly sworn by me; that 8 the testimony of said witness was taken by me to 9 the best of my ability and thereafter reduced to 10 typewriting under my direction; that I am neither 11 counsel for, related to, nor employed by any of 12 the parties to the action in which this 13 deposition was taken, and further that I am not a 14 relative or employee of any attorney or counsel 15 employed by the parties thereto, nor financially 16 or otherwise interested in the outcome of the 17 action. 18 19 20 21 Notary Public in and for 22 The State of Illinois 23 24 My commission expires June 7, 2009 25</p>
<p style="text-align: right;">Page 187</p> <p>1 the transcript five days before he takes the 2 witness stand, if you don't get -- if it hasn't 3 been signed, it can be treated as if it was 4 signed. 5 MR. DOTTHEIM: Yes. 6 MR. LOWERY: Fair enough. 7 MR. DOTTHEIM: Yes. I didn't mean 8 to indicate otherwise. 9 MR. LOWERY: Sure. Okay. Great. 10 MR. DOTTHEIM: You know, again, 11 assuming that we don't have FAC immediately after 12 return on equity, which I don't expect is going 13 to happen, but one never knows. 14 MR. LOWERY: Okay. Thank you, Dr. 15 Proctor. 16 THE WITNESS: Thank you. 17 (Wherein, the taking of the instant 18 deposition ceased.) 19 (Deposition to be read and signed 20 by the witness.) 21 22 23 24 25</p>	<p style="text-align: right;">Page 189</p> <p>1 Midwest Litigation Services 2 711 North 11th Street 3 St. Louis, Missouri 63101 4 Phone (314) 644-2191 * Fax (314) 644-1334 5 6 November 14, 2008 7 Staff of the Commission Office of the 8 General Counsel 9 Missouri Public Service Commission 10 Governor Office Building 11 200 Madison Street, Suite 100 12 Jefferson City, Missouri 65101 13 14 Attn: Mr. Steven Dottheim 15 16 In Re: Union Electric ER-2008-0318 17 18 Dear Mr. Dottheim: 19 20 Please find enclosed your copy of the deposition 21 of MICHAEL PROCTOR, taken on November 13, 2008, 22 in the above-referenced case. Also enclosed is 23 the original signature page and errata sheets. 24 Please have the witness read your copy of the 25 transcript, indicate any changes and/or corrections desired on the errata sheets, and sign the signature page before a notary public. Please return the errata sheets and notarized signature page to Mr. James Lowery for filing prior to trial date. Thank you for your attention to this matter. Sincerely, Tara Schwake, CRR, RPR, CSR Enclosures Cc: Mr. James Lowery</p>

48 (Pages 186 to 189)

MIDWEST LITIGATION SERVICES

www.midwestlitigation.com Phone: 1.800.280.3376

Fax: 314.644.1334

1 STATE OF _____)
 2 COUNTY OF _____)
 3 I, MICHAEL PROCTOR, do hereby certify:
 4 That I have read the foregoing deposition;
 5 That I have made such changes in form
 6 and/or substance to the within deposition as
 7 might be necessary to render the same true and
 8 correct;
 9 That having made such changes thereon, I
 10 hereby subscribe my name to the deposition.
 11 I declare under penalty of perjury that
 12 the foregoing is true and correct.
 13 Executed this ____ day of _____,
 14 2008, at _____.

15 _____
 16
 17 Notary Public
 18 My commission expires: _____
 19

20 _____
 21 MICHAEL PROCTOR
 22

23 TRS/MICHAEL PROCTOR, 11/13/08
 24 In Re: Union Electric ER-2008-0318
 25

1 WITNESS ERRATA SHEET

2 Witness Name: MICHAEL PROCTOR
 3 Case Name: Union Electric ER-2008-0318
 4 Date Taken: 11/13/08
 5

6 Page #_____ Line #_____
 7 Should read: _____
 8 Reason for change: _____
 9

10 Page #_____ Line #_____
 11 Should read: _____
 12 Reason for change: _____
 13

14 Page #_____ Line #_____
 15 Should read: _____
 16 Reason for change: _____
 17

18 Page #_____ Line #_____
 19 Should read: _____
 20 Reason for change: _____
 21

22 Page #_____ Line #_____
 23 Should read: _____
 24 Reason for change: _____
 25 Witness signature: _____

1 STATE OF MO)

2 COUNTY OF St Louis)

3 I, MICHAEL PROCTOR, do hereby certify:

4 That I have read the foregoing deposition;

5 That I have made such changes in form
6 and/or substance to the within deposition as
7 might be necessary to render the same true and
8 correct;

9 That having made such changes thereon, I
10 hereby subscribe my name to the deposition.

11 I declare under penalty of perjury that
12 the foregoing is true and correct.

13 Executed this 4th day of December,
14 2008, at St Louis, MO.

15

16

17

Notary Public

18

My commission expires: 10/28/11

19

20

21

22

23

24

25

JAMES PENNINGROTH
Notary Public, Notary Seal
State of Missouri
St. Louis County
Commission # 07389617
My Commission Expires October 28, 2011

Michael S Proctor
MICHAEL PROCTOR

TRS/MICHAEL PROCTOR, 11/13/08

In Re: Union Electric ER-2008-0318

1 WITNESS ERRATA SHEET

2 Witness Name: MICHAEL PROCTOR

3 Case Name: Union Electric ER-2008-0318

4 Date Taken: 11/13/08

5

6 Page # 145 Line # 10

7 Should read: CTGs

8 Reason for change: not: PTDs

9

10 Page # 147 Line # 12 and 21

11 Should read: Cinergy

12 Reason for change: not: synergy

13

14 Page # 133 Line # 7

15 Should read: net fuel

16 Reason for change: not: that fuel

17

18 Page # 107 Line # 7

19 Should read: '06

20 Reason for change: not: '6

21

22 Page # Line #

23 Should read:

24 Reason for change: