

00073

1 STATE OF MISSOURI
2 PUBLIC SERVICE COMMISSION
3
4 TRANSCRIPT OF PROCEEDINGS

5 Arbitration Hearing
6 January 25, 2006
7

8 Jefferson City, Missouri
9 Volume 2
10

11

12 In the Matter of the Petition for)
Arbitration of Unresolved Issues)
13 in a Section 251(b) (5) Agreement) Case No. TO-2006-0147
with T-Mobile USA, Inc.)

14
15 In the Matter of the Petition for)
Arbitration of Unresolved Issues)
in a Section 251(b) (5) Agreement) Case No. TO-2006-0151
16 with Cingular Wireless)

17

18 KENNARD L. JONES, Presiding,
REGULATORY LAW JUDGE.

19

20

21

22

23 REPORTED BY:

24 KELLENE K. FEDDERSEN, CSR, RPR, CCR
MIDWEST LITIGATION SERVICES

25

1 APPEARANCES:
2 W.R. ENGLAND III, Attorney at Law
3 BRIAN T. MCCARTNEY, Attorney at Law
4 MELISSA MANDA, Attorney at Law
5 Brydon, Swearngen & England, P.C.
6 312 East Capitol
7 P.O. Box 456
8 Jefferson City, MO 65102-0456
9 (573) 635-7166

10 FOR: Petitioners.
11
12 PAUL WALTERS, JR., Attorney at Law
13 15 East 1st Street
14 Edmond, OK 73034
15 (405) 359-1718

16 FOR: Cingular Wireless.
17
18 MARK P. JOHNSON, Attorney at Law
19 ROGER STEINER, Attorney at Law
20 Sonnenschein, Nath & Rosenthal
21 4520 Main Street, Suite 1100
22 Kansas City, MO 64111
23 (816) 460-2424

24 FOR: T-Mobile USA.
25

1 P R O C E E D I N G S

2 JUDGE JONES: This is the arbitration
3 hearing for Case No. TO-2006-0147, in the matter of
4 petition for arbitration of unresolved issues in a
5 Section 251(b)(5) agreement with T-Mobile USA,
6 Incorporated. I may add that this case has been
7 consolidated with four other cases, which were
8 TO-2006-0148, 0149, 0150 and 0151. I'm sorry. This
9 wasn't on, was it?

10 The Respondents were at the beginning of
11 this proceeding U.S. Cellular, Sprint PCS, T-Mobile,
12 Cingular and NexTel Wireless. T-Mobile and Cingular are
13 the only two of the five that remain.

14 My name is Kennard Jones. I am the
15 Regulatory Law Judge that will be conducting these
16 proceedings. Sitting on my right is Marc Poston, on my
17 far left is Bill Voight, and to my immediate left is
18 Natelle Dietrich. These persons are my advisory staff and
19 may also ask questions of the witnesses during these
20 proceedings.

21 Also, I understand that there was a request
22 for an expedited transcript. That's the norm in these
23 proceedings. I suppose it might be best for us to decide
24 how fast we need it after the hearing is completed. That
25 way we'll know how much time is needed for Briefs and

1 whatnot.

2 At this time I will take entries of
3 appearances, beginning with Petitioner.

4 MR. ENGLAND: Thank you, your Honor. Let
5 the record reflect the appearance of W.R. England,
6 Brian T. McCartney and Melissa Manda on behalf of the
7 Petitioners in both arbitration cases against T-Mobile and
8 Cingular. The Petitioners are a little bit different in
9 each of the cases. The majority of the Petitioners,
10 though, are the same, and they are specifically identified
11 in our written entry of appearance. Our post office is
12 Box 456, Jefferson City, Missouri 65102. Thank you.

13 JUDGE JONES: Thank you, Mr. England. And
14 for T-Mobile?

15 MR. JOHNSON: May it please the Arbitrator?
16 Appearing on behalf of T-Mobile USA in Case
17 No. TO-2006-0147 are Mark Johnson and Roger Steiner of the
18 law firm Sonnenschein, Nath & Rosenthal. Our mailing
19 address is 4520 Main Street, Suite 1100, Kansas City,
20 Missouri 64111.

21 JUDGE JONES: Thank you, Mr. Johnson. And
22 for Cingular Wireless?

23 MR. WALTERS: Your Honor, my name is Paul
24 Walters, Junior, representing Cingular Wireless. My
25 mailing address is 15 East First Street, Edmond,

1 E-d-m-o-n-d, Oklahoma 73034.

2 JUDGE JONES: Thank you, Mr. Walters.

3 Also, before we get started, I note that Fidelity filed a
4 notice of voluntary dismissal. Is that all the Fidelity
5 companies or one of them?

6 MR. ENGLAND: The notice of dismissal was
7 filed by Fidelity Telephone Company, the incumbent local
8 exchange carrier. It's our understanding that with
9 respect to the arbitration with T-Mobile, the Fidelity
10 competitive local exchange carriers, or CLECs, have
11 already been dismissed at the motion of T-Mobile.

12 And while I'm not sure that you've ruled
13 directly on Cingular's motion, we anticipate the same
14 result in the Cingular arbitration.

15 JUDGE JONES: Well, now that you bring
16 that --

17 MR. ENGLAND: I'm sorry. I misspoke. In
18 the Cingular arbitration, neither Fidelity the incumbent
19 LEC or Fidelity the competitive LEC is a petitioner. They
20 have agreements with Cingular.

21 JUDGE JONES: Okay. Now, I realize that
22 Cingular filed a motion to dismiss the CLECs. However,
23 their motion specifically went to the claims that the
24 CLECs filed and that the motion was therefore denied. How
25 we'll proceed with that I guess depends on Cingular.

1 I also understand that you-all want to do
2 opening statements.

3 MR. ENGLAND: That is correct, your Honor.

4 JUDGE JONES: Between the several of you,
5 have you agreed to time frames for those opening
6 statements?

7 MR. ENGLAND: My understanding is that
8 Petitioners would have approximately one-half hour or no
9 more than one-half hour to provide an opening, and that
10 Respondents would split a half an hour.

11 MR. JOHNSON: And that's our understanding
12 as well, your Honor.

13 JUDGE JONES: Thank you. Is there anything
14 else we need to discuss before opening statements?

15 (No response.)

16 JUDGE JONES: Hearing nothing, we'll
17 proceed with opening statements from Petitioners.

18 MR. ENGLAND: Thank you, your Honor.
19 Judge, members of the arbitration panel, may it please the
20 Commission? My name is Trip England. I represent the
21 Petitioners in these two arbitration cases that have been
22 consolidated before the Commission.

23 In the first arbitration case, at least
24 first chronologically, approximately 23 small rural local
25 exchange companies have sought arbitration of a traffic

1 termination agreement with T-Mobile, and in the second
2 arbitration case, approximately 25 small rural ILECs have
3 sought arbitration with Cingular. As I mentioned to you
4 in my appearance, not all of the Petitioners are the same
5 in both arbitrations, but there is a commonality among a
6 majority of the Petitioners.

7 As you noted in your preliminary remarks,
8 Judge, petitions were also filed by various groups of
9 small rural ILECs against U.S. Cellular, Sprint and
10 NexTel. We have reached agreement with U.S. Cellular, and
11 most if not all of those agreements have been reduced to
12 writing and filed with the Commission for its approval,
13 and, in fact, I believe the Commission has begun issuing
14 orders approving a number of those agreements with U.S.
15 Cellular.

16 Sprint and NexTel agreements have been
17 reached in principle, but the final agreement has not been
18 reduced to writing, but we anticipate doing that in the
19 next several weeks and begin submitting that to the
20 Commission for approval. So for purposes of arbitration,
21 we believe the only two wireless carriers left are
22 T-Mobile and Cingular.

23 We've also continued to negotiate with
24 T-Mobile and Cingular throughout this process since the
25 filing of the petitions for arbitration, and several of

1 the issues have been resolved, although a number of issues
2 remain unresolved, and they have been set forth in the
3 Joint Issues Matrix that was filed with the Commission, I
4 believe, last week.

5 The Joint Issues Matrix lists approximately
6 31 issues, and that's rather -- a rather large number of
7 issues. However, you need to consider that or keep in
8 mind that approximately the first 13 relate to the
9 appropriate rate for transport and termination of intraMTA
10 wireless traffic, and then the next issues, at least 14
11 through 17, are common issues between Petitioners and
12 T-Mobile and Cingular.

13 Issues 18 to 24 are Petitioners (sic) that
14 are unique between Petitioners and Cingular, and finally
15 Issues 25 through 26 are unique to Petitioners and
16 T-Mobile. And in some instances you will see, I believe
17 there may not really be much if any difference between the
18 parties on that, and hopefully all of this will shake out
19 and become clear as we submit Briefs in this matter.

20 For purposes of my opening statement, I'm
21 not sure that I can do justice to all of the remaining
22 contested issues, but I do want to address what I consider
23 to be the more significant, if you will, issues. My
24 failure to address some doesn't mean we don't believe
25 strongly in our position. I just didn't think I had

1 enough time to deal with that this morning in my opening
2 statement.

3 The first issue, as I mentioned, in -- the
4 first 13 issues, if you will, in the Joint Issues Matrix
5 relate to the appropriate rate for transport and
6 termination of intraMTA traffic. Petitioners have
7 proposed a uniform rate of 3.5 cents per minute for this
8 traffic. That would be reciprocal to the extent
9 Petitioners send traffic to Respondents T-Mobile and
10 Cingular and for which they are responsible for sending
11 that traffic, they would pay a similar amount of 3.5
12 cents.

13 The 3.5 cents is supported by
14 forward-looking cost studies which Petitioners have
15 prepared and were filed at the outset of this petition.
16 Those forward-looking costs are based on a forward-looking
17 cost model known as the HAI model. It's Model No. 5.0A,
18 and as I indicated, those -- those studies, the model
19 documentation, et cetera, have been filed with the
20 Commission.

21 Those models were run for each of the
22 Petitioners in each of these cases. However, Petitioners
23 have viewed them as a whole, if you will, and looked at
24 the average cost per minute for the Petitioners in each of
25 the cases, and it approximates about 8 cents a minute.

1 But as I indicated, Petitioners are proposing for purposes
2 of arbitration that the rate be set at 3.5 cents a minute.

3 And, of course, the first question you ask
4 yourselves is, if your costs are legitimately at 8 cents a
5 minute, why would you be willing to accept 3.5 cents a
6 minute? The answer is very simple. Under the
7 Telecommunications Act, we are required to offer the
8 wireless carriers the same rates, terms and conditions
9 that we have in negotiated or arbitrated agreements with
10 other wireless carriers to requesting wireless carriers.

11 Petitioners have over -- I'm not sure of
12 the exact number. It's well over 50 or 60 approved
13 agreements that have been filed with this Commission,
14 approved by this Commission, establishing a rate of
15 3.5 cents a minute for this traffic. Even if we'd like to
16 ask for and receive 8 cents a minute for this traffic,
17 T-Mobile and Cingular could simply opt into the existing
18 agreements at 3.5 cents a minute under the most favored
19 nations clauses of the Telecommunications Act.

20 Respondents have also put cost information
21 into the record. Essentially they've taken the HAI model
22 documentation that Petitioners have used and input their
23 own assumptions and/or variables, and in eight or nine key
24 respects they have produced costs, forward-looking costs
25 that they believe are appropriate for Petitioners in the

00083

1 range of one-quarter of 1 percent to approximately 1.47
2 cents per minute.

3 Respondents first argue that the HAI model
4 used by Petitioners is inappropriate, but the Commission
5 needs to understand that this HAI model has been around
6 for a long period of time, since the late '90s, certainly
7 since the advent of the Telecommunications Act and the
8 requirement to base rates for the exchange of local
9 traffic on forward-looking economic costs.

10 The HAI Model 5.0A is widely known, it's
11 widely used. It's been offered and discussed and debated
12 and examined in a number of proceedings before the state
13 public service commissions, as well as before the FCC.
14 It is a publicly available model, and it has been used by
15 Petitioners before. If you will recall, Petitioners
16 sought and obtained approval from this Commission in
17 approximately February of 2001 for wireless termination
18 tariffs.

19 In the context of the contested hearings
20 that led up to that approval, Petitioners submitted HAI
21 cost studies for each of them to support, among other
22 things, the tariff rate that they were proposing in that
23 case. This HAI model was also used by the Alma group in
24 its arbitration with T-Mobile that the Commission heard in
25 approximately the summer of 2005, and I believe issued a

1 decision in late September of 2005.

2 It's also important to consider that the
3 HAI model was initially commissioned by AT&T, and it was
4 later supported by both AT&T and MCI throughout the
5 country as the appropriate model to determine the
6 forward-looking economic costs for the regional Bell
7 operating companies. If anything, the HAI model is biased
8 against incumbent local exchange companies.

9 Respondents next argue that Petitioners
10 cannot propose a uniform, or what they refer to as a
11 blanket rate, but must support their rate with individual
12 cost studies. As I've indicated, we have submitted
13 individual cost studies, but they vary widely from
14 Petitioner to Petitioner, and most of these Petitioners
15 are small rural exchanges -- excuse me -- small rural
16 companies serving a limited number of exchanges.

17 And in order to, we believe, obtain a
18 better barometer of the costs of providing service in
19 these rural communities, we have averaged the cost
20 studies, as I indicated previously, and determined an
21 average rate or cost of approximately 8 cents a minute.
22 We believe as long as Petitioner is proposing rates that
23 are at or below this average cost, we are well within the
24 guidelines and appropriateness of forward-looking economic
25 costs as required by the Telecommunications Act and the

1 FCC.

2 What are some of Respondents' specific
3 criticisms with respect to the model? Well, they
4 challenge the cost of switching that Petitioners have
5 input into the model. The Petitioners have used an input
6 value for switch costs that is approximately 28 percent
7 less than their actual embedded investment.

8 Since most of Petitioners' current digital
9 switches were placed in service in the last five to ten
10 years, we believe that current embedded costs are a
11 reasonable approximation of the current cost of digital
12 switching. Nevertheless, to reflect some economies and
13 efficiencies that have occurred over time, Petitioners
14 have decreased that value, if you will, by 28 percent.

15 Respondents on the other hand have input a
16 different value for switch costs. They've looked at the
17 FCC decision in a universal service docket in 1999 and
18 obtained costs for both host and switching equipment, and
19 then reduced that by 12 percent or deflated that by
20 12 percent.

21 The problem with Respondents' position is
22 that the FCC costs that they use to -- benchmark costs for
23 switches for small telephone companies is actually a cost
24 for rural and non-rural companies. In other words, the
25 FCC costs are not small company or rural company specific,

1 but contain a number of variables and costs -- excuse
2 me -- that are incurred by large regional Bell operating
3 companies.

4 The Petitioners -- excuse me. The
5 Respondents' use of a 12 percent deflater is also
6 misleading, and you only have to look at the Cass County
7 example that is in their testimony to realize this. In
8 Respondents' testimony, they acknowledge that Cass County
9 currently has an original investment in its switching
10 equipment of \$6.1 million.

11 As you know, Cass County Telephone Company
12 did not come into being until 1996. So all of its
13 switches were placed in service in the 1996 to 1999 time
14 frame. The Petitioners' input value for Cass County,
15 their own value is approximately 3 million or nearly
16 50 percent less than the original of Cass County switches.

17 Respondents' value, however, is
18 \$1.8 million, or nearly 70 percent reduction in the
19 original cost of switching equipment for Cass County
20 Telephone Company. So as I said, their 12 percent
21 deflater is a bit misleading.

22 There's also an issue with respect to how
23 much of the switching costs are traffic sensitive versus
24 non-traffic sensitive. And this is an important issue
25 because, generally speaking, switch costs that are traffic

1 sensitive are recovered on a usage basis and recovered
2 from carriers such as Respondents. Costs that are
3 classified as non-traffic-sensitive costs are not
4 recovered on a usage basis and generally, at least in the
5 case of Petitioners, are recovered from their end user
6 customers.

7 In this case, Petitioners have used the HAI
8 default input value for allocation of costs between
9 traffic-sensitive and non-traffic-sensitive, and that
10 input value is 70 percent. In other words, 70 percent of
11 the switch costs have been allocated to traffic-sensitive
12 and 30 percent to non-traffic-sensitive.

13 Respondents on the other hand have used
14 their own input value, and essentially it approximates
15 10 percent. In other words, they would allocate only
16 10 percent of the switch costs to traffic-sensitive costs
17 and allocate 90 percent to non-traffic-sensitive costs or
18 essentially to Petitioners' end user customers.

19 Now, Respondents base their position in
20 this particular issue on the assumption or on their belief
21 that there has been a change in the pricing of switches by
22 vendors over the last several years and a change in the
23 technology of the switches. We do not believe there's
24 been a change in the technology. The switches that we
25 were buying five years ago are essentially the same

00088

1 switches we are buying today.

2 And the evidence will show that the prices
3 we are paying for those switches are constructed or
4 offered in the same manner to small companies as they had
5 been five or more years ago. In other words, if there has
6 been a change in pricing for the switches, it has occurred
7 with the large RBOCs and is still -- has not worked its
8 way down to the small telephone companies.

9 The next big difference between the
10 Petitioners and the Respondents in the overall cost is the
11 cost of transport. Again, Petitioners have used the HAI
12 default assumptions and values in this case, and do so
13 because the FCC mandates that you must model a
14 forward-looking efficient network design.

15 Some people have referred to it as a
16 scorched earth or scorched node approach, where the
17 existing architecture is really largely irrelevant, with
18 the exception of where your wire centers are. And the
19 question you have to ask yourself is, how would I
20 construct that network if I had to start all over again
21 and what would be the most efficient way to do that?

22 In this case, the HAI model assumes that
23 Petitioners will have to, and independent companies like
24 Petitioners will have to build and construct facilities to
25 connect with the Bell operating company network at Bell

1 operating company wire centers or exchanges. In other
2 words, the HAI model does not assume that regional Bell
3 operating companies like SBC will in the future continue
4 to build and maintain facilities beyond their exchange
5 boundaries and out into the areas served by the
6 independent telephone companies.

7 We believe this is an appropriate
8 assumption, and we have encountered that very fact most
9 recently with Ellington Telephone Company, and that is
10 discussed in Mr. Schoonmaker's testimony.

11 The Petitioners on the other hand, while
12 they claim they want to use forward-looking costs, have
13 based their transport costs largely on the existing
14 network architecture, not a forward-looking architecture,
15 but what's there today. And they have assumed, then, that
16 Southwestern Bell or SBC will continue to own, operate and
17 maintain the facilities that are in Petitioners' areas and
18 Petitioners' exchanges.

19 Another issue with respect to transport
20 costs is that Respondents hypothecate a significantly
21 increased number of minutes of use, which further drives
22 down their proposed transport rates, particularly on a per
23 minute of use basis, in some instances driving it down --
24 or excuse me -- hypothecating minutes that are anywhere
25 from seven to ten times as many minutes as Petitioners are

1 actually experiencing.

2 The end result of Petitioners' cost study
3 undermines the credibility of that study. They have
4 produced costs of less than one minute, in the case of
5 Granby Telephone Company, one-quarter of one cent per
6 minute, but Respondents have produced costs of less than
7 one cent a minute for 16 of the 20 Petitioners.

8 The Commission needs to keep in mind that
9 the approved interconnection agreements on file with this
10 Commission between T-Mobile and SBC and Cingular and SBC
11 call for a termination rate of a penny a minute.
12 The Petitioners cost -- excuse me. I'm getting
13 Petitioners and Respondents confused.

14 The Respondents' cost studies suffer from
15 the same criticism that was levelled against their cost
16 study in the recent Alma arbitration case, and this
17 Commission found it is counterintuitive to conclude the
18 forward-looking costs of Alma, Chariton Valley,
19 Mid-Missouri and Northeast would be less than those of
20 SBC. And then I skip a couple of lines, and they
21 concluded, the Petitioners' costs to serve those exchanges
22 would be at least as high as the costs that a regional
23 Bell operating company such as SBC would have to serve --
24 would have, rather, to serve its exchanges.

25 We would submit the same logic in the Alma

00091

1 case would apply here.

2 Let me move on to a couple of the other
3 issues, what I'll call non-cost issues. We have issues
4 with respect to both Respondents regarding what we have
5 termed pre-tariff traffic. This is traffic that was
6 terminated by T-Mobile, by Cingular to Petitioners'
7 exchanges during the period of time roughly February of
8 1998 to February of 2001.

9 This period, as I said, has been referred
10 to as a pre-tariff period. Our wireless tariffs became
11 effective in February of 2001, and in February of 1998 the
12 Commission relieved Southwestern Bell of any obligation to
13 pay us for wireless traffic that they terminated to us.
14 So we had a three-year period where Petitioners were not
15 being paid for this traffic, despite the fact that when
16 the Commissioner -- the Commission relieved SBC of their
17 obligation to pay Petitioners for this traffic, they
18 expressly instructed the wireless carriers not to send
19 that traffic to third-party exchanges such as Petitioners
20 without having an agreement beforehand to do so.

21 This issue has always been an issue in any
22 of our negotiations with the wireless carriers, and that
23 is true with T-Mobile and Cingular. We have always
24 maintained that this period of time and payment for
25 traffic that was delivered during this period of time has

1 to be resolved as part of the negotiations.

2 We are mindful of the recent Supreme Court
3 decision that says access tariffs -- I guess affirmed,
4 excuse me, the Commission decision that says access
5 tariffs would not apply to this traffic for this period of
6 time.

7 In this case, we are simply asking that
8 whatever the Commission determines is the appropriate
9 rates, terms, conditions for wireless traffic between
10 Petitioners and Respondents on a go-forward basis be
11 applied to this three-year period of time.

12 Another issue that Petitioners have, this
13 time only with T-Mobile, relates to the period of the
14 payment for traffic that has been delivered by T-Mobile
15 and for which it has refused to pay, roughly the period of
16 time February 2001 when our tariffs became effective, our
17 wireless tariffs became effective, and April 29th, 2005
18 when the FCC told us that their wireless tariffs were no
19 longer appropriate. We've referred to this, perhaps
20 inappropriately, but nevertheless referred to it as
21 post-tariff traffic.

22 And the issue here is, is T-Mobile allowed
23 to take advantage of an interconnection agreement through
24 these arbitrations and obtain favorable, if you will,
25 rates, terms and conditions for terminating traffic on a

1 go-forward basis and at the same time able to essentially
2 ignore this Commission's directives regarding payment for
3 traffic during the period of time wireless tariffs were in
4 effect, ignore the Missouri Court of Appeals' decision
5 affirming this Commission's decision approving those
6 tariffs, and ignore the FCC decision issued in February of
7 2005 that said these tariffs were appropriate, at least up
8 until April 29th of 2005.

9 We believe this is a proper issue for
10 arbitration. We believe the Commission has the ability to
11 condition implementation of any agreement they arbitrate
12 in this case upon payment of that traffic or for that
13 traffic. Stated another way, until T-Mobile lives up to
14 their obligations and pays for the traffic pursuant to the
15 Commission's lawfully approved tariffs, they should not be
16 allowed to terminate traffic over the Bell transit
17 facilities and find alternative ways by using
18 interexchange carriers for terminating that traffic.

19 And by the way, they can do that. In
20 approximately December of 2004, the Petitioners or some of
21 the Petitioners implemented blocking procedures on
22 T-Mobile's traffic. There was no disruption of traffic.
23 It continued to flow to Petitioners' exchanges. It just
24 came over different trunk groups. It no longer came over
25 SBC's transit facilities, but came over IXC facilities.

1 Another issue that we have is what we've
2 referred to as the interexchange carrier traffic issue or
3 IXC traffic issue. And essentially this involves a
4 question of what are Petitioners' obligations to pay
5 reciprocal compensation on traffic that goes from their
6 exchanges to the wireless carriers and is within the MTA
7 or major trading area?

8 Those calls typically today are carried by
9 interexchange carriers. Because they are carried by
10 interexchange carriers, they are not Petitioners' traffic.
11 Petitioner does not have a customer relationship with
12 their end user at that point. The IXC has a customer
13 relationship with that end user. The IXC bills that end
14 user for that toll call to call the wireless customer.
15 The IXC is responsible for terminating that call to the
16 wireless carrier, and it is responsible for paying the
17 wireless carrier for that termination service.

18 We do not dispute that we have a reciprocal
19 compensation obligation for traffic that we originate and
20 terminate under our responsibility, in other words,
21 pursuant to our tariffs. For example, several of the
22 Petitioners are located in the Commission's mandated
23 metropolitan calling areas, and to the extent their
24 customers use their MCA service to place calls to wireless
25 customers, we recognize an obligation to pay reciprocal

1 Commission's recently enacted enhanced record exchange
2 rule that recognizes the originating carrier is the one
3 responsible for compensating all the carriers on the route
4 of the call, and that would include the terminating
5 carriers such as wireless carriers.

6 Finally I would point out and the record
7 will reflect that SBC handles traffic in that regard. In
8 other words, SBC does not believe it has a reciprocal
9 compensation obligation on traffic it hands off, or rather
10 its customers hand off, if you will, to interexchange
11 carriers for completion to wireless carrier customers.

12 A related issue to the IXC issue is the
13 appropriate traffic ratio or traffic factor. Neither
14 Respondents nor Petitioners are able to measure the
15 traffic they exchange on a regular basis. Accordingly,
16 they agree to traffic factors to reflect mobile-to-land/
17 land-to-mobile traffic. Those factors are initially
18 established in the interconnection agreement, and
19 typically there are provisions in the agreement to update
20 those factors if one or both parties believe that they
21 have become inappropriate or inaccurate over time.

22 And by the way, we have no objection -- if
23 we're going to establish a traffic factor, we have no
24 objection to including language in the interconnection
25 agreement that would allow for the adjustment of those

1 factors in the future by either party.

2 We don't think that the traffic ratio is as
3 big of an issue for us, if you believe our position with
4 respect to IXC-carried traffic. If you believe that most
5 of the traffic, if not all of the traffic, from our
6 exchanges to interexchange carriers is carried -- excuse
7 me -- to wireless carriers is carried by interexchange and
8 they have the responsibility for paying terminating
9 compensation, then in most instances, the MCA case being
10 the notable exception, Petitioners would have a traffic
11 factor of 100 to zero. In other words, all of the traffic
12 is coming from wireless carriers to them, but there is no
13 traffic going from them for which they are responsible to
14 wireless carriers.

15 If, however, you disagree with us and if,
16 however, you believe or the Commission believes that we
17 are responsible for this IXC-carried traffic that goes
18 from our customers to wireless carriers, several of our
19 Petitioners have performed special studies to determine
20 what those traffic ratios ought to be, and they are
21 contained in the charts attached to the testimony of
22 Mr. Schoonmaker.

23 On average, however, what we have found is
24 that, for T-Mobile, the traffic factor is 84/16. In other
25 words, 84 percent of total traffic is coming from T-Mobile

1 to Petitioners, and 16 percent is going from Petitioners
2 to T-Mobile.

3 In the case of Cingular, the average is
4 83/17. 83 percent of the total traffic is coming from
5 Cingular, and 17 percent of the total traffic is coming
6 from Petitioners. And again, that is if you examine all
7 intraMTA traffic coming over both Bell's facilities and
8 interexchange carriers' facilities. Cingular has provided
9 their own cost studies. Their average is 79 percent and
10 21 percent, not too much different than what Petitioners
11 have calculated.

12 T-Mobile's study, by their own admission,
13 is not reliable. They readily admit that they are not
14 able to capture all of the traffic. Nevertheless, their
15 study shows a 75/25 factor or ratio, if you will,
16 75 percent coming from T-Mobile, 25 percent coming from
17 Petitioners. However, that's not their position for
18 purposes of this case. They want you to accept,
19 arbitrarily in my opinion, a 65/35 because that is some
20 sort of industry standard and because they can't capture
21 all of the traffic.

22 The impact or the import of a traffic
23 factor is, if you haven't already figured out, the closer
24 the traffic factor gets to 50/50, the less of an
25 obligation wireless carriers have to pay for this traffic

00099

1 in a net arrangement or a netting arrangement. So if
2 we're going to set traffic factors in this case, we
3 believe our traffic studies are the most appropriate for
4 doing that. We believe they're consistent with other
5 traffic studies that have been submitted in the Alma
6 arbitration case and the BPS complaint case which this
7 Commission has adopted in the past.

8 We have another issue, switching gears
9 entirely, with Cingular only, and that is what I call the
10 virtual NXX issue. And in order to explain this issue,
11 I'm going to have to use a copy of the MTIA exchange
12 boundary map for Missouri.

13 And essentially the issue with us and
14 Cingular on this is that Cingular wants us to provide
15 local dialing from our customers to their customers where
16 they obtain a locally rated NPA/NXX in our exchange. The
17 problem is Cingular will not have an interconnection or
18 point of presence in our exchange. So they want our
19 customers to be able to dial them locally, but we have no
20 means of getting that call to them unless we purchase or
21 otherwise lease or construct facilities to connect with
22 them in a remote location.

23 Using the map as an example, let's take
24 New Florence Telephone Company, approximately 100 miles
25 west of St. Louis. Cingular says to the LERG adminis--

1 respect to this issue. When a similar issue was raised in
2 an arbitration between Mid-Missouri Cellular and
3 Southwestern Bell several years ago, the Commission
4 specifically got to the question of how do you
5 characterize or what calls will be local from Bell's
6 customers to Mid-Missouri Cellular's, and they imposed a
7 two-prong test.

8 The first is that you have to have -- the
9 wireless carrier, excuse me, has to have a locally rated
10 NPA/NXX. That's not an issue here. Bell agrees to that.
11 Excuse me. Cingular agrees to that.

12 The other thing you have to have is local
13 direct interconnection. When you have those two things,
14 in other words, you've got a number rated in
15 New Florence's exchange and the wireless carrier has local
16 intersection directly in the New Florence exchange, then
17 you can have local dialing. We agree with that result.
18 We think it's appropriate here as well.

19 Another case you need to keep in mind is
20 the recent suspension and modification that this
21 Commission has awarded, if you will, to Petitioners
22 regarding local number portability. The same issue has
23 come up in that regard where New Florence's customer, for
24 example, terminates service with a landline company, with
25 New Florence Telephone Company, ports that number to

1 Cingular, but Cingular doesn't have any facilities in
2 New Florence to pick that call up. So in order to port
3 that call, New Florence is required to carry it to
4 St. Louis and interconnect with Cingular or deliver it to
5 Cingular at that point.

6 This Commission has exempted Petitioners
7 from that type of requirement in a local number
8 portability situation, recognizing the extreme burden,
9 cost, if you will, associated with transporting these
10 calls throughout the LATA to remote locations. I would
11 submit to you that that reasoning and that result ought to
12 govern here.

13 We also have an issue with Cingular on
14 direct versus indirect interconnection. Cingular proposes
15 in four rather short, brief paragraphs to put provisions
16 in this agreement that would deal with direct
17 interconnection.

18 That is, even though Cingular has not
19 requested direct interconnection, there is no direct
20 interconnection today between Cingular and Petitioners,
21 and I believe with traffic volumes to and from Petitioners
22 today it would not justify direct interconnection, but in
23 essence they want sort of a placemark in our agreements
24 that if at some point in the future they want to direct
25 interconnect, they have to be able to do so through these

1 interconnection agreements.

2 The problem with that is that the
3 Petitioners have an exemption from direct interconnection.
4 Direct interconnection is governed by 251(c)(2) of the
5 Telecommunications Act. And under 251(f), rural telephone
6 companies like Petitioners have an automatic exemption
7 from direct interconnection until, unless and until the
8 requesting carrier, in this case it could be Cingular, has
9 made that -- made a bona fide request for direct
10 interconnection, has made that request with the State
11 Commission, and the State Commission has found that that
12 direct interconnection is not unduly economically
13 burdensome and it is technically feasible.

14 Cingular has not issued that bona fide
15 request. As I mentioned to you, they have not made any
16 requests, have none today, have no plans in the immediate
17 future. But nevertheless they want to circumvent, if you
18 will, Petitioners' rural exemption and include provisions
19 in this contract for direct interconnection when and if
20 that may occur.

21 Several of the Petitioners do have direct
22 interconnection agreements with wireless carriers. We
23 have found those interconnection agreements to be highly
24 company specific, depending on the way in which the
25 wireless carrier wants to directly interconnect, where it

1 wants to interconnect and things of that nature. We are
2 not adverse to negotiating direct interconnections. We
3 just don't believe it is appropriate to circumvent the
4 requirements of the Act or to deal with direct connection
5 in four general or generic paragraphs that do not reflect
6 the specific circumstances of what that direct connect may
7 be.

8 The Petitioners, as I said, have several
9 issues with the wireless carriers that I have not
10 addressed, but in recognition of the time and the fact
11 that this is going to be a fairly long process and we, as
12 I understand, are going to be filing Briefs, we'll reserve
13 our positions with respect to the testimony and the Briefs
14 on those issues, sir. Thank you very much.

15 JUDGE JONES: Thank you, Mr. England. Now
16 we'll hear from T-Mobile or Cingular. I don't know if
17 you-all have decided between the two of you who will go
18 first.

19 MR. WALTERS: Cingular will go first.

20 JUDGE JONES: All right.

21 MR. WALTERS: Your Honor, ladies and
22 gentlemen of the Staff, my name is Paul Walters, Junior.
23 I'm from Edmond, Oklahoma, but I'm a member of the
24 Missouri, Oklahoma and Texas Bar Associations and practice
25 in all three states. I'm representing Cingular Wireless

1 today in this proceeding. Mr. Mark Johnson is
2 representing T-Mobile, and we have decided to divide up
3 the issues.

4 I will be speaking only on the rate and the
5 cost issue. Mr. Johnson will be speaking on the non-rate
6 and non-cost issues. And again, we will not discuss every
7 issue on the matrix in the interest of time. As
8 Mr. England said, that does not mean we don't think the
9 issues are important. We will simply brief them fully
10 when the briefing schedule comes.

11 The primary thing we will be doing in this
12 hearing is setting an appropriate rate by which the
13 wireless carriers will compensate the small independent
14 rural LECs in Missouri. And what all of us want to do,
15 myself, Mr. England, Mr. Johnson, everyone here, is do the
16 right thing, in other words, get the rate right. That's
17 what we all want to do, and the way to do that is to
18 follow what the FCC regulations require. The law tells us
19 how to get the rate right, and that's what we all want to
20 do.

21 Now, the Petitioners, as Mr. England said,
22 are proposing a flat rate or what we're calling a blanket
23 rate of 3.5 cents per minute for traffic. We believe, and
24 by we I mean Cingular and T-Mobile, believe that when you
25 properly apply federal law, the rate, the correct rate

1 should be much lower, ranging from a rate of 2.5 cents per
2 minute for Granby to a high of 1.47 cents per minute for
3 Le-Ru Telephone Company.

4 Now, in a nutshell, Petitioners' case, as
5 you heard Mr. England say, is that our cost studies and
6 our proposed rates are counterintuitive because we pay SBC
7 a terminating rate of a penny a minute. And the argument
8 is, how in the world can a rate for a small rural
9 telephone company be less than the rate that we pay SBC?
10 It makes no sense. Mr. Schoonmaker says that on page 5 of
11 his rebuttal testimony.

12 What I want to point out to you, and if I
13 only make one point in this whole hearing, I want to make
14 this point, is that's wrong. We don't pay SBC a penny a
15 minute to terminate traffic. The rate we pay SBC is
16 .0007 dollars per minute. In cents, that comes out to .07
17 cents per minute or 7/100 of a penny per minute.

18 I would refer you to page 10 of Mr. Eric
19 Pue's direct testimony where that figure is set out. We
20 also have here the appropriate amendments to the contracts
21 for both T-Mobile and Cingular that we will introduce into
22 evidence at the appropriate time, showing what that rate
23 is. Again, I want to emphasize the rate that we pay SBC
24 today is 7/100 of a penny per minute.

25 Now, if I could, your Honor, I don't have a

00107

1 chart, but I've got a couple of small handouts I'd like to
2 use as visual aids, if I could. I don't intend them to be
3 exhibits, but I'd just like to hand them out, if that's
4 appropriate.

5 JUDGE JONES: I assume you have enough for
6 all the parties?

7 MR. WALTERS: Yes, sir. I've got copies
8 for everybody.

9 JUDGE JONES: That will be fine.

10 MR. WALTERS: I did these charts, and I'm
11 not good with Word, so any problems with them are my
12 fault, not my client's fault. But this chart shows the
13 rates that we're talking about. The left-hand column is
14 based on a tenth of a penny, and it goes all the way up to
15 3.5 cents per minute. That's the top rate at the top.
16 The tallest column is the proposed rate by the rural
17 independents, 3.5 cents a minute.

18 The middle column is the supposed rate that
19 T-Mobile and Cingular are paying to SBC, and that's a
20 penny a minute, to give you some idea. You can see that
21 the proposed Petitioners' rate is 3.5 times higher than
22 the penny a minute. The actual SBC rate is the little
23 bitty short column on the right, which, as I said, is
24 7/100 of a penny a minute. On the chart it's expressed in
25 dollars as .0007 dollars per MOU. All of the rates are

00108

1 expressed in dollars.

2 What this does, though, is give you an idea
3 visually of what we're talking about in this case. The
4 proposed rate of 3.5 cents a minute coincidentally or not
5 is exactly 50 times higher than the rate we pay SBC.

6 I have a second chart I'd like to hand out,
7 if I could.

8 JUDGE JONES: That's fine.

9 MR. WALTERS: Your Honor, this chart again
10 is based on record evidence. Not proposing it as an
11 exhibit. It helps to actually look at this. This chart
12 starts off with the current SBC rate, and the legend on
13 the left-hand side again is in dollars.

14 The tallest number, 1.4 cents a minute, or
15 .014 dollars per minute. The column on the left-hand side
16 is the current SBC rate that Cingular and T-Mobile pay,
17 which is .0007 per minute of use. The middle column is
18 our proposed rate for BPS, which is .0039 dollars per
19 minute of use. And the right-hand column is the highest
20 rate that we are proposing, which is for Le-Ru which is
21 .147 or 1.47 centers per minute of use.

22 I put this chart together only to show
23 you -- there is one rate lower than the BPS rate, and I
24 realized that this morning. As I go through this trial,
25 I'll make mistakes, so I ask you to bear with me. This is

00109

1 my first. There is one rate lower than the BPS rate, and
2 that's the rate which is proposed for Granby, and that is
3 .0025. So if you mark Granby on there, it will be
4 slightly above the .002 line. That is the lowest rate
5 that we are proposing.

6 The point I wanted this graph, this chart
7 to emphasize is that all of the rates that we are
8 proposing are above the rate that we currently pay SBC.
9 There has been testimony that that's not the case, and I
10 just wanted to set that straight.

11 All of the rates we're proposing are
12 substantially above the SBC rate. In fact, the rate for
13 Le-Ru is exactly 21 times higher than the rate that we pay
14 SBC. The rate for Granby coincidentally is 3.5 times
15 higher than the rate we pay SBC, which is exactly what the
16 proposed Petitioners' rate of 3.5 cents is higher than the
17 original rate they thought we paid SBC of a penny, if that
18 makes any sense.

19 The rates that we are proposing are higher
20 and in some cases significantly higher than the rates we
21 pay SBC today.

22 There are a few other points I'd like to
23 make, your Honor. First, this case is governed by
24 federal, not state law. We're looking at federal law. I
25 think we all understand that.

1 Secondly, the factual determinations that
2 the Commission has made in other arbitrations are not
3 relevant to this arbitration. Certainly not on the rate
4 issue. This case has to be decided by the evidence put on
5 by the Petitioners and the Respondents, and a rate for
6 each Petitioner has to be set based on that Petitioner's
7 own costs.

8 Under governing federal law, it's the
9 Petitioners who have a burden of establishing what their
10 rate should be, and the FCC regs require them to
11 demonstrate that their proposed rate does not exceed their
12 TELRIC rate. To the extent they have failed to do that,
13 if there's missing data, that is not the Respondents'
14 problem. That is the Petitioners' problem. In other
15 words, the benefit of the doubt under federal law cannot
16 go to the Petitioners if they haven't established an
17 element of their case.

18 Under FCC regulations, agreed-to rates are
19 not relevant for setting the rate in this case. A state
20 commission is not allowed to base an arbitrated rate on
21 what parties may have agreed to in the past. Under FCC
22 regulations, there are only three ways a state commission
23 can set a rate. The first way is bill and keep, and we're
24 not asking for bill and keep, except for seven of the
25 Petitioners who haven't provided sufficient data. But for

00111

1 the bulk of the Petitioners, we're not seeking bill and
2 keep.

3 The second way under FCC regulations that a
4 rate can be set is by applying the TELRIC standards, and
5 that's what we'll be talking about during this hearing.

6 The third way that a rate can be set under
7 FCC regs is to apply the FCC's default proxy rates, and I
8 think as we all know, those were invalidated by the Eighth
9 Circuit on the grounds that it is the state commission's
10 duty to set the rate, not the federal commission's duty.

11 So there are really only two ways a state
12 commission can set a rate. One is bill and keep, and the
13 other is to apply appropriate TELRIC standards. Those are
14 the only two ways. It's not proper for the state
15 commission to say, we set a rate of X because these
16 parties -- this party agreed to a rate of X with someone
17 else in a negotiated agreement. That's simply not an
18 allowable method.

19 And as we all know, negotiated rates do not
20 have to comply with the TELRIC standard. Parties often
21 agree to a higher rate than the TELRIC standard would
22 produce because they're getting other -- it's a quid pro
23 quo in the negotiating session.

24 Also, rates that have been set in other
25 state proceedings and arbitrated proceedings are not

1 applicable here. For example, I represented Cingular
2 about two and a half years ago in an arbitration
3 proceeding in Oklahoma. We'll cite this in our Brief.
4 The Oklahoma commission adopted bill and keep as the
5 appropriate compensation mechanism for Cingular Wireless
6 in 29 rural independent companies in Oklahoma. I'd love
7 to be able to get that result here. I know I won't. I'm
8 not asking for it. That ruling is not relevant to your
9 decision.

10 In the last year I represented Cingular in
11 a similar arbitration in Tennessee. The Tennessee
12 Regulatory Authority has just recently established an
13 interim rate for the RLECs in Tennessee of less than
14 3/10 of a cent a minute. That's not relevant in this
15 case.

16 In the Alma arbitration of last year, the
17 Missouri Commission set a rate of 3.5 cents a minute.
18 That's not relevant either in this case. What's relevant
19 is the facts that these Petitioners have brought to this
20 case and placed in the record.

21 Now, that being said, your Honor, I know
22 that your Honor and the Commission realize and are
23 concerned with policy considerations. I'd like to point
24 out to you that a rate of 3.5 cents a minute is generally
25 outside the zone of reasonableness. We've put testimony

00113

1 into the record about that. But I have never been
2 involved in a proceeding in which a rate of 3.5 cents has
3 been established in an arbitration.

4 Typically a rate, a transport and
5 termination rate of over a penny a minute is extremely
6 high. The rate we've proposed for Le-Ru, 1.47 cents a
7 minutes is a very high rate, but that's a very small
8 company with relatively high costs. But I urge you when
9 you're reading the testimony and reading the Briefs to get
10 a feel for what the zone of reasonableness is in these
11 matters and understand that 3.5 cents is outside the zone.

12 I also want to emphasize to you that we are
13 not attacking the HAI model. We're not here to say the
14 HAI model should not have been used. We're not saying
15 it's not appropriate. Petitioners used it, and we are
16 dealing with the model as it was used.

17 I would point out that the model was
18 developed in 1998. Its switching prices are based on a
19 1995 study, and it contains many assumptions, hundreds of
20 assumptions, user inputs. What we will be arguing about
21 in this hearing is whether some of the assumptions in the
22 model are appropriate to be applied in 2006 to these
23 Petitioners.

24 For example, the model establishes a
25 default switching value, in other words, assumes what a

00114

1 new switch would cost for Petitioners. That default value
2 is based on data that's ten years old from 1995. When I
3 took Mr. Schoonmaker's deposition, he indicated himself
4 that switching costs have gone down to 10 to 20 percent in
5 the last ten years.

6 Yet the Petitioners in their cost studies
7 raised the default switching value by 25 percent. We
8 think that's inappropriate. We're not arguing about
9 Hatfield. We're arguing about the values of the model.
10 We think it's inappropriate to raise the switching value
11 25 percent when the evidence will show that switching
12 prices have gone over the last ten years. That's the kind
13 of arguments we'll be having.

14 Most of the testimony in this hearing will
15 involve whether or not the HAI assumptions from 1995 and
16 1998 are valid in today's world.

17 Finally, the last point I'd like to make
18 before I get into the heart of the cost issues is simply
19 that there is testimony in the case that FCC rules and
20 regulations are burdensome, and there's been -- there's an
21 implied assertion, it's never stated directly, that
22 smaller companies should be relieved of the burden of
23 following FCC regulations.

24 I'd simply like to point out that's not
25 true. One of the Petitioners in this case, Peace Valley

00115

1 Telephone Company, has one switch and three miles of
2 interoffice cable. Doing just a transport and termination
3 study for a company like that is not a major undertaking.
4 Remember, we're not developing loop costs. We're not
5 looking at collocation cost. We're just looking at
6 transportation, the cost of a switch and the cost of a
7 cable. Doing that kind of study for a company with one
8 switch and three miles is not burdensome.

9 If I could, your Honor, I've got one more
10 chart I'd like to hand out briefly.

11 JUDGE JONES: You may.

12 MR. WALTERS: Also, while we're handing it
13 out, I'd like to ask the Court's indulgence. As I get
14 older, my mouth gets dryer and dryer. So I'll be swigging
15 water throughout my statement if you don't mind.
16 Otherwise you're going to hear me doing that (indicating).

17 In this case we have -- we have used Cass
18 County Telephone as sort of the model. It's a lot easier
19 to look at one company rather than looking at all 27
20 companies. And also, Mr. Schoonmaker and his firm are
21 actually managing this company, so they have a little more
22 knowledge about this company than the others. So we've
23 used Cass County.

24 This chart simply shows the difference
25 between the claimed cost for Cass County as computed by

00116

1 the Petitioners' Hatfield model run and what we believe
2 are their actual costs. You can see the difference is
3 Cass County is claiming a rate 3.58 cents per minute, and
4 we believe their actual costs are .73 cents per minute.
5 On the chart they're expressed in dollars rather than
6 pennies.

7 The Petitioners claim that their rate is
8 made up of four elements, and they're listed. One is they
9 believe they're entitled to recover for dedicated
10 transport. As we will demonstrate in this hearing, that's
11 not appropriate in transport and termination rates. They
12 propose a common transport rate, as you can see, of 1.6
13 cents per minute. ISUP or signaling, that's for the SS7
14 signaling, they propose a rate of .0011, and then end
15 office switching they propose a rate of slightly less than
16 a penny a minute 9.1 cents (sic) a minute.

17 The numbers on the right-hand side are the
18 numbers that we believe are their actual TELRIC costs for
19 transport and termination.

20 I'd like to start with switching, to
21 explain to you why we believe their switching value is
22 inflated. You heard Mr. England discuss two of the main
23 issues. I'd like to discuss them also but from a slightly
24 different point of view.

25 The first big issue is, the FCC rules

1 require the Commission to determine what is the cost of a
2 new digital switch today and then figure that cost on a
3 per-line base. The Hatfield model that Petitioners used
4 has a default rate for small independent companies of
5 \$414. That's substantially lower than the default rate
6 for large companies, which is a little over \$200.

7 Petitioners have not used this default rate
8 of \$414. Instead, they have increased this amount by
9 approximately 25 percent to over \$500. They've done that
10 even though the testimony will show that switching prices
11 in the last ten years have dropped 10 to 20 percent, and
12 they've done that without use of any publicly verifiable
13 data, any cost indices that are available to the industry.

14 Mr. Schoonmaker in his deposition told me
15 that he did that based on his own best judgment. That's
16 what he thought switching costs had been, and he thought
17 that the \$414 value was too low.

18 Your Honor, ladies and gentlemen, we don't
19 think that's appropriate. We think switching costs have
20 to be made on publicly available data. The easiest way to
21 do that is to get a quote from a switch vendor, which
22 Mr. Schoonmaker will tell you he did not do.

23 The second big issue on switching, as
24 Mr. England said, is the amount of traffic-sensitive
25 portion of the switch. The Petitioners have used the

00118

1 70 percent default factor contained in the HAI model. The
2 FCC and several state commissions have now ruled that all
3 the switching is non-traffic-sensitive and that no
4 switching costs should be recovered through transport and
5 termination rates. They have to be recovered through
6 charges on the end users.

7 We'll cite those in our Brief, but we're
8 not taking that position. We're not saying that
9 100 percent of local switching costs are
10 non-traffic-sensitive. The factor we're proposing is
11 10 percent, and that's a recognition that certain of the
12 trunk ports on switches are, in fact, usage sensitive.

13 Now, on the transport side, there are
14 several major issues that I'd like to talk about very
15 briefly. The first one, as Mr. England talked about, is
16 the length of the cable, and in computing transport and
17 termination rates for each company, you have to figure out
18 how much cable they've got in the ground. And what the
19 HAI model does is it assumes that every Petitioner's wire
20 center builds two 24-fiber cables all the way to the
21 nearest RBOC wire center.

22 The assumption is that when a petitioner
23 from one petitioner wire center calls the same
24 petitioner's customer in another wire center, rather than
25 that call being transferred from switch to switch, it goes

00119

1 all the way up to the nearest RBOC wire center, they pay a
2 transiting charge to SBC, then it comes all the way back
3 down. That's the way all of these Petitioners' cable
4 links have been modeled, and what it does is it produces
5 some incredibly out of balance transport rates.

6 For example, I mentioned Peace Valley
7 before. Peace Valley, according to the data responses to
8 the Data Requests that we served on them, has three miles
9 of interoffice cabling. The Hatfield model, as our
10 testimony shows, assumes that Peace Valley has almost
11 170 miles of interoffice cable. So that leads to an
12 enormous transfer cost for Peace Valley which is totally
13 unjustified.

14 Our position on this is simply that in
15 determining cabling lengths, reasonable estimates have to
16 be used and reasonable distances have to be used.
17 Mr. Conwell in his testimony has done that and come up
18 with what we feel are reasonable estimates of cabling
19 lengths.

20 But the method that the Hatfield model uses
21 in the case of small rural LECs produces an absolutely
22 astounding transfer cost. All you have to do is look at
23 the exhibit attached to Mr. Schoonmaker's testimony, the
24 original Hatfield, and some of the transport costs are 8
25 and 10 cents a minute. That's just -- when we talk about

00120

1 the zone of reasonableness, that's way outside the zone.

2 I just want everybody to be aware of that.

3 Two similar issues -- and I'm almost
4 through, I promise -- is that the Hatfield model assumes
5 that every interoffice cable for every Petitioner has 24
6 fibers in it, and that is even though the transport system
7 needs only two fibers or at most, if you want a redundant
8 network, four.

9 Now, we understand that there are other
10 fibers in use and they need to be considered in
11 calculating the appropriate rate, but our position is it's
12 inappropriate to assume every cable has 24 fibers because,
13 as we discovered in the responses to our Data Requests,
14 they don't.

15 So again, our position is there needs to be
16 a reasonable approximation of the reasonable number of
17 fibers that are currently in use, plus the necessary
18 fibers for future use. We're not denying that we need to
19 build in a factor for additional capacity in the future.
20 But assuming 24-fiber cables for every cable for every
21 company is simply inappropriate.

22 The other point on cabling I'd like to
23 mention briefly is the HAI model does not assume sharing.
24 It loads all the costs of cables and the fibers in the
25 cables onto the common transport piece. It does not load

1 any costs onto other uses. For example, leased fibers or
2 fibers for a loop concentrator for the carriers that have
3 IDLC systems. It doesn't load any of the cost of the
4 transport system there. It loads it all onto the common
5 transport, and again, that increases the transport rate.

6 These are the basic issues or the basic
7 problems with the cost studies. I've not hit on every
8 issue, but again, for the sake of time I've tried to hit
9 on only the major ones. We will cover all of the issues
10 in our Briefs fully.

11 I would like to make a brief mention in
12 closing of a policy issue. I stood up here for almost
13 half an hour and told you, follow the law, follow the law,
14 follow the law. I would like to mention one policy issue,
15 though, that I think's worth mentioning.

16 I'm speaking now for Cingular Wireless, my
17 client. My client's testimony shows, and my client will
18 be on the stand, will take questions on it, if Cingular
19 Wireless is forced to exchange traffic at 3.5 cents a
20 minute, it will lose money. That's just a fact.

21 Now, there are two ways you can look at
22 this, but I would ask you this question. What incentive
23 does any company have to extend facilities into an area
24 where it's going to lose money? Although this case should
25 be decided on the law, I would ask you this simple

1 question: Is it in the best interests of the state of
2 Missouri to establish a transport and termination rate
3 that will discourage wireless investment in rural areas?

4 I ask you please to consider that question
5 as we go through this hearing. I think it's extremely
6 important to your decision. I'm sorry that I wasn't as
7 brief as I hoped to be. I thank you for your patience.
8 And now Mr. Johnson will speak on the non-rate issues.

9 JUDGE JONES: Thank you, Mr. Walters.

10 Mr. Johnson?

11 MR. JOHNSON: Mr. Arbitrator, members of
12 the Advisory Staff, I'm Mark Johnson. I'm appearing today
13 on behalf of T-Mobile USA.

14 T-Mobile and its predecessors have been
15 providing wireless service in Missouri for a number of
16 years now. It used to be known as Voicestream. It
17 changed its name to T-Mobile a few years ago.

18 In his opening remarks Mr. Walters has
19 addressed the cost issues involved in this case. He told
20 you about the shortcomings of the cost studies which the
21 Petitioners have presented in their prefiled testimony.
22 I'm going to address just a few, I promise you, a few of
23 the issues that don't relate to costs. And as Mr. England
24 shared with you in his opening remarks, we can only
25 address in our opening statements a few of the issues that

1 you'll have to decide in this arbitration.

2 The first of the issues I want to touch on
3 is reciprocal compensation, which involves the obligation
4 of the petitioning local exchange carriers to pay
5 reciprocal compensation to wireless carriers for
6 completing local calls from their landline customers to
7 our wireless customers. The Petitioners ask the wireless
8 carriers to pay for mobile-to-land local calls, but under
9 the controlling federal rules, in effect what's sauce for
10 the goose is sauce for the gander.

11 This issue was presented to Commission in
12 the Alma arbitration in which my client T-Mobile was
13 involved, and the Commission did, in fact, rule in
14 T-Mobile's favor, and correctly so. There is absolutely
15 no difference between the reciprocal compensation issue
16 presented to the Commission in the Alma arbitration and
17 the reciprocal compensation issue presented to you in this
18 arbitration.

19 This applies to traffic sent through an
20 interexchange carrier, just as it would apply to traffic
21 sent via direct interconnection between the local exchange
22 carrier and the wireless carrier. If the wireless
23 carriers are expected to compensate the Petitioners for
24 completing calls made to the Petitioners' customers, the
25 other side of that coin is that the Petitioners have to be

1 prepared to compensate the wireless carriers for
2 completing calls from their customers. It's only fair,
3 and on top of that, it's required by federal law.

4 The second issue I want to touch on is the
5 past compensation issue. And here I use the term -- I use
6 that term past compensation to include both the pre-tariff
7 and post-tariff compensation issues which Mr. England
8 touched on. Of course, that's -- and this is for
9 compensation for traffic exchanged between 1998 and 2005,
10 last year when the FCC said that the wireless termination
11 tariffs could no longer be used.

12 This issue is entirely retrospective in
13 nature. It has nothing to do with the prospective nature
14 of interconnection agreements which will result from this
15 arbitration. As such, it is not a proper issue to be
16 resolved by the Commission in this case. The Alma
17 arbitrator refused to entertain such claims in that
18 arbitration, and the claims were presented in that
19 arbitration and the arbitrator said they should not be.

20 T-Mobile and Cingular continue to believe
21 that the issue is not appropriate. The Petitioners have
22 already brought proceedings before the Commission in which
23 these compensation issues have been properly presented,
24 not in this arbitration.

25 The final issue I want to touch on is

1 the -- is the issue of blocking, and this is part and
2 parcel of the settlement of past compensation. This is an
3 issue of great importance to T-Mobile because, as
4 Mr. England alluded to, there is a substantial dispute
5 between my client and his clients concerning the
6 obligation to pay compensation to his clients.

7 The Petitioners insist in their proposed
8 language in their interconnection agreement that the past
9 compensation issue be settled before T-Mobile can reply on
10 the interconnection agreement that results from this case.
11 In effect, the Petitioners want to use this arbitration,
12 which is only supposed to involve the future relationship
13 between the parties, to resolve a compensation dispute
14 that is entirely historical in nature.

15 The Petitioners are asking the Arbitrator
16 and the Commission to adopt a position which is simply not
17 allowed by the federal law or federal regulations. The
18 past compensation issue is already a matter of litigation
19 between T-Mobile and the Petitioners and substantially
20 hotly contested litigation.

21 If the Commission adopts the Petitioners'
22 proposal contained in Section 5.4 of their proposed
23 interconnection agreement, which states that the parties
24 are settling the past compensation claim at the same time
25 as they entered into the interconnection agreement, the

1 Commission will deny T-Mobile its right to federal court
2 review on this issue.

3 If the parties don't enter into that
4 settlement, what do you think will happen? Either the
5 Petitioners will refuse to negotiate an interconnection
6 agreement adopting -- pardon me -- incorporating the
7 rulings which you make in this case or they will simply
8 choose not to abide by the interconnection agreement which
9 the Commission approves.

10 In either case, T-Mobile loses. More
11 importantly than that, T-Mobile's customers lose. The
12 calls which they want to place to any of the customers of
13 the petitioning local exchange carriers will be blocked.

14 Finally, the Respondents believe that the
15 evidence will convince you that the Petitioners who, as
16 Mr. Walters pointed out, bear the burden of proof that
17 their claimed costs, proposed rate and non-rate-related
18 proposals are reasonable, have failed to discharge that
19 burden.

20 The proposal sponsored by T-Mobile's
21 witnesses from whom you will hear, Craig Conwell and Bill
22 Pruitt, allow the Petitioners to charge a rate which fully
23 compensates them for their appropriate costs and will
24 allow the parties to develop a fair agreement which will
25 govern their relationship on a going-forward basis.

1 Thank you very much.

2 JUDGE JONES: Thank you. I think this is
3 probably a good time to take perhaps a ten-minute break.
4 After that we'll come back with Petitioners and their I
5 suspect only witness.

6 MR. ENGLAND: Correct.

7 JUDGE JONES: With that, we'll go off the
8 record.

9 (A BREAK WAS TAKEN.)

10 (EXHIBIT NOS. 1, 1P, 2, 2P, 2HC, 3 AND 4
11 WERE MARKED FOR IDENTIFICATION BY THE REPORTER.)

12 JUDGE JONES: We're back on record with
13 Case No. TO-2006-0147. Before we move on to the
14 cross-examination of Mr. -- is it Schoonmaker or
15 Schoonmaker?

16 THE WITNESS: Schoonmaker.

17 JUDGE JONES: Schoonmaker. I note in the
18 Joint Issues Matrix there are 36 separate issues. Have
19 you-all resolved any of those 36 issues between the time
20 this was filed and today?

21 MR. ENGLAND: The short answer to your
22 question is no. The fact of the matter is, I think based
23 on some of the answers that we've given and perhaps
24 T-Mobile and Cingular has given, I think we're in a
25 position -- we'll not be able to do that probably until

00128

1 after the hearing -- to eliminate some of these.

2 JUDGE JONES: Very well.

3 MR. ENGLAND: And my understanding is that
4 the parties can even continue to negotiate on hotly
5 contested issues, if you will, and resolve them before
6 it's submitted for final arbitration.

7 MR. JOHNSON: Mr. Arbitrator, could I
8 suggest that perhaps during the hearing, that Mr. England
9 and Mr. Walters and I could confer and come up with a list
10 of issues that we believe have been resolved, and so we
11 know, for example, that we don't have to brief those
12 issues?

13 MR. ENGLAND: That's fair enough.

14 JUDGE JONES: That's fine. Okay. And,
15 Mr. England, you can tender your first witness.

16 MR. ENGLAND: Thank you, your Honor. I'm
17 assuming this is on now.

18 JUDGE JONES: It sounds like it is.

19 MR. ENGLAND: Has the witness been sworn?

20 (Witness sworn.)

21 JUDGE JONES: Thank you. You may be
22 seated, Mr. Schoonmaker. You may proceed, Mr. England.

23 MR. ENGLAND: Thank you, Judge.

24 ROBERT C. SCHOONMAKER testified as follows:

25 DIRECT EXAMINATION BY MR. ENGLAND:

00129

1 Q. Would you please state your full name for
2 the record.

3 A. My name is Robert C. Schoonmaker.

4 Q. And by whom are you employed and in what
5 capacity?

6 A. I am employed by GVNW Consulting, Inc., and
7 I am president and CEO of that company.

8 Q. And what's your business address,
9 Mr. Schoonmaker?

10 A. My business address is 2270 La Montana Way,
11 Colorado Springs, Colorado 80918.

12 Q. Mr. Schoonmaker, on whose behalf are you
13 testifying in this proceeding?

14 A. I'm testifying on behalf of the Petitioners
15 in each of the cases, and the names of the individual
16 Petitioners in each of the two cases are included on
17 Schedules RCS-1 and -- Schedule RCS-1 of my testimony.

18 Q. And following up on that, in that regard,
19 have you caused to be prepared and filed with the
20 Commission prepared direct testimony with certain
21 schedules attached?

22 A. Yes, I have.

23 Q. And has that been marked for purposes of
24 identification as Exhibit 1 with, I believe, a proprietary
25 exhibit or Schedule RCS-6 marked as Exhibit 1P?

00130

1 A. Yes, I have.

2 Q. And do you have that -- or those exhibits
3 in front of you?

4 A. I do.

5 Q. Are there any changes or corrections that
6 you need to make to that testimony at this time?

7 A. I have two, I believe. On page 58, on
8 line 23 at the bottom of the page, there's a reference to
9 Section 251 of the Act, and I would like to change that to
10 be Section 251(f)(1).

11 And on the top of page 59, on line 2,
12 there's a similar reference to Section 251(f), and I would
13 like that changed to Section 251(f)(1).

14 And let me check just a minute because I
15 think there's one more. That's on page 66, on line 10,
16 again the reference Section 251(f) should be changed to
17 Section 251(f)(1).

18 Q. With those changes, Mr. Schoonmaker, is the
19 testimony contained in Exhibit 1 and the information
20 contained in the schedules attached thereto, including
21 Exhibit 1P, true and correct to the best of your
22 knowledge, information and belief?

23 A. Yes.

24 Q. If I were to ask you the same questions
25 that appear in that testimony, would your answers be

1 substantially the same with the corrections noted as
2 appear in that direct testimony?

3 A. Yes.

4 Q. Let me turn your attention now to what I
5 believe has been marked for purposes of identification as
6 Exhibit 2, and that is the rebuttal testimony of Robert C.
7 Schoonmaker. Did you cause that to be prepared and filed
8 in this proceeding?

9 A. I did.

10 Q. And I understand that there is at least one
11 schedule that has been marked highly confidential and has
12 therefore been identified as Exhibit 2HC. Is that RCS-10?

13 A. Yes, it is.

14 Q. With respect to the testimony that
15 comprises Exhibit 2 and the schedule that comprises
16 Exhibit 2HC, are there any changes or corrections that you
17 need to make at this time?

18 A. Yes, I do. I have some. On page 42, I
19 would strike lines 18 through 21. On page 43, on line 4,
20 I would strike the sentence that begins, the data that
21 T-Mobile, and strike that whole sentence through line 6.

22 And as a result of that schedule that I
23 initially provided, which was Schedule RCS-9(P) is not
24 being offered and would not be part of my filed testimony.
25 I discovered subsequent to the filing of that that I had

00132

1 extracted some numbers from the wrong column on
2 Mr. Pruitt's exhibit and the schedule was not correct, and
3 so we're removing that.

4 Q. Okay. Are there any other changes or
5 corrections that need to be made to that rebuttal
6 testimony or any of the surviving schedules?

7 A. Yes. There's one other. On page 43 on
8 line 7, the third word transit should be changed to
9 traffic, and capitalized.

10 JUDGE JONES: Did you say page 43?

11 THE WITNESS: Line 17.

12 JUDGE JONES: Oh, 17. And could you repeat
13 that correction?

14 THE WITNESS: Yes. The third word is
15 transit, and that should be changed to traffic, with a
16 capitalized traffic. The traffic ratio.

17 BY MR. ENGLAND:

18 Q. Any other changes or corrections,
19 Mr. Schoonmaker?

20 A. No.

21 Q. Is the information -- is the testimony
22 contained in Exhibit 2 and the information contained in
23 Schedule RCS-10, which is Exhibit 2HC, with those
24 corrections noted, true and correct to the best of your
25 knowledge, information and belief?

00133

1 A. Yes.

2 Q. If I were to ask you the questions
3 appearing in that rebuttal testimony, would your answers
4 here today under oath be substantially the same?

5 A. Yes.

6 MR. ENGLAND: Your Honor, I have no further
7 questions of Mr. Schoonmaker. Oh, I'm sorry. Let me back
8 up.

9 BY MR. ENGLAND:

10 Q. Mr. Schoonmaker, we have also asked to be
11 marked for purpose of identification Exhibits 3 and 4,
12 which are the Verified Petitions that have been filed by
13 Petitioners in these cases. Are you familiar with those?

14 A. Yes.

15 Q. As a matter of fact, you represented Cass
16 County Telephone Company as one of the Petitioners in both
17 of those cases; is that right?

18 A. Yes.

19 Q. And those are the Petitions that were filed
20 with the Commission to start these cases?

21 A. Yes.

22 MR. ENGLAND: Your Honor, I have no further
23 questions of Mr. Schoonmaker and would offer Exhibits 1,
24 1P, 2, 2HC, 3 and 4.

25 JUDGE JONES: Any objections?

1 MR. WALTERS: None, your Honor, from
2 Cingular.

3 MR. JOHNSON: No objection.

4 JUDGE JONES: Exhibits 1, 1P, 2, 2HC, 3 and
5 4 are then admitted into the record.

6 (EXHIBIT NOS. 1, 1P, 2, 2HC, 3 AND 4 WERE
7 RECEIVED INTO EVIDENCE.)

8 MR. ENGLAND: And I tender the witness for
9 cross-examination.

10 JUDGE JONES: Thank you. Who will be
11 cross-examining Mr. Schoonmaker?

12 MR. WALTERS: It will be me, your Honor.

13 JUDGE JONES: Mr. Walters, you may approach
14 and examine. It's my understanding that this
15 cross-examination will contain highly confidential
16 information. With that in mind, we will go in-camera.

17 (Reporters's note: At this point an
18 in-camera session was held, which is contained in
19 Volume 3, pages 135 through 285 of the transcript.)

20

21

22

23

24

25

1 I N D E X

2	Opening Statement by Mr. England	78
	Opening Statement by Mr. Walters	104
3	Opening Statement by Mr. Johnson	122

4 PETITIONER'S EVIDENCE:

5	ROBERT C. SCHOONMAKER	
	Direct Examination by Mr. England	128
6	ROBERT C. SCHOONMAKER (In-Camera Session - Volume 4)	
7	Cross-Examination by Mr. Walters	137
	Cross-Examination by Mr. Johnson	244
8	Questions by Ms. Dietrich	252
	Questions by Mr. Voight	262
9	Further Questions by Ms. Dietrich	271
	Redirect Examination by Mr. England	272

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1	EXHIBITS INDEX	MARKED	RECEIVED
2	EXHIBIT NO. 1		
3	Direct Testimony of Robert Schoonmaker	127	134
4	EXHIBIT NO. 1P		
5	Schedule RCS-6 Proprietary Direct Testimony of Robert Schoonmaker	127	134
6	EXHIBIT NO. 2		
7	Rebuttal Testimony of Robert C. Schoonmaker	127	134
8	EXHIBIT NO. 2HC		
9	Schedule RCS-10HC, Rebuttal Testimony of Robert Schoonmaker	127	134
10	EXHIBIT NO. 3		
11	Verified Petition for Arbitration T-Mobile	127	134
12	EXHIBIT NO. 4		
13	Verified Petition for Arbitration Cingular	127	134
14	EXHIBIT NO. 5		
15	Amendments to Interconnection Agreement SBC Missouri and Cingular Wireless	151	154
16	EXHIBIT NO. 6		
17	Amendment to Interconnection Agreement SBC Missouri and Voicestream Wireless	154	155
18	EXHIBIT NO. 7		
19	Schedule RCS-4	157	
20	EXHIBIT NO. 8		
21	Distance Inputs	186	190
22	EXHIBIT NO. 9		
23	Routes Between Network Nodes	198	218
24	EXHIBIT NO. 10		
25	Ellington Telephone Co Network Diagram	218	224
	EXHIBIT NO. 11		
	Supplemental Answer to Dr. No. 33	224	225