

**FILED**  
MAY 10 2002  
Missouri Public  
Service Commission

**DEPOSITIONS  
OF  
JOLIE MATHIS**



BEFORE THE PUBLIC SERVICE COMMISSION  
STATE OF MISSOURI

THE STAFF OF THE MISSOURI )  
PUBLIC SERVICE COMMISSION, )

Complainant, )

Case No. EC-2002-1

vs. )

UNION ELECTRIC COMPANY, )  
d/b/a AMERENUE, )

Respondent. )

DEPOSITION OF JOLIE MATHIS  
TAKEN ON BEHALF OF THE RESPONDENT  
APRIL 9, 2002

CONFIDENTIAL

COPY

ASSOCIATED COURT REPORTERS

714 West High Street • Jefferson City, MO 65109  
1.573.636.7551 • 1.888.636.7551 • 1.573.636.9055 (Fax)  
Jefferson City • Columbia • Rolla • St. Louis • Clayton • St. Charles  
[www.missouridepos.com](http://www.missouridepos.com)

spherion.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BEFORE THE PUBLIC SERVICE COMMISSION  
STATE OF MISSOURI

THE STAFF OF THE MISSOURI	)	
PUBLIC SERVICE COMMISSION,	)	
	)	
Complainant,	)	Case No. EC-2002-1
	)	
vs.	)	
	)	
UNION ELECTRIC COMPANY,	)	
d/b/a AMERENUE,	)	
	)	
Respondent.	)	April 9, 2002
	)	Jefferson City, MO

DEPOSITION OF JOLIE MATHIS,  
a witness, sworn and examined on the 9th day of April,  
2002, between the hours of 8:00 a.m. and 6:00 p.m. of  
that day at the Missouri Public Service Commission,  
Room 810, Governor State Office Building, in the City  
of Jefferson, County of Cole, State of Missouri,  
before

KRISTAL R. MURPHY, CSR, RPR, CCR  
ASSOCIATED COURT REPORTERS  
714 West High Street  
Post Office Box 1308  
JEFFERSON CITY, MISSOURI 65102  
(573) 636-7551

Notary Public, within and for the State of Missouri,  
in the above-entitled cause, on the part of the  
Respondent, taken pursuant to agreement.

A P P E A R A N C E S

FOR THE COMPLAINANT:

THOMAS R. SCHWARZ, JR.  
Deputy Counsel  
STEVEN DOTTHEIM  
Chief Deputy Counsel  
STAFF OF THE MISSOURI PUBLIC SERVICE  
COMMISSION  
Eighth Floor  
Governor State Office Building  
Jefferson City, Missouri 65101  
573.751.5239

FOR THE RESPONDENT:

THOMAS BYRNE  
JAMES J. COOK  
Attorneys at Law  
AMEREN SERVICES  
One Ameren Plaza  
1901 Chouteau Avenue  
MC 1310  
Post Office Box 66149  
St. Louis, Missouri 63166-6149  
314.554.2237

FOR LACLEDE GAS COMPANY:

MICHAEL C. PENDERGAST  
Vice President  
Associate General Counsel  
THE LACLEDE GAS COMPANY  
Suite 1520  
720 Olive Street  
St. Louis, Missouri 63101-2338  
314.342.0532

FOR THE OFFICE OF THE PUBLIC COUNSEL:

MICHAEL F. DANDINO  
Senior Public Counsel  
OFFICE OF THE PUBLIC COUNSEL  
P.O. Box 7800  
Jefferson City, Missouri 65102  
573.751.5559

1 ALSO PRESENT: Greg Meyer, PSC Staff  
2 Lena Mantle, PSC Staff  
3 Lisa Kremer, PSC Staff  
4 Rosella Schad, PSC Staff  
5 Robert Kenney, Ameren  
6 Marty Lyons, Ameren  
7 Bill Stout, Gannett-Fleming

8 EXHIBITS INSTRUCTIONS:

9 Copy and attach to original and copy for  
10 Mr. Byrne only.

11 I N D E X

12 Direct Examination by Mr. Byrne 4  
13 Cross-Examination by Mr. Schwarz 87  
14 Redirect Examination by Mr. Byrne 90

15  
16  
17  
18 E X H I B I T S I N D E X

19 Exhibit No. 1 4  
20 Deposition of Jolie Mathis, dated 11-27-01  
21 Exhibit No. 2 86  
22 Work papers

1 (EXHIBIT NO. 1 WAS MARKED FOR IDENTIFICATION  
2 BY THE COURT REPORTER.)

3 JOLIE MATHIS, being duly sworn, testified as follows:

4 DIRECT EXAMINATION BY MR. BYRNE:

5 Q. My name is Tom Byrne, and I am an attorney  
6 for Union Electric Company, doing business as  
7 AmerenUE. Today we are here to take the deposition  
8 of Jolie Mathis of the Missouri Public Service  
9 Commission Staff in Missouri Public Service Commission  
10 Case No. EC-2002-1. This is Ms. Mathis's second  
11 deposition in this proceeding.

12 Present in the room in addition to myself,  
13 Ms. Mathis, and the court reporter, for the Commission  
14 Staff, Steve Dottheim, Tim Schwarz, Lisa Kremer,  
15 Rosella Schad. Representing the Company, in addition  
16 to myself, are Bill Stout and Bob Kenney. And  
17 representing Laclede Gas Company is Mike Pendergast.

18 Good morning, Ms. Mathis.

19 A. Good morning.

20 Q. First of all, before we get started, I'd  
21 like to go over some preliminary matters, and perhaps  
22 you remember these same questions from your last  
23 deposition.

24 First of all, if you don't hear one of my  
25 questions or completely understand the question, will

1 you ask me to repeat or clarify it?

2 A. Yes.

3 Q. Okay. So that if you do give an answer,  
4 you'll be saying in effect that you heard and  
5 understood the question; is that fair?

6 A. Yes.

7 Q. Okay. Are you taking any medication that  
8 might affect your ability to understand and answer my  
9 questions this morning?

10 A. No.

11 Q. Do you know of any other factor that might  
12 impair your ability to understand my questions and  
13 answer them?

14 A. No.

15 Q. Also, similar to last time, if you need to  
16 take a break at any time, will you please just let me  
17 know and we'll be glad to take a break?

18 A. Sure.

19 Q. And, finally, I would like to clarify some  
20 terms I might use during the deposition up-front. If  
21 I say "UE" or "AmerenUE" or the "Company" in the  
22 course of the deposition, I will be referring to Union  
23 Electric Company; is that okay?

24 A. Yes.

25 Q. And if I say "Ameren," I will be referring



1 to Ameren Corporation, the parent corporation; is that  
2 okay?

3 A. Yes.

4 Q. Okay. Could you please state your name?

5 A. Jolie Mathis.

6 Q. And by whom are you employed?

7 A. The Missouri Public Service Commission.

8 Q. And in what capacity are you employed there?

9 A. I work as a depreciation engineer.

10 Q. Okay. And are you the same Jolie Mathis  
11 that filed Direct Testimony addressing the  
12 depreciation issue in Case No. EC-2002-1 in both July  
13 of 2001 and March of 2002?

14 A. Yes, I am.

15 Q. And does the latest version of your Direct  
16 Testimony from March of 2002 consist of 14 pages and  
17 three schedules?

18 A. Yes, it does.

19 Q. And do you have a copy of that testimony  
20 with you today?

21 A. Yes, I do.

22 Q. I guess one other clarification I would like  
23 to make up-front is, if I refer to your Direct  
24 Testimony during the course of the deposition, I'm  
25 talking about the latest version, the March 2002

1 version, unless I make it clear that I'm referring to  
2 the earlier version; is that okay?

3 A. Yes.

4 Q. All right. Are you also the same Jolie  
5 Mathis that I deposed in this proceeding on  
6 November 27th, 2001?

7 A. Yes, I am.

8 Q. Okay. And the court reporter has marked a  
9 copy of that November 27th, 2001 deposition as  
10 Exhibit 1. Have you had a chance to take a look at  
11 that and verify -- I guess included in Exhibit 1 the  
12 court reporter has marked are both your deposition and  
13 the errata sheet that you provided; is that correct?

14 A. Yes.

15 Q. And have you satisfied yourself that those  
16 are -- that's what Exhibit 1 is?

17 A. Yes.

18 MR. SCHWARZ: If I might, does the Company  
19 as well represent that that's a true and correct copy  
20 of the deposition?

21 MR. BYRNE: Yes.

22 MR. SCHWARZ: Thank you.

23 BY MR. BYRNE:

24 Q. And let me ask you, does your errata sheet  
25 that you provided contain corrections of things like

1 typographical errors as well as some substantive  
2 corrections to the deposition questions, if you  
3 recall?

4 A. Yes, it does.

5 Q. Okay. And does your errata sheet contain  
6 all of the substantive and nonsubstantive corrections  
7 to that deposition that you have?

8 A. Yes, it does.

9 Q. Okay. And there is nothing -- no additional  
10 corrections you thought of later or need to make at  
11 this point?

12 A. No, not at this time.

13 Q. Okay. Are there any corrections to the  
14 latest version of your Direct Testimony, in other  
15 words, the March 2002 Direct Testimony, that you need  
16 to make at this time or that you've found?

17 A. No.

18 Q. Okay. Okay. I guess what I'd like you to  
19 do, if you don't mind, is walk me through step by step  
20 exactly what you did to prepare your testimony this --  
21 this time.

22 First of all, did you start with -- what  
23 data did you use?

24 A. I used end of year 2000 data.

25 Q. Okay. And my understanding is that was not

1 the data that you had available when you did your July  
2 of 2001 Direct Testimony; is that correct?

3 A. That's correct.

4 Q. Okay. And what did you do with the data  
5 when you -- when you first started working on it?

6 A. Well, I ran it through our audit program to  
7 check for any discrepancies.

8 Q. And let me stop you there.

9 Did you find any discrepancies in your audit  
10 program?

11 A. No.

12 Q. Okay. Then what did you do?

13 A. Then I proceeded on to start my depreciation  
14 analysis by the next program, which would have been --  
15 gosh.

16 Q. Would it have been the Gannett-Fleming  
17 computer model?

18 A. Yes, it's Gannett-Fleming. I'm trying to  
19 remember the steps I took in Gannett-Fleming.

20 Q. Okay. Take your time.

21 A. I can't think of the name of the program.  
22 Hold on a second.

23 Q. Well, can you tell me -- if you can't think  
24 of the name of the program, can you tell me what the  
25 program does?

1           A.     After auditing the program, the next step is  
2 retirement rated analysis, ret rate, r-e-t, r-a-t-e,  
3 and that provides retirement data activity that will  
4 provide life tables in order for me to come up with  
5 the appropriate life analysis.

6           Q.     Okay. So in this step you feed the raw data  
7 into the -- into the Gannett-Fleming computer model,  
8 and then it tells you -- say again what it tells you.

9           A.     Ret rate, is that what you're asking about?

10          Q.     Yeah.

11          A.     It produces life tables so that you can  
12 determine the appropriate life for each account.

13          Q.     Okay. Okay. And do those life tables --  
14 previously -- in your previous deposition we looked at  
15 graphs. Did those life tables that are produced by  
16 this first step of the Gannett-Fleming model, do they  
17 permit you to put the Xs on the graph?

18          A.     They produce what the appropriate curves  
19 are, and then E Match is the curve fitting software.

20          Q.     Okay. But that's -- that's the next step.  
21 Right?

22          A.     Right.

23          Q.     Okay. Okay. Let me ask you this: Did  
24 you -- did you feed the raw data for all of the  
25 accounts into the Gannett-Fleming model?

1           A.     No. I did the top 26 accounts which  
2 represent about 91 percent of plant in service,  
3 excluding nuclear.

4           Q.     Okay. And why did you exclude nuclear?

5           A.     Well, it's on a 40-year licensed life.

6           Q.     Okay. And then you said the top  
7 26 accounts?

8           A.     Yes.

9           Q.     And why --

10          A.     Actually, it's the top 19 accounts, and then  
11 at the end of that analysis I found that I had time to  
12 do seven additional accounts.

13          Q.     Okay. Let me break that down.

14                 When you said the top 19 accounts, do you  
15 mean the 19 accounts with the most dollars?

16          A.     According to plant balances.

17          Q.     Okay. So the 19 accounts with the greatest  
18 plant balances were the first 19?

19          A.     Yes.

20          Q.     And then you had additional time, so you  
21 picked seven more plants of the remaining accounts?

22          A.     Right. And most of those came out of  
23 general plant.

24          Q.     And were they the seven accounts with the  
25 greatest dollar amounts of plant balances?

1           A.     No, not necessarily.

2           Q.     Why did you choose the particular seven  
3 accounts that you did?

4           A.     I just -- progressively, the next step I  
5 chose were to take general plant accounts. No  
6 particular reason.

7                     My intention was, of course, to analyze all  
8 accounts, but I knew with the limited amount of time  
9 that I had that I was not going to be able to do that.  
10 So once I selected the top 19 and found out that I had  
11 time left, then my next step, I just went to general  
12 plant.

13          Q.     Okay. So there is no particular reason that  
14 that -- that those seven accounts were more  
15 appropriate than any others? You just picked them.

16          A.     Right.

17          Q.     Okay. What did you do -- okay. And there  
18 is how many total accounts?

19          A.     Fifty, 51.

20          Q.     Okay. So you studied 26. And I think there  
21 are 51. Would you accept that?

22          A.     Yes.

23          Q.     Okay. So you plugged the data for 26  
24 accounts into the Gannett-Fleming model. What did you  
25 do -- how did you determine the depreciation rate for

1 the other 25 accounts?

2 A. Could you state that again, please?

3 Q. Yes. For the 25 accounts that you did not  
4 plug the data into the Gannett-Fleming model, how did  
5 you determine the depreciation rates for those  
6 accounts?

7 A. I took 100 percent over the average service  
8 life.

9 Q. And how did you determine the average  
10 service life for those accounts?

11 A. It was the prescribed average service life.

12 Q. Okay. And when was it prescribed?

13 A. In 1983.

14 Q. Okay. And that's the same thing you did --  
15 we talked about this in your last deposition; is that  
16 true?

17 A. Correct.

18 Q. Okay. And did you do any independent  
19 analysis of the data underlying those lives from 198--  
20 from the 1983 case?

21 A. No, I did not.

22 Q. You didn't review the work papers or  
23 anything from 1983?

24 A. We really didn't have that many work papers  
25 from 1983 to review.



1 Q. Okay. And -- okay. And I guess, since  
2 that's -- again, I think I might have asked you this  
3 question in your last deposition, but since that was a  
4 1983 case, I guess the data came from before 1983,  
5 that underlies those life estimates?

6 A. You can assume that, but I don't know for  
7 sure. It could have been '82, '81.

8 Q. Okay. Okay. And then the -- and getting  
9 back to what the Gannett-Fleming model did with the  
10 data from the 26 accounts that you fed into it, it --  
11 the first step allowed you to -- would it be fair to  
12 say that it allowed you to plot the retirement data on  
13 a graph or --

14 A. It plots the percent surviving and it  
15 matches that against the -- whatever you choose that  
16 fits that curve, survivor curve, like an L3 or L2.

17 Q. Okay. But you're jumping -- I think you're  
18 jumping ahead to the next step.

19 A. Okay.

20 Q. First -- in the first step doesn't it only  
21 plot the actual company data, and then the next  
22 step -- and then the second step, it selects potential  
23 curves to fit the data, or is it all one step?

24 A. It gives you a list of -- remember when we  
25 talked about residual measure earlier?

1 Q. Yes.

2 A. It gives you a different set of residual  
3 measures and a different set of associated curves with  
4 those residual measures.

5 Q. Okay.

6 A. And you choose which residual measure you  
7 think is appropriate, or the least residual measure --

8 Q. Okay. And --

9 A. -- which mathematically would be the best  
10 fit.

11 Q. As I recall, the lower the number of the  
12 residual measure, the more -- the better the  
13 mathematical fit between the Iowa curve and the actual  
14 company data; is that true?

15 A. That's correct.

16 Q. Okay. And so that -- is it all one step in  
17 the Gannett-Fleming model where you feed in the data,  
18 and at the end of step one, you wind up with a list of  
19 curves that it suggests as possible appropriate curves  
20 with residual measures? Is that sort of the end of  
21 step one of the Gannett-Fleming model?

22 A. That's one program that does that, ret rate.

23 Q. Okay. And does that program calculate a  
24 theoretical reserve for each account?

25 A. No.

1 Q. Okay. So I'll wait on that.

2 Do you have work papers -- well, do you have  
3 any work papers associated with the 25 accounts that  
4 you did not feed into the Gannett-Fleming model?

5 A. Do I have work papers that I did not feed  
6 into the Gannett-Fleming model? I guess I don't  
7 understand your question.

8 Q. I think the answer is no, but let me try to  
9 ask it in a better way.

10 For the 25 accounts that you didn't study,  
11 did you do anything to those accounts that would have  
12 generated a work paper, or are there no work papers at  
13 all associated with those accounts?

14 A. There are no work papers associated with  
15 those.

16 Q. Okay. That's what I thought, but I just  
17 wanted to make sure.

18 Let me ask you this: In 19-- in your 1995  
19 study that, I guess, was incorporated into your March  
20 2000 -- or July 2001 Direct Testimony, did you -- did  
21 you study all of the accounts? Did you run all of the  
22 accounts through the Gannett-Fleming model, or like  
23 you did this time, did some of them you not run  
24 through?

25 A. I ran all of them except for nuclear.

1           Q.     Okay. And so in that case, for that  
2 particular study, you would have had work papers for  
3 even those that you didn't select -- or decided that  
4 it wasn't a curve that adequately fit the data; is  
5 that true?

6           A.     That's correct.

7           Q.     And do you know if you provided the work  
8 papers associated with those accounts to us?

9           A.     Yes, I did.

10          Q.     Okay. And so one difference in what you did  
11 this time from what you did last time is, this time  
12 you ran out of time, and that's why you didn't study  
13 the 25 accounts. Right?

14          A.     Right.

15          Q.     Whereas last time, for the accounts that you  
16 didn't do a new study, the reason you didn't do that  
17 new study was because there wasn't a curve that  
18 adequately fit it from your -- in your opinion; is  
19 that fair?

20          A.     I did the study for those accounts, but, in  
21 my opinion, I didn't have a reliable curve fit.

22          Q.     Okay. Okay. My understanding is that --  
23 also, that one fairly big difference between the study  
24 you most recently did and the one you did prior to  
25 your July 2001 Direct Testimony is that for several

1 accounts and several major dollar accounts, that in  
2 July of 2001 you defaulted to the 1983 rates. This  
3 time you were able to fit a curve to them; is that  
4 true?

5 A. For some of those accounts, yes.

6 Q. Okay. And, particularly, I'm talking about  
7 steam production plant accounts; is that true?

8 A. Yes.

9 Q. Before you were not able to adequately  
10 fit -- based on the data that you had before, you were  
11 not able to adequately fit a curve for steam  
12 production plant accounts, but now, based on the data  
13 that you have now, you are able to fit a curve; is  
14 that correct?

15 A. Yes.

16 Q. Okay. And do you know what -- specifically  
17 what account numbers that would apply to?

18 A. 311 through 315 for all of the steam  
19 production plant.

20 Q. Okay. So there is a separate account 311  
21 balance and 312 balance and 313 and 314 and 315 for  
22 each --

23 A. For each plant.

24 Q. -- for each plant?

25 Okay. I think -- is it possible that there

1 isn't a 313?

2 A. Did I say 313?

3 Q. I said it, and you agreed.

4 A. There is not a 313.

5 Q. Okay. I apologize.

6 And are there -- is there a relatively large  
7 amount of money in those accounts?

8 A. Very large.

9 Q. Okay. So the fact that they were treated  
10 differently in this set of testimony probably had a  
11 pretty large dollar impact on your depreciation  
12 adjustment; is that true?

13 A. That's true.

14 Q. Do you know how much impact those I guess  
15 it's four accounts had on your depreciation  
16 recommendation?

17 A. I can tell you -- I mean, you want me to go  
18 through for each account for each plant and tell you  
19 the impact?

20 Q. If you can. Each account in total would be  
21 fine, if you can do that.

22 A. Okay. Let me see if I have that information  
23 with me real quick.

24 I don't have -- I don't have total per  
25 account unless you want me to sit here and calculate

1 it, but I do have it by plant.

2 Q. Okay. If it's easier to say by plant, go  
3 ahead and say it that way.

4 A. Like, for instance, for Meramec, account  
5 312, there is a decrease in accrual of 3.4 million.  
6 And 312 for Sioux, there is a decrease in accrual for  
7 3.7 million. For Venice, there is not as much. It's  
8 404,000. For Labadie, 7 million. And I'm giving you  
9 approximate numbers.

10 Q. That's fine.

11 A. Account 312 for Rush Island, 3.7 million.  
12 Those were some of the big dollars in the  
13 boiler plant equipment accounts.

14 Do you want me to go through 311?

15 Q. Yes, please.

16 A. Okay. For 311 for Meramec, there was a  
17 decrease in accrual of 361,098; for 311 for Sioux,  
18 311,743; 311 for Venice, 262,105; 311 for Labadie,  
19 836,779; 311 for Rush Island, 649,604.

20 For account 314, turbo generator units, for  
21 Meramec, 716,657; for Sioux, account 314, 726,116; for  
22 Venice, 314, 244,952; for Labadie, 1,500,824; for Rush  
23 Island, 1,052,000

24 For account 315, accessory electric  
25 equipment, for Meramec, 154,102; for Sioux, 163,347;

1 for Venice, 78,717; for Labadie, 438,987; and for Rush  
2 Island, 196,980.

3 Q. Okay. So the biggest impacts are in  
4 account 312; is that true?

5 A. That's correct.

6 Q. And what is that again?

7 A. Boiler plant equipment.

8 Q. Okay. And did the changes that you just  
9 listed, did those constitute the primary difference  
10 between your earlier recommendation and your most  
11 current recommendation?

12 A. I would say those accounts and also the  
13 accounts that had a large negative net salvage.

14 Q. And, just generally, what kind of accounts  
15 would those be, if you can generalize?

16 A. Well, that was poles, account 364, and  
17 overhead services, 369.001.

18 Q. Okay. But didn't -- didn't those --  
19 wouldn't those have had a large negative salvage value  
20 the last time you looked at them too?

21 A. Yes. The order of negative net salvage  
22 remains the same.

23 Q. Yeah. I guess I'm -- I'm not comparing what  
24 your recommendation is to the existing rates. I'm  
25 asking you to compare your recommendation in March of



1 2002 to your recommendation in July of 2001.

2 A. Well, I think in July I did do those --  
3 okay. Are you talking -- which accounts are you  
4 talking about? Production plant or --

5 Q. I guess what I'm trying to do is understand  
6 the difference between your July 1, 2001  
7 recommendation and your March of 2002 recommendation.  
8 And my understanding is that that's in very large part  
9 due to the steam production plant; is that true?

10 A. Yes, it is.

11 Q. And those other accounts that you mentioned  
12 that have large salvage components, your  
13 recommendation would have been very similar? I mean,  
14 in other words, you already had excluded the salvage  
15 from those accounts in your July 2001 testimony; is  
16 that correct?

17 A. That's correct.

18 Q. So there is not a big difference in those  
19 accounts in your recommendation between July of 2001  
20 and March 2002; is that right?

21 A. Mostly in production.

22 Q. Okay. And let me ask you this: When you  
23 went through the process of selecting a curve for any  
24 of the accounts after you ran the data through the  
25 Gannett-Fleming model, did you follow the same

1 procedure to select an appropriate curve that you  
2 explained to me in your previous deposition?

3 A. Yes.

4 Q. Okay. And so an important fact -- if I  
5 recall your previous deposition correctly, an  
6 important fact to consider is the -- is it the  
7 residual value? Is that the right term?

8 A. Residual measure.

9 Q. Residual measure. Okay. So is it fair to  
10 say that's an important consideration in deciding what  
11 curve to pick?

12 A. Yes.

13 Q. Okay. And would it be fair to say that if  
14 you departed from the curve with the lowest residual  
15 measure, you would -- you would have a reason for  
16 doing so?

17 A. If I departed from it?

18 Q. Yeah. If you -- maybe that's a poor way of  
19 phrasing the question.

20 If you didn't -- if you didn't select the  
21 curve with the lowest residual measure, you would have  
22 a reason for not selecting that curve; is that true?

23 A. Well, you don't always select the curve with  
24 the lowest residual measure. It could be the second  
25 lowest or the third lowest.

1           Q.     Okay. But wouldn't you have to have --  
2     wouldn't you have a reason for selecting that second  
3     lowest or third lowest as opposed to the lowest?

4           A.     Sure.

5           Q.     In other words, if there is no reason to  
6     depart from it, you would use the curve with the  
7     lowest residual measure; is that fair to say?

8           A.     No, because it's not -- we don't just look  
9     at residual measure. We take other factors into  
10    consideration.

11          Q.     Okay. And what other factors do you take  
12    into consideration?

13          A.     We look at -- well, we go out and talk to  
14    plant managers and plant engineers and superintendent  
15    engineers. We talk to them about the property in  
16    those accounts and what type of life they are seeing,  
17    so we take that into consideration also.

18          Q.     Is there anything else that you take into  
19    consideration?

20          A.     Is it a good visual fit, because the lowest  
21    residual measure might not necessarily be the best fit  
22    visually. And it could be the difference between one  
23    or two years.

24          Q.     Okay. Is there anything else that you take  
25    into consideration?

1 A. I can't think of anything else at this time.

2 Q. Okay. And -- last -- after your last  
3 deposition, I sent a data request asking you to  
4 provide a list of all of the accounts where you didn't  
5 use the curve with the lowest residual value and  
6 explaining your reason for picking the curve that you  
7 picked.

8 I mean, would you -- could you provide -- I  
9 mean, if I asked you a data request, could you provide  
10 that same information this time on this study?

11 A. Sure.

12 Q. Okay. Okay. Let me ask you this: When did  
13 you begin your work to update your 1995 study to  
14 incorporate the new data that you had?

15 A. I want to say in the month of February.

16 Q. February 2002. Right?

17 A. Yes.

18 MR. SCHWARZ: At this point I would like to  
19 make clear for the record that it's not a 1995 study.  
20 That is a study that was done in 1995. It was a 2001  
21 study based on the most recent data provided by the  
22 Company, which was data that ended in 1995. I just  
23 want to make that clear.

24 MR. BYRNE: Yeah, and I agree with that  
25 clarification. I apologize for stating it in an

1 unclear fashion.

2 BY MR. BYRNE:

3 Q. And my question to you is, when you -- when  
4 you did the new study with the updated data, the study  
5 where you had access to data through 2000, when did  
6 you start doing that study? Is your answer still  
7 February of 2002?

8 A. Yes.

9 Q. Okay. And when did you complete your work  
10 on the new study?

11 A. In March.

12 Q. Okay. So did you work on it, do you think,  
13 like, about two whole months, or is it more like one  
14 whole month?

15 A. More like one month.

16 Q. More like one month.

17 Okay. The -- and were your initial  
18 conclusions related to the study reviewed by other  
19 people on the Commission Staff?

20 A. Yes.

21 Q. Who reviewed your initial conclusions?

22 A. Paul Adam, Rosella Schad, Lisa Kremer.

23 Q. And did you make any changes to your initial  
24 conclusions as a result of this review process?

25 A. Yes, I did.

1 Q. What changes did you make?  
2 A. Just in discussing different lives, I made  
3 some changes from my initial lives that I had  
4 estimated.  
5 Q. Do you remember what accounts were involved  
6 in that?  
7 A. I believe they were in production.  
8 Q. Was account 312 involved in that?  
9 A. Yes.  
10 Q. And do you remember, as a result of those  
11 discussions, did the -- did you lengthen or shorten  
12 your average service lives for the accounts that were  
13 involved?  
14 A. They were shortened.  
15 Q. Do you remember what -- do you remember any  
16 specifics about what your lives originally were for  
17 those production accounts and then what they were  
18 after your discussion with the other Staff members?  
19 A. Yes. Someone -- I remember one being at  
20 least 100 years.  
21 Q. Do you remember which one?  
22 A. I think it was structures and improvements.  
23 Q. Do you have any work papers that show your  
24 original calculations of those lives?  
25 A. Yes, I do.

1 Q. Have you -- have you provided those? I'm  
2 not sure you necessarily were asked to provide those,  
3 but I was just curious. Have you provided those to  
4 us?

5 A. I think I have.

6 Q. Okay. Just in the general work papers that  
7 you submitted with your testimony? Is that where  
8 those would be?

9 A. It should be in general work papers, but I'm  
10 not sure I submitted those earlier work papers.

11 Q. Okay. Would you be willing to provide us  
12 with those? Do they exist still?

13 A. I'd have to check and see. I don't think  
14 so, but --

15 Q. Okay. Well, if they do exist, will you not  
16 throw them away?

17 A. Okay.

18 Q. Okay. Let me ask you this: What in your  
19 opinion is necessary to reliably fit a survivor curve  
20 to Company data for a particular account?

21 A. A good residual measure, a good visual fit,  
22 but also, and in some cases more importantly, what my  
23 knowledge and experience has taught me about that  
24 account.

25 Q. Okay. I would like to ask you about a

1 couple of specific accounts, and I'll -- I'm going to  
2 ask Mr. Stout to get your work papers out.

3 The first account I would like to talk about  
4 is account 393, and -- and, actually, it's shown on --  
5 I guess everything you need is on schedule 2-2 of your  
6 July testimony, if you have -- do you have your July  
7 testimony?

8 A. My July testimony?

9 Q. Yes.

10 A. Yes.

11 Q. Can you tell me what account 393 is, what's  
12 in that account?

13 A. Stores equipment.

14 Q. Do you know what that is?

15 A. Let's see if I can remember.

16 I don't remember right now.

17 Q. Okay. On -- but it looks to me like in July  
18 of 2001 you had selected a 36-03 Iowa curve; is that  
19 right?

20 A. Yes.

21 Q. But then in your March 2002 study, if you  
22 have that, it looks like you did not do an analysis of  
23 this account or select a curve; is that right?

24 A. That's right.

25 Q. Okay. So then did you default to the 1983



1 average service life for that account?

2 A. Yes, I did.

3 Q. Okay. How come you didn't use the survivor  
4 curve that you had done for -- for 1995 data instead  
5 of going all of the way back to the 1983 data?

6 A. I guess with this second depreciation study,  
7 I just wanted to include end of year 2000 analysis,  
8 and so for any accounts that I did not study, I used  
9 the currently prescribed lives.

10 Q. But wouldn't the use of more recent data let  
11 you achieve a better result?

12 A. When you say "better result," what do you  
13 mean?

14 Q. A more appropriate average service life  
15 based on the more recent data.

16 A. That's true.

17 Q. Okay. And I guess the same -- really, it's  
18 kind of the same question on account 316, which says  
19 miscellaneous power plant equipment.

20 A. Uh-huh.

21 Q. And it looks like in the July study, you  
22 selected a 50-50 Iowa curve; is that right?

23 A. Yes.

24 Q. And, again, the same thing in your March  
25 2002 testimony; you did not study that account; is

1 that right?

2 A. That's right.

3 Q. And, again, you defaulted to the -- to the  
4 1983 average service life rather than using the 50-S0  
5 curve you had selected based on 1995 data?

6 A. Yes.

7 Q. Okay. And, again, would it be fair to say  
8 that you could -- you could obtain a better curve  
9 based on more recent data if you had instead used the  
10 1985 -- or the curve that you had selected in your  
11 July 2001 testimony?

12 A. Sure.

13 Q. Okay. Okay. And then is there another step  
14 to the Gannett-Fleming -- getting back to what you did  
15 in your most recent study, after you selected an Iowa  
16 curve for the accounts that you studied, then is there  
17 another step in the Gannett-Fleming model?

18 A. Yes. I would then use E Match to match the  
19 appropriate Iowa curve to the plotted survivor curve.

20 Q. Okay. And then what -- what is the output  
21 of that? What is Gannett-Fleming tell you after that  
22 step is completed?

23 A. Well, for E Match, Gannett-Fleming doesn't  
24 tell you. You pick what you think is appropriate, and  
25 then whatever you deem is the best fit, you print that

1 out, and that's your graph for that survivor curve.

2 Q. Okay. And then is there another step in the  
3 Gannett-Fleming model?

4 A. Then once you have the life, then you go on  
5 to determine the depreciation rate.

6 Q. And does the Gannett-Fleming model help you  
7 do that too?

8 A. Yes, dep rate does that.

9 Q. And dep rate is one of the programs in the  
10 Gannett-Fleming computer model?

11 A. Yes.

12 Q. And so what does it tell you?

13 Well, okay. Let me back up.

14 What do you feed into dep rate? Do you feed  
15 in the life of the account?

16 A. You feed in the life. You feed in the  
17 salvage, if you have a salvage. And it tells you the  
18 depreciation rate and the theoretical reserve.

19 Q. Okay. And in your case you didn't -- you're  
20 not including salvage value in your depreciation  
21 calculation, so you would have said zero for net  
22 salvage. Right?

23 A. Correct.

24 Q. And you only did that -- is it fair to say  
25 that you only did that second step with -- with the

1 same 26 accounts that you did the first step on?

2 A. Yes.

3 Q. So you didn't -- for example, for the other  
4 25 accounts, you did not calculate a theoretical  
5 reserve?

6 A. No.

7 Q. Okay. And you did not calculate a  
8 depreciation rate obviously?

9 A. Right.

10 Q. Okay. Okay. Other than what we've talked  
11 about so far, did you do any other analysis or study  
12 to support your Direct Testimony filed in March of  
13 2002?

14 A. No.

15 Q. And, specifically, you didn't look at  
16 anything else since -- well, to try to not ask you a  
17 million questions, since my last deposition on  
18 November 27th, 2001, would it be fair to say you did  
19 not do any additional analysis other than what we've  
20 talked about; is that true?

21 A. Correct.

22 Q. Okay. I have some more questions about a  
23 specific account, and I'm specifically looking at  
24 account 364, which is poles, towers, and fixtures; is  
25 that correct?

1 A. Yes.

2 Q. And I've got a work paper that we got from  
3 you for that account that shows the -- well, what does  
4 that work paper show?

5 A. It shows an Iowa curve, 41-R2.5.

6 Q. Okay. And, again, what does -- what does  
7 the 41 mean in that numeric identification?

8 A. Forty-one year life.

9 Q. Okay. And what does "R2.5" mean?

10 A. It means a right modal 2.5 curve was  
11 selected.

12 Q. Okay. What, does "2.5" mean anything in  
13 particular?

14 A. It's the degree to which the R curve is.  
15 You have an R1, an R2, and it -- the R2.5 is the  
16 degree to which the R curve fits.

17 Q. Okay. And would it be fair to say that  
18 embodied in this -- in this estimate that is this  
19 curve is a forecast of the future retirements of the  
20 poles and towers and fixtures?

21 A. Yes.

22 Q. And isn't it true that the curve represents  
23 a prediction of how many poles will live for ten  
24 years, how many poles will live for 20 years, how many  
25 poles will live for 50 years, different -- different

1 lives like that?

2 A. Yes.

3 Q. And I guess it shows how many poles are  
4 expected to be remaining in service at the end of each  
5 period?

6 A. It shows the percent surviving.

7 Q. Okay. And would you agree that -- and how  
8 far does that curve extend? When does it show the  
9 last pole, tower, or fixture will be retired?

10 A. Eighty-six.

11 Q. Eighty-six years from --

12 A. Yes.

13 Q. Okay. And would you agree that the actual  
14 retirements for that account over the next 86 years  
15 are not going to conform exactly to the parameters of  
16 that 41-R2.5 curve?

17 A. That's correct.

18 Q. And despite this fact, though, is it your  
19 opinion that the use of that 41-year average service  
20 life is reasonable for depreciation purposes?

21 A. Yes.

22 Q. Okay. And would you agree that when those  
23 retirements occur in that account, AmerenUE will incur  
24 removal costs?

25 A. Yes.

1 Q. Okay. I'd like to ask you some questions  
2 about steam production plant accounts.

3 First of all, do you agree that AmerenUE's  
4 coal-fired power stations consist of large individual  
5 units?

6 A. Yes.

7 Q. And do you agree that these units experience  
8 interim retirements?

9 A. Yes.

10 Q. And do you agree that additions or  
11 replacements at these stations become an integral part  
12 of the unit?

13 A. Yes.

14 Q. And do you agree that there is a finite life  
15 for each unit?

16 A. When you say "finite," what do you mean?

17 Q. Well, I guess what I mean is, whether you  
18 can predict it or not, whether you can -- whether you  
19 can estimate what that life is or not, would you agree  
20 that the life is finite?

21 A. I agree that you can determine an average  
22 service life. But to have a definite ending life or a  
23 retirement date, no.

24 Q. Well, I didn't say a definite retirement  
25 date. I said a finite life.

1 Will the plant's life come to an end some  
2 time?

3 A. Eventually.

4 Q. So would you agree that the plant has a  
5 finite life, even if you cannot predict the definite  
6 year or day in which it will be retired?

7 A. Yes.

8 Q. Okay. And do you agree that when a plant is  
9 retired that all of the related equipment and  
10 facilities in that plant will also be retired when you  
11 reach the final retirement date?

12 A. Yes.

13 Q. Okay. Okay. And I would like you to look  
14 at a book I have, and the book is called, **Depreciation**  
15 **Systems**, by Wolf and Fitch. And it looks like the  
16 1994 edition, and it's a passage that's on page 255.

17 Will you take a look at the book and satisfy  
18 yourself that I've identified it correctly?

19 A. Yes.

20 Q. And is this the same -- one of the books  
21 that in your previous deposition you said was an  
22 authoritative book on depreciation?

23 A. Yes.

24 Q. Okay. On page 255 of that book, could you  
25 please read the second and third sentences of the



1 second paragraph? I think they are marked.

2 A. "Examples of a unit of property are a  
3 hydroelectric dam or the building/housing electrical  
4 generating equipment. Examples of a group of property  
5 that will be retired as a unit include the turbines,  
6 generators, and other equipment used to generate  
7 electrical power and housed in either the dam or  
8 building."

9 Q. Okay. And do you agree with those  
10 sentences?

11 A. Yes.

12 Q. Okay. That's all I had out of that book,  
13 but I have another book.

14 And this other book I'm handing you is  
15 **Public Utility Depreciation Practices** published by  
16 NARUC. It looks like the August 1996 edition, and  
17 I'm -- there is a quote on page 141 that I would like  
18 to direct your attention to.

19 First of all, could you verify that I've  
20 adequately identified the book?

21 MR. SCHWARZ: Where are we?

22 THE WITNESS: Yes.

23 BY MR. BYRNE:

24 Q. And is that also a book that you previously  
25 identified in your last deposition as an authoritative

1 text on depreciation?

2 A. Yes.

3 MR. SCHWARZ: I would like to make clear  
4 that there are -- there is language identified. It is  
5 not a quote. It is just part of the text. The text  
6 is not quoting another source.

7 MR. BYRNE: Yes. I agree with that  
8 clarification. The word "quote" probably wasn't the  
9 best.

10 BY MR. BYRNE:

11 Q. But, anyway, could -- could you read the  
12 third sentence of the last paragraph on page 141 of  
13 that book?

14 A. "The following classes of utility property  
15 may be most appropriately studied under this method  
16 taking into consideration the availability of plant  
17 accounting data and particularly the number of units  
18 of property involved: buildings, electric power  
19 plants, major high voltage substation and switching  
20 stations, telephone, central office switching  
21 equipment, water filtration plants, dams and  
22 impoundments and gas compressor stations."

23 Q. Okay. And when it says "this method" there,  
24 my understanding is they are referring to the life  
25 span method? Can you -- is that true, or can you tell

1 from that -- from looking at that text?

2 A. A life span group, yes.

3 Q. Okay. And so do you agree with that  
4 statement?

5 A. Yes.

6 Q. Okay. Are you recommending the life span  
7 approach for AmerenUE's power production stations?

8 A. No.

9 Q. Okay. And what's the difference between  
10 what you're recommending and the life span approach?

11 A. I'm recommending an average service life for  
12 those accounts in production. I'm not recommending an  
13 estimated retirement date.

14 Q. Okay. So would it be fair to say what  
15 you're recommending is similar to the life span  
16 approach except there is no estimated retirement date?

17 A. Similar to a life span approach in what  
18 manner?

19 Q. Well, similar to the life span approach in  
20 that it's exactly like the life span approach except  
21 there is no final retirement date.

22 A. It's life span property, but I'm giving it  
23 average service lives.

24 Q. Okay. So are you recommending a mass  
25 property approach for AmerenUE's steam production

1 stations?

2 A. No, in that it's not mass property. Mass  
3 property -- not for the production accounts, no.

4 Q. So if it is not life span and it's not the  
5 mass property approach, what is it?

6 A. It's not the life span method in that you're  
7 estimating a final retirement date.

8 Q. So would it be fair to say -- would it be  
9 fair to say that you're recommending the life span  
10 approach without probable retirement dates?

11 A. Eventually, that plant will be retired, but  
12 that retirement date is a value that we just don't  
13 know, and there has been no -- there has been no  
14 supporting evidence for those dates.

15 Q. Sure. I understand that. But I'm just  
16 trying to -- I'm just trying to see if you agree  
17 with -- are you recommending a life span approach  
18 without estimated final retirement dates for those  
19 accounts?

20 A. For the steam production accounts, I guess,  
21 no, I would not be recommending the life span  
22 approach.

23 Q. Okay. What approach are you recommending?

24 A. I'm just prescribing average service lives  
25 for accounts 311 through 315.

1           Q.     Well, do you -- I guess, then, would you  
2 say -- would it be fair to say it's a new approach  
3 other than the standard named approaches for -- you  
4 know, which I guess in my mind are either the life  
5 span approach or the mass property approach? Is this  
6 a third choice that doesn't have a name?

7           A.     It's been treating it -- it's been treated  
8 as mass property. I mean, I'm prescribing average  
9 service lives the way you would mass property  
10 accounts, but I'm not estimating a final retirement  
11 date like you would life span.

12          Q.     Okay.

13          A.     So if you're somewhere in the middle, there  
14 is no label you can give that.

15          Q.     Well, maybe it's the mass property approach.  
16 Is it the mass property approach?

17          A.     I guess you could say that.

18          Q.     Okay. Is it -- is it your expectation that  
19 these plants will be fully accrued at the time of  
20 their retirement?

21          A.     That is the hope, but that doesn't always  
22 happen.

23          Q.     But not necessarily your expectation?

24          A.     It's not something that you can accurately  
25 say, yes, definitely, that it will be fully accrued by

1 the end of its life.

2 Q. Well, let me ask you this: For these  
3 accounts, just how did you determine the average  
4 service life?

5 A. The same way I determined the average  
6 service lives for the other accounts, which was, as we  
7 discussed earlier, survivor curve analysis.

8 Q. So for the Callaway plant, for example, did  
9 you do a survivor curve analysis to determine the  
10 average service life?

11 A. No, I didn't.

12 Q. Okay. How did you determine the average  
13 service life for --

14 A. I didn't do an analysis on those accounts  
15 because it's a 40-year licensed life.

16 Q. Okay. How did you do it for Rush Island or  
17 Sioux?

18 A. I uploaded the data in Gannett-Fleming and  
19 determined the appropriate average service life by  
20 matching an appropriate curve to the produced survivor  
21 curve outputs.

22 Q. Let me ask you this: Would you describe the  
23 survivor curves that you estimated for accounts 311  
24 through 315 as interim survivor curves?

25 A. Yes.

1 Q. Okay. Okay. Let me just clarify. My  
2 understanding is -- again, based on what we discussed  
3 before, is that in your previous study that supported  
4 your July 2001 testimony, you didn't study those  
5 accounts 311 to 315; is that correct?

6 A. Well, I did study those, but I did not --

7 Q. Oh, okay. I'm sorry. You're right.

8 You studied all of the accounts; is that  
9 correct?

10 A. Except for the nuclear accounts, yes.

11 Q. Okay. And -- but you didn't select -- you  
12 ended up not selecting a survivor curve for those  
13 accounts, is that correct, and instead defaulted to  
14 the 1983 average service life?

15 A. That's correct.

16 Q. And -- and the reason -- the reason that you  
17 didn't select a curve, and I'm quoting from your  
18 earlier testimony, is "the accounts had so few  
19 retirements that a resulting curve fit was  
20 nonreliable," and I can -- close quote. And I can  
21 cite you to where that is in your testimony, if you  
22 need me to, but is that generally correct?

23 A. That's correct.

24 Q. Okay. And since you have now estimated a  
25 survivor curve for these accounts based on your

1 subsequent study, would it be -- am I correct in  
2 saying that in your view there is now ample retirement  
3 data to produce a reliable fit for the curves that  
4 you've selected?

5 A. Yes.

6 Q. Okay. And I started to ask you a little  
7 about nuclear production plant which may have been out  
8 of order, but my understanding is, for those  
9 accounts -- which I think are accounts 321 to 325; is  
10 that correct?

11 A. Yes.

12 Q. Okay. -- you are recommending a 2.5 percent  
13 depreciation rate; is that right?

14 A. Yes.

15 Q. And that's based on the 40-year life of the  
16 Callaway license; is that correct?

17 A. Yes.

18 Q. And one issue is -- would it matter to you  
19 if -- well, are you aware if based on the in-service  
20 date of the Callaway plant the license actually only  
21 extends 39.5 years from the in-service date?

22 A. No, I was not aware of that.

23 Q. Would that matter to you in terms of  
24 calculating depreciation rates, if that's the case?

25 A. I would probably still use a 40-year life.



1 Q. Okay. And why would you still use a 40-year  
2 life?

3 A. Because it's very close to 40 --

4 Q. Okay.

5 A. -- 39.5.

6 Q. In your mind, it's sort of a rounding thing.  
7 You would go to 40 to round it?

8 A. Right. I would have to know the actual  
9 license is only 39.5 years, and I guess I would want  
10 to know the reasons for that. Why is it  
11 thirty-nine-and-a-half? I would have to know.

12 Q. Yeah. I guess in my example, the in-service  
13 date occurred six months after the -- after the  
14 license was issued, so the plant, I guess, would only  
15 be in service for thirty-nine-and-a-half years  
16 although it got a 40-year license. That's my --

17 MR. SCHWARZ: I'm going to object to the  
18 question. I think the witness indicated that she  
19 would like to review the documents and the data if --  
20 I don't think it's necessarily appropriate to -- for  
21 counsel in this type of proceeding to be apposing  
22 those things?

23 MR. BYRNE: Okay. I'll move on.

24 MR. SCHWARZ: And -- well, if you wish to  
25 continue, I just want it understood that her answer is

1 hypothetical as well until she can look at the  
2 documents and materials.

3 BY MR. BYRNE:

4 Q. Well, okay. With that caveat, can you give  
5 me a hypothetical answer?

6 A. I would still say 40 years, because it's a  
7 40-year license.

8 Q. Okay. Do you know the initial year of  
9 service for the Callaway plant?

10 A. I believe it was 1983.

11 Q. Okay. And if you added 40 years to that  
12 initial service -- in-service date, you would get  
13 2023. Right?

14 A. Right.

15 Q. And is it your understanding that that's  
16 when the license expires? Right?

17 A. Yes.

18 Q. And let's take the example of -- in year  
19 1999 -- would you agree that plant was added to  
20 Callaway in 1999, or do you know?

21 A. I don't have that information.

22 Q. Why don't you assume for me that some plant  
23 was added to Callaway in 1999. And -- but is it true  
24 that you would -- well, what -- what average service  
25 life would you be recommending for the plant that was

1 added in 1999 to Callaway?

2 A. It would be the 2023 minus that 1999. It  
3 would be that life.

4 Q. Okay. That's the appropriate life for plant  
5 that was added in 1999 to the Callaway plant?

6 A. If the Callaway plant were to be totally  
7 demolished in 2023.

8 Q. Well, I guess that's not what I'm asking.

9 I'm asking, if you add plant in 1999, based  
10 on what you know about the Callaway plant now, what's  
11 the appropriate depreciation rate for that plant?  
12 What's the appropriate average service life for that  
13 plant, I guess is the better question?

14 A. It would be as I stated earlier.

15 Q. Which is what?

16 A. The 2023 minus the 1999, which would be  
17 about 23, 24 years.

18 Q. Okay. Okay. I'd like to talk a little bit  
19 about your proposed amortization of the difference  
20 between the Company's actual reserve and theoretical  
21 reserve.

22 First of all, can you just briefly explain  
23 what the actual reserve is, what the Company's actual  
24 reserve is?

25 A. Sure. The actual reserve -- I can give the

1 actual reserve for the account I studied.

2 Q. I'm sorry. I just want a definition of  
3 generally what is actual reserve.

4 A. It's the amount of accumulated depreciation  
5 that has occurred from the inception of the accounts  
6 existing up until now.

7 Q. Okay. And when -- each year as you accrue  
8 the depreciation expense, does the actual reserve  
9 increase?

10 A. Yes.

11 Q. And then when units of the plant account are  
12 retired, does that reduce the actual reserve?

13 A. When units of the plant --

14 Q. When there are retirements in the account,  
15 does that reduce the actual reserve, or --

16 A. It doesn't reduce it, but you are -- if the  
17 account is fully retired, then you would no longer be  
18 accruing anything to the reserve --

19 Q. Okay.

20 A. -- unless additional plant was added.

21 Q. But I'm saying, like, in -- say you have a  
22 mass -- and maybe I don't understand this. That's  
23 entirely possible.

24 Say you have a mass property account. You  
25 know, say it's poles, and every year you're retiring a

1 certain number of poles. Don't those retirements  
2 reduce the accrued depreciation or the actual reserve?

3 A. Yes.

4 Q. Okay. And, now, could you tell me -- give  
5 me a definition of what the theoretical reserve is?

6 A. The theoretical reserve is what the reserve  
7 would be using my currently recommended lives.

8 Q. Okay. In other words, there is a --

9 A. Where I think that the reserve should be.

10 Q. Okay. In other words, is it how much  
11 depreciation would have accrued had your depreciation  
12 recommendations been implemented over the life of  
13 the -- of the current plant?

14 A. Yes.

15 Q. Okay. And my understanding is the amount of  
16 the difference between the actual and theoretical  
17 reserve has jumped significantly between your July  
18 testimony, July of 2001 testimony, and your March of  
19 2002; is that correct?

20 A. Yes.

21 Q. Do you remember how much the difference  
22 between actual and theoretical reserve was in your  
23 July of 2001 testimony?

24 A. It was approximately 500 million.

25 Q. Okay.

1 A. Do you want an exact number?

2 Q. Yeah, if you can get it easily.

3 A. 469,204,254.

4 Q. And you were proposing to amortize that over  
5 what period?

6 A. Twenty years.

7 Q. Okay. And now what has -- what has that  
8 difference jumped to?

9 A. Now it's 980 million, approximately.

10 Q. Okay. And now what are you proposing --  
11 what period are you proposing to amortize that  
12 difference over?

13 A. Forty years.

14 Q. Okay. And will the 40-year -- and I guess  
15 the reason -- well, why did you pick the 40 years  
16 rather than the 20 years?

17 A. So that it would be 25 million a year  
18 advertised -- advertised -- amortized versus -- it  
19 probably would be twice as much as that. It would be  
20 less of an impact upon the customer and the Company.

21 Q. Okay. And would it be fair to characterize  
22 the amortization of this difference as a way to repay  
23 to the customers the amounts for depreciation that you  
24 believe have been improperly collected during past  
25 periods?

1           A.     As far as how it relates to customers, I  
2 could not testify to that.

3           Q.     Well, would it be fair to say that you're --  
4 you're paying back, or the Company is disgorging  
5 amounts of depreciation expense that you believe they  
6 improperly collected in the past?

7           MR. SCHWARZ: I'm going to object, or ask  
8 for clarification on the word "improperly."

9           Your question suggests that the Company  
10 has -- has been doing something that wasn't authorized  
11 by the Commission, I think that the question is  
12 misleading. If it is intended to indicate that the  
13 depreciation rates prescribed in earlier periods were  
14 too high, which is what I think it's driving at, I  
15 would be more comfortable if that was made clear.

16           MR. BYRNE: Let me take the word out,  
17 because I don't want to -- I understand you're saying  
18 about it being misleading. So let me ask the question  
19 without the word "improperly."

20 BY MR. BYRNE:

21           Q.     Is it your -- is it fair to say that the  
22 amortization -- the amortization of the difference  
23 between actual and theoretical reserve is a mechanism  
24 whereby the Company refunds amounts that were  
25 collected in the past, amounts of depreciation

1 expenses that were collected in past periods?

2 A. No, I couldn't say that. I don't know if  
3 it's a refund mechanism.

4 Q. Okay. What if I changed the word "refund"  
5 to "pay"?

6 A. I don't know.

7 Q. Well, maybe -- I don't want to get hung up  
8 on that word.

9 Would it be fair to say that what you're  
10 doing is you're -- is you're -- maybe disgorge is a  
11 better word.

12 The Company is disgorging the amounts that  
13 were collected in the past as depreciation expense  
14 through this amortization; is that true?

15 A. I would have to say I don't know.

16 Q. You don't know.

17 Well, I mean, isn't -- isn't the way --  
18 isn't the way this difference is calculated by  
19 comparing what the Company actually collected?  
20 Doesn't that actual deprecia-- or actual reserve  
21 reflect what the Company has actually collected  
22 through depreciation expenses in past periods? Isn't  
23 that what that reflects?

24 A. Sure.

25 Q. And isn't the theoretical reserve -- doesn't



1 that reflect what they would have collected in those  
2 past periods if they had used your -- if the  
3 Commission had used your methodology to calculate  
4 depreciation expense?

5 A. Yes.

6 Q. And so isn't the amortization of the  
7 difference the mechanism whereby the Company disgorges  
8 that difference, the difference between what they  
9 actually collected and what under your methodology  
10 they would have collected in those past periods?

11 A. All I can tell you about the theoretical  
12 reserve and the actual reserve is that I recommended a  
13 40-year amortization. What happens with those  
14 dollars, maybe Greg Meyer can testify to what happens  
15 after that.

16 Q. I'm not asking what happens after that. I  
17 guess -- I guess -- okay. Let's start over.

18 The actual reserve is what we collected in  
19 past periods through our depreciation expense. Right?  
20 You already agreed to that. Is that correct still?

21 A. Yes.

22 Q. Okay. And you don't think -- and by -- and  
23 your amortization suggests that that's not right, that  
24 we haven't collected the right amount; is that true?

25 A. No. My theoretical reserve suggests that.

1 Q. Okay. It suggests that the Company has not  
2 collected the right amount?

3 A. That the Company has overaccrued.

4 Q. Okay. Through the collection of  
5 depreciation expense in past periods. Right?

6 A. Yes.

7 Q. Okay. And so you're trying to correct -- by  
8 amortizing the difference, you're trying to correct  
9 for that overcollection of depreciation expense in  
10 past periods. Right?

11 A. Yes.

12 Q. And the way you collect -- I mean, the way  
13 you correct for that overcollection in past periods  
14 is, the Company effectively disgorges that amount  
15 by -- through a 40-year amortization in this case that  
16 will benefit customers for the next 40 years; is that  
17 right?

18 A. Yes.

19 Q. Okay. You know, it struck me that that  
20 \$980 million is an awfully large number. And I was  
21 just wondering how -- how that compares to other --  
22 have you ever sponsored adjustments for other  
23 companies where the difference between the actual and  
24 theoretical reserve is being amortized?

25 A. No, I have not.

1 Q. Okay. This is your first one?

2 A. Uh-huh.

3 Q. Okay. Have you ever seen or heard of an  
4 amortization of a difference between actual and  
5 theoretical reserve of this magnitude?

6 A. Probably not of this magnitude, no.

7 Q. Okay. What's the -- well, did you consider  
8 in proposing this amortization whether an amortization  
9 of this magnitude would adversely affect the Company  
10 in any way?

11 A. No, I did not.

12 Q. Did you consider at all in proposing this  
13 amortization the Company's need to build  
14 infrastructure? Was that a factor that came into play  
15 at all?

16 A. No.

17 Q. Did that factor come into play at all in any  
18 of your depreciation analysis or recommendations?

19 A. No.

20 Q. Oh, let me -- not to completely leave the  
21 theoretical and actual reserve, but a point that  
22 Mr. Schwarz made. I just want to make sure you agree  
23 with this.

24 The amount that was collected -- the amounts  
25 of depreciation that were collected that comprise the

1 Company's actual reserve, do you agree those amounts  
2 were collected pursuant to depreciation rates approved  
3 by the Commission?

4 A. Yes.

5 Q. Okay. Let me ask this question: Would it  
6 be possible to apply Staff's change in the treatment  
7 of net salvage only on a prospective basis to newly  
8 acquired assets?

9 A. Can we take a break?

10 MR. BYRNE: Sure. Absolutely.

11 (A RECESS WAS TAKEN.)

12 BY MR. BYRNE:

13 Q. On the steam production plant that we were  
14 talking about before, my understanding is you  
15 didn't -- when you studied it the first time, there  
16 weren't enough -- there wasn't enough retirement data  
17 to produce reliable curves; is that right?

18 A. Yes.

19 Q. And now, I guess, there is since you've  
20 selected some curves; is that right?

21 A. With five years of additional data, I felt  
22 more confident in my lives.

23 Q. Okay. Do you know what happened at all in  
24 those five years to those accounts?

25 A. What happened in those accounts?

1 Q. Yeah. Did you investigate at all what --  
2 what -- what caused the additional data points  
3 between -- or retirements -- what would cause the  
4 additional retirements between the 1995 data and the  
5 2000 data?

6 A. I did not investigate what caused the  
7 additional retirements.

8 Q. Okay. Okay. The question I was asking on a  
9 different subject right before we broke was, would it  
10 be possible to apply the new treatment of net salvage,  
11 meaning excluding it from the depreciation calculation  
12 and including it as an expense, would it be possible  
13 to apply that only to new assets that the Company  
14 acquires or puts into service after the change in  
15 policy?

16 A. Would -- are you asking would it be possible  
17 to only apply that to new assets?

18 Q. Yes. In other words, still -- would it be  
19 possible to still continue with the traditional  
20 treatment of net salvage for all of the existing  
21 assets that are in service but apply this new policy  
22 to newly acquired assets?

23 A. No. It would have to be done across the  
24 board.

25 Q. How come?

1           A.       Because we're recommending a whole-life  
2 technique of recovering the original cost. We would  
3 want to include all plant, not just new plant.

4           Q.       Yeah, but I guess -- I guess what I'm asking  
5 isn't -- obviously, what the Staff wants to do is  
6 apply it to existing assets, but I guess what I'm  
7 asking is a narrower question or a different question.

8                   Is it possible to do it the other way?

9           A.       I have not looked into that, so I -- I could  
10 not say yes or no.

11          Q.       Do you know any reason that it's not  
12 possible to do it that way?

13          A.       No.

14          Q.       Okay. I -- the question I asked you in your  
15 previous deposition but I'll ask again to see if there  
16 is any update is, is the Staff aware of any other  
17 jurisdictions in the United States besides  
18 Pennsylvania that utilize the Staff's proposed  
19 treatment of net salvage costs for electric utilities?

20          A.       No.

21          Q.       How about beyond the United States? Are you  
22 aware of any other jurisdictions in the rest of the  
23 world that use the Staff's treatment of net salvage  
24 costs for electric utilities?

25          A.       No.

1 Q. How did you check the reasonableness of your  
2 depreciation rates for UE, if at all?

3 A. The reasonableness of the rates?

4 Q. Yeah. I guess you could look at it as  
5 either the rates or the lives that you used that  
6 produce the rates.

7 Did you do any -- after you went through the  
8 process of using the Gannett-Fleming model and you had  
9 your results, did you do any checks, sanity checks or  
10 reasonableness checks --

11 A. I looked at other electric utility companies  
12 in the state of Missouri, at their lives.

13 Q. Did you look at them again? I know you said  
14 last time you had looked at them when you did your  
15 analysis of the 1995 data. Did you look at them again  
16 after your analysis of the 2000 data?

17 A. Yes, I did.

18 Q. Okay. And which utilities did you look at?

19 A. Empire District Electric, St. Joseph Light &  
20 Power.

21 Q. Missouri Public Service maybe?

22 A. Not as much as Missouri Public Service, no.  
23 I mean, I looked at them again, but they are -- they  
24 had some earlier lives at least -- I think they were  
25 at least ten years old.

1 Q. And so that ten-year -- and your theory is  
2 the ten-year-old data, the ten-year-old rates are not  
3 very valuable in comparing --  
4 A. Well, they are valuable, but I tend to look  
5 at the most recent.  
6 Q. Okay.  
7 A. Most recently prescribed.  
8 Q. Didn't MoPub just have a case, or not?  
9 A. Yes.  
10 Q. So -- a rate case?  
11 A. Yes, they did.  
12 Q. Well, so --  
13 A. Those --  
14 Q. Didn't you look at the depreciation rates in  
15 the rate case?  
16 A. Yes, I did, but those lives were not  
17 changed.  
18 Q. Okay. So when was -- when was their rate  
19 case?  
20 A. It just finished in February.  
21 Q. Why didn't you change the lives?  
22 A. Are we talking about what I did in MoPub  
23 now?  
24 Q. Yes.  
25 A. I used the currently prescribed rates from a



1 previous date using our new technique 100 percent over  
2 the ASL.

3 Q. In other words, you deleted the net salvage  
4 from the depreciation calculation?

5 A. Right.

6 Q. By you used the same lives from ten years  
7 before?

8 A. I don't know the exact number of years.

9 Q. Okay. But from whenever they were  
10 previously determined?

11 A. Right.

12 Q. Did you run the Gannett-Fleming model or  
13 anything, or did you just not study any of the  
14 accounts?

15 A. No, those accounts were not studied.

16 Q. Okay. What about -- UtiliCorp was the other  
17 utility that you said you compared -- last -- I mean  
18 in the last deposition you said UtiliCorp was the  
19 fourth utility whose rates you compared.

20 Did you look at UtiliCorp again this time?

21 A. Isn't MoPub UtiliCorp?

22 MR. BYRNE: Oh, maybe it is. Yeah, it is.  
23 You're right.

24 MR. SCHWARZ: For the record, so is St. Joe  
25 Light & Power at this stage of the game.

1 MR. BYRNE: Yeah. They are all owned by  
2 UtiliCorp. I just -- I guess I wasn't sure if there  
3 was a separate entity that's just UtiliCorp that's  
4 a --

5 MR. SCHWARZ: And it may all be called  
6 Aquila now.

7 MR. BYRNE: Well, never mind.

8 BY MR. BYRNE:

9 Q. And how about Kansas City Power & Light?

10 A. Yeah.

11 Q. You looked at those this time as -- you  
12 looked at their lives and rates this time as well?

13 A. Yes.

14 Q. Okay. So I guess -- not to put words in  
15 your mouth, but what you're saying is -- or is it a  
16 fair characterization of what you're saying that you  
17 found MoPub's rates reasonable for -- or their lives  
18 reasonable for prescribing depreciation rates for them  
19 in their recent case, but you didn't consider them  
20 reasonable lives for purposes of comparing them to the  
21 lives you're recommending for AmerenUE?

22 A. There was an issue we had with MoPub as far  
23 as determining exactly what the appropriate average  
24 service lives were for Missouri Public Service, and so  
25 I was not able to do a full depreciation study on

1 Missouri Public Service, so, therefore, we had to go  
2 with the -- the most recently prescribed lives.

3 Q. Okay. Do you remember how -- well, let me  
4 ask you this: How did the lives prescribed for those  
5 other utilities compare to the lives you're  
6 recommending for AmerenUE?

7 A. In some cases, they were very similar; in  
8 some, they were not.

9 Q. Okay. Do you remember -- well, let's  
10 take -- let's take St. Joseph Light & Power Company,  
11 for example. I have some testimony that you provided  
12 us as part of your work papers that you filed in, it  
13 looks like, Case No. HR-99-245.

14 Can you take a look at that and see if  
15 that's what that is?

16 A. Yes.

17 Q. And would that case have currently effective  
18 depreciation rates for St. Joseph Light & Power?

19 A. Effective in that there was really no  
20 change.

21 Q. Okay. Well, let's take a look at the steam  
22 production accounts that you were recommending in that  
23 case for St. Joseph Light & Power and compare them to  
24 steam production account rates you are currently  
25 recommending for AmerenUE, if you don't mind.

1 In that -- in the testimony that I gave you,  
2 what is the depreciation rate that you're recommending  
3 for account 311 for St. Joseph Light & Power?

4 A. This testimony doesn't -- oh, I didn't see  
5 that.

6 I looked at lives more than I looked at  
7 rates, and this just lists rates.

8 Q. Okay. I understand. But what's the rate?

9 A. For which account?

10 Q. 311.

11 A. 4.4 percent.

12 Q. Okay. And what's the rate that you're  
13 recommending for AmerenUE's account 311?

14 A. 1.45.

15 Q. How about account 312? What are you  
16 recommending for St. Joseph Light & Power in that  
17 case?

18 A. 1.85.

19 Q. And what are you recommending for AmerenUE  
20 in this case?

21 I'm sorry. Which -- I think you might have  
22 answered incorrectly.

23 My first question is, what are you  
24 recommending for St. Joseph Light & Power for  
25 account 312 in that case?

1 A. 4.0.

2 Q. Okay. And what are you recommending for  
3 AmerenUE for account 312 in this case?

4 A. 1.85.

5 Q. Okay. And what are you recommending for  
6 St. Joseph Light & Power for account 314 in that case?

7 A. It's going to be different because I think  
8 the lives are different. The lives are shorter for  
9 these accounts, so there is going to be a significant  
10 difference.

11 Q. Okay. But what is it for 314 for St. Joseph  
12 Light & Power?

13 A. 314 is not listed on here.

14 Q. Okay. How about 315?

15 A. 3.8 percent.

16 Q. And what is it for AmerenUE in this case?

17 A. 1.8.

18 Q. Okay. And I guess the question I have is,  
19 what -- what's different about St. Joe Light and  
20 Power's steam production plants that would result in  
21 rates of depreciation -- I understand it's based on  
22 average service lives, but what's different about  
23 those plants that would result in average service  
24 lives and resulting depreciation rates that are so  
25 different?

1           A.     Shorter lives and salvage.

2           Q.     And why would they have shorter lives than  
3 the steam production plant of AmerenUE?

4           A.     Because they are from, I don't know the  
5 exact date, but probably at least ten years before  
6 1999 or maybe even earlier.

7           Q.     Okay. But if you were using St. Joseph  
8 Light & Power as a reasonableness check --

9           A.     When looking at their lives, just lives.

10          Q.     Okay. But their lives are going to be much  
11 different than the lives that you're recommending for  
12 AmerenUE. Right? They are going to be much shorter.

13                 So if you're using this as a reasonableness  
14 check, wouldn't it suggest that maybe your  
15 recommendation isn't reasonable?

16          A.     This was one of several electric utility  
17 plants that I looked at. I did not say that I  
18 primarily focused on St. Joseph. I primarily focused  
19 on Empire. St. Joseph -- I just looked at all of the  
20 electric -- most of the electric plant in the state of  
21 Missouri.

22          Q.     Okay.

23          A.     And St. Joseph was one of them.

24          Q.     But taking St. Joseph in isolation, if you  
25 just looked at St. Joseph, and I don't have the other

1 ones here, but if you look at St. Joseph, wouldn't  
2 that suggest that the lives you're recommending for  
3 AmerenUE might be too long for those steam production  
4 plant accounts?

5 A. Say that again.

6 Q. If you just looked at St. Joseph for a  
7 reasonableness check, wouldn't --

8 A. But I didn't. I didn't just look at  
9 St. Joseph. I looked at Empire. I looked at  
10 UtiliCorp.

11 Q. Okay. I understand that you looked --  
12 that -- that your --

13 A. It was one of the many considerations I made  
14 in estimating the average service life. It wasn't the  
15 primary focus in my determining an average service  
16 life.

17 Q. I understand. You looked at a bunch of  
18 different things to reach your overall conclusion.

19 But just looking at this one thing, which  
20 was one of the things you looked at. Right?

21 A. Uh-huh.

22 Q. Just looking at this one thing, this one  
23 thing being the lives of steam production plant for  
24 St. Joseph Light & Power, doesn't this one thing  
25 suggest in isolation, and I understand you have to

1 view it in conjunction with all of the other things  
2 you're looking at, but doesn't this one thing by  
3 itself suggest that maybe the lives for the AmerenUE  
4 plants -- for the AmerenUE steam production plant  
5 accounts are too long?

6 A. No.

7 Q. Okay. In your comparison, did you consider  
8 the currently prescribed lives for AmerenUE's plant  
9 accounts?

10 A. Did I consider them in my proposal?

11 Q. In your reasonableness check, was that one  
12 of the things that you looked at, was the currently  
13 prescribed --

14 A. Sure.

15 Q. -- lives for AmerenUE?

16 A. Yes.

17 Q. And those currently prescribed lives were  
18 much shorter, were they not, than what you're  
19 currently recommending?

20 A. In some cases.

21 Q. Weren't they a lot more like the St. Joseph  
22 Light & Power lives for the steam production plant  
23 accounts than they are similar to the lives you're  
24 currently recommending?

25 A. In some cases, they are.



1 Q. Did you look at -- did you look at the  
2 history of AmerenUE? Did you look at historical lives  
3 approved by the Commission or recommended by  
4 depreciation experts in previous cases for AmerenUE as  
5 a reasonableness check?

6 A. Yes.

7 Q. And were those historical -- let's talk  
8 about just the steam production accounts.

9 Were those historical lives longer or  
10 shorter than the lives that you're currently  
11 recommending?

12 A. Of course they were probably shorter, but I  
13 looked at -- for -- like, for instance, Meramec, the  
14 first unit was put in in 1953. It is now almost  
15 2003. I mean, I'm prescribing a 70-year life for  
16 account 311, so it's very reasonable to me that it  
17 could last an additional 20 years and beyond.

18 Q. And I understand. But I'm just saying, if  
19 you were to look at historical lives approved for  
20 these accounts for AmerenUE, that would -- those  
21 historical lives are much shorter than the ones that  
22 you're proposing now; isn't that correct?

23 A. Well, of course they are going to be shorter  
24 because they are closer to when the plant was first  
25 installed.

1 Q. Well, they might -- they might or might not  
2 be shorter, but they were shorter, right, and they  
3 were significantly shorter?

4 A. But you had less data, less retirement  
5 activity. You weren't able to --

6 Q. Sure. I understand there may be reasons for  
7 it. But do you agree that they were significantly  
8 shorter?

9 A. I can't agree to how significantly shorter  
10 they were.

11 Q. Okay. You don't know whether they were more  
12 similar to the lives of -- in the 1999 case that  
13 resulted in those rates for St. Joseph Light & Power?  
14 You don't know if they were more similar to those  
15 lives than they are to your current recommendations?

16 A. No.

17 Q. Okay. Did you look at lives for utilities  
18 in other states as a reasonableness check?

19 A. No.

20 Q. Okay. Is there anything else you looked at  
21 as a reasonableness check other than what you've told  
22 me?

23 A. No.

24 Q. Okay. Let me ask you this: You've talked  
25 about the difficulty these plants -- the difficulty

1 applying a life span methodology is the difficulty in  
2 estimating a final retirement date; is that true?

3 A. Yes.

4 Q. What would it take, in your opinion, what  
5 information would you need that would be adequate in  
6 your mind for you to assign a final retirement date to  
7 our fossil plants?

8 And let me say this: Maybe there is nothing  
9 that -- a legitimate answer would be there isn't a way  
10 to -- to provide any adequate information for you to  
11 be sufficiently certain to assign a retirement date.

12 A. I have a good answer written down somewhere.

13 (A DISCUSSION WAS HELD OFF THE RECORD.)

14 THE WITNESS: I just can't think of it right  
15 now. Just bear with me a second.

16 BY MR. BYRNE:

17 Q. Okay.

18 A. Well, in the case of the nuclear plant, I  
19 would have to have failure to renew the license.

20 Q. Let's talk about the fossil plants.

21 A. Okay. It may be that some type of  
22 economical study to show me that it's no longer  
23 feasible to keep that plant on line, and there is no  
24 plans in the future to purchase additional power. I  
25 would need evidence that the power was not going to be

1 replaced in the near future.

2 Q. Okay. So the first thing you said -- what  
3 was the first thing you said?

4 A. About it no longer being economical?

5 Q. Yeah. Now, I guess when you -- I guess that  
6 would be immediately before the plant is retired and  
7 torn down, I would assume? Isn't that -- wouldn't  
8 that have to be very close to the retirement date?

9 A. Yeah, pretty close.

10 Q. I mean, you couldn't project ten years  
11 into the future or even five years into the future  
12 or 20 years into the future what the economics are  
13 going to be. Right?

14 A. That's true.

15 Q. So under those circumstances, there is no  
16 way to provide a retirement date that you're  
17 sufficiently certain of until very close before the  
18 plant is retired; is that right?

19 A. That may be true, yes.

20 Q. Okay. I want to look at a couple more  
21 specific accounts, and I guess the first one is  
22 account 314 that we've talked about a little bit, but  
23 I want to show you one of your work papers.

24 And that's one of the steam production plant  
25 accounts; is that right?

1 A. Yes.

2 Q. And what's in that account again?

3 A. In 314?

4 Q. Yeah.

5 A. That's your turbine and your generator.

6 Q. Okay. Here is one of your work papers with

7 the survivor curve on it for that account. Does that

8 look familiar to you?

9 A. Yes.

10 Q. And what -- what Iowa curve did you use for

11 this account?

12 A. R2.5; 62-year life.

13 Q. Okay. And on your other -- here is another

14 work paper that, I think, shows the output from the

15 Gannett-Fleming model, and that work paper with the --

16 it shows a bunch of options for Iowa curves for this

17 account. And --

18 A. Yes.

19 Q. -- among those options, the one option for

20 an R2.5 curve on the goodness of fit schedule is a

21 69.3-year life; is that correct?

22 A. Yes.

23 Q. And my understanding is this fit was based

24 on data through age 58; is that right? Can you tell?

25 A. The age was up to 70.

1 Q. What was the range of fit for the matching  
2 of that Iowa curve to the data?

3 A. Zero to 58.

4 Q. Okay. And do you know why the computer, the  
5 Gannett-Fleming computer model, only fit that curve  
6 through age 58?

7 A. Probably because beyond 58 that data did not  
8 fit the curve.

9 Q. No. But, I mean, then they would have  
10 picked another curve.

11 Why did they -- why did the curve that they  
12 selected only utilize data up through age 58? There  
13 is data beyond age 58, isn't there?

14 A. Yes.

15 Q. Why didn't -- why didn't -- why didn't the  
16 computer model consider that data in selecting the  
17 appropriate R2.5 curve?

18 A. I don't know.

19 Q. Well, let me ask you this: You decided  
20 to -- I guess you decided that -- okay. Let's take a  
21 look at account 315, which, I guess, is another steam  
22 production plant account.

23 Can you tell me what's in that account  
24 again? You may already have.

25 A. Accessory electric equipment.

1 Q. Do you know what that is?

2 A. Electric equipment that's associated with  
3 your turbo generator units or your boiler plant  
4 equipment.

5 Q. Okay. And, here again, I have your work  
6 paper with the curve that you selected. Do you  
7 recognize that?

8 A. Yes.

9 Q. And is it correct that you used the 55-R3  
10 curve for this account?

11 A. Yes.

12 Q. And -- and, again, here is another work  
13 paper that shows the output from the Gannett-Fleming  
14 model; is that correct?

15 A. Yes.

16 Q. And is it true that that work paper shows  
17 that the best fit for the R3 curve is through age 60;  
18 it's a 66.3-year average service life?

19 A. Yes, it does.

20 Q. So what considerations led you to replace  
21 the 66.3-year R3 curve with the 55-year R3 curve that  
22 you selected?

23 A. I wanted to catch the data that was coming  
24 down at -- is that 45 percent surviving, and I wanted  
25 to catch the top of that percent surviving, because,

1 you know, the curves that I used that were similar to  
2 the 66 I don't think were representative of what the  
3 plant activity was doing for that account.

4 Q. So was it sort of a visual fit? You  
5 mentioned that as one of the -- was it to get a curve  
6 with a better visual fit?

7 A. Not even that as much as what I thought  
8 would be the best life after going out and seeing some  
9 of the plant and talking to plant personnel.

10 Q. Okay. What specifically -- well, I have  
11 your notes from your plant visits, and if you want,  
12 you can refer to them, but what -- and -- but what  
13 specifically in your plant visits led you to make that  
14 change?

15 A. Adding 25 -- 20 years to a 35-year life?

16 Q. Right.

17 A. Well, for instance, Meramec's first unit was  
18 put in in '53. I mean, it's gone past the 35-year  
19 life, and it'll probably last another 20 years or  
20 more.

21 Q. But, I mean, you just said it was  
22 information that you got on a plant visit. What  
23 specifically --

24 A. Well, no. It's information that I collected  
25 about all of the plant while I'm out there, and, of



1 course, accessory electric equipment is part of the  
2 plant, so --

3 Q. Okay. But it's not, like, based on a  
4 specific conversation you had with a specific person;  
5 is that correct?

6 A. No. I mean, one person did not say, That  
7 piece of accessory electric equipment is going to last  
8 55 years, no. But it's from what I know -- what I've  
9 learned about the plant in going on the site visits.

10 Q. Okay. Let's talk about residual value -- or  
11 residual measures for that account for a moment.

12 The 66.3-year R3 that the Gannett-Fleming  
13 model kicked out, what's the residual measure for  
14 that?

15 A. 5.36.

16 Q. Okay. And if you picked a different R3  
17 curve to use -- and you did in this case. Right? You  
18 picked a 55-R3?

19 A. Yes.

20 Q. Isn't it true that that's going to have a  
21 higher residual measure than the 66.3-R3?

22 A. Yes. But in this case I really wasn't --  
23 that wasn't high on what I considered the residual  
24 measure in this particular account.

25 Q. Okay. Well, let me ask you this: Do you

1 consider a residual measure -- well, would you  
2 anticipate the residual measure of the 55-R3 would be  
3 in excess of six, if you know?

4 A. It could be, but I don't know.

5 Q. Okay. Would you agree that a modification  
6 of the life of this account -- the average service  
7 life of this account of over 11 years is more than a  
8 variation of a little bit?

9 A. What do you mean, a modification of this  
10 account?

11 Q. Well, a modification of the life -- in other  
12 words, the model suggested an R3 curve with a  
13 66.3-year average service life. Right?

14 A. Yes.

15 Q. And you selected an R3 curve with a 55-year  
16 average service life. Right?

17 A. Yes.

18 Q. So the difference is 11.3 years --

19 A. Okay.

20 Q. -- is that right?

21 A. Yes.

22 Q. Now, would you consider that difference more  
23 than a little bit of a difference?

24 A. It's eleven years. I mean, I guess  
25 depending on the amount that's in the plant -- are you

1 talking dollar-wise or just years?

2 Q. I mean, for that account. I understand  
3 there could be an absolute -- I'm not considering for  
4 the moment the absolute value of the dollars in the  
5 account. But just in terms of -- you know, relative  
6 to that account, is that -- whatever the dollar amount  
7 is, relative to that account, is that more than a  
8 little bit of a change?

9 A. Sure.

10 Q. Okay. Okay. I'm giving you another --  
11 another work paper of yours, and it's related to  
12 account 315.

13 And if you don't mind, what's 315 again?

14 A. It's accessory electric equipment.

15 Q. Okay. And my understanding is that shows --  
16 is it an original life table?

17 A. Yes.

18 Q. Is that what that shows?

19 And that's an output of the Gannett-Fleming  
20 model. Right?

21 A. Yes.

22 Q. Okay. And I believe the second column on  
23 that sheet -- what does that say?

24 A. "Exposures at beginning of age interval."

25 Q. Okay. And the Gannett-Fleming model has

1     calculated that column, is that right, based on the  
2     data of the Company's that's been input?

3             A.     Yes.

4             Q.     Okay. How is that calculation made?

5             A.     I don't recall at this time.

6             Q.     Do you know how that calculation is made?

7     Do you know the formula for that calculation?

8             A.     I don't -- I don't recall at this time.

9             Q.     Well, that's not exactly what I'm asking.

10                 I guess I'm asking, did you -- did you ever  
11     know exactly how this calculation is made, or do you  
12     rely on the Gannett-Fleming model to provide this as  
13     an output?

14             A.     Yes, I took courses in this.

15             Q.     Okay. But you've forgotten in the years  
16     since your courses; is that right? I mean --

17             A.     I haven't forgotten it, but I can't remember  
18     exactly right now.

19             Q.     Okay. Fair enough.

20                 Could you remember exactly how that column  
21     was calculated when you filed your Direct Testimony in  
22     this case, or were you relying on the Gannett-Fleming  
23     model to give you the results?

24             A.     I used Gannett-Fleming.

25             Q.     Okay. I know you used Gannett-Fleming, but

1 did you -- did you -- you know, when you filed your  
2 Direct Testimony, did you know how that column 2,  
3 which is -- what's the name of the title again?

4 A. Exposures at beginning of an interval.

5 Q. Okay. Did you know how the Gannett-Fleming  
6 model calculated exposures at the beginning of an  
7 interval for account 315 or any of the other accounts  
8 when you filed your Direct Testimony in March 2002,  
9 which is not that long ago? Did you know how that was  
10 calculated, or is that something that you didn't  
11 remember and -- from years ago when you took the  
12 classes and, instead, relied on the Gannett-Fleming  
13 model to do whatever it did to properly calculate  
14 those numbers?

15 A. I have to say I relied on the  
16 Gannett-Fleming. That's my answer.

17 Q. Okay. At the time you filed your testimony,  
18 you didn't know how those numbers were calculated; is  
19 that true?

20 A. Yeah, I guess you could say that.

21 Q. Okay. Okay. Another work paper, and,  
22 again, it's a 315 account work paper, and, again, it's  
23 an output from the Gannett-Fleming model.

24 And on this work paper, I believe the far  
25 right column is showing the theoretical reserve; is

1 that right?

2 A. Yes.

3 Q. Okay. And, again, the same kind of a  
4 question: Do you know how the Gannett-Fleming model  
5 calculates that theoretical reserve?

6 A. I mean, yes, I know in theory what it does.  
7 But to be able to describe it to you today, no.

8 Q. Okay. What -- please, can you describe in  
9 theory what it does today?

10 A. It calculates from the beginning of  
11 installation until the end of installation what --  
12 using my depreciation rate, what the accumulated  
13 depreciation would be according to the original cost  
14 at the beginning of that year and adds all of those  
15 years up.

16 Q. Okay. Okay. And when you get -- but you  
17 don't know -- and I understand. That's a -- that's  
18 the theory.

19 But when it comes to exactly calculating how  
20 that right-hand column -- you know, exactly  
21 calculating the numbers that appear in that right-hand  
22 column, are you able to do that? Are you able to  
23 calculate those numbers without Gannett-Fleming model?

24 A. I think by multiplying the accrued  
25 depreciation factor by the original cost --

1 Q. Okay.

2 A. -- you get the accrued depreciation amount.

3 Q. That gets you the number in the far right  
4 column?

5 A. Yes.

6 Q. And how is the accrued depreciation factor  
7 calculated?

8 A. That -- I don't recall how that's  
9 calculated.

10 Q. And did you recall how that is calculated at  
11 the time that you filed your Direct Testimony in March  
12 2002, or were you relying on the Gannett-Fleming  
13 model?

14 A. It would be my same answer as before,  
15 relying on the Gannett-Fleming.

16 Q. Okay. And you didn't know how that was  
17 calculated at the time you filed your testimony; is  
18 that correct?

19 A. How the accrued factor was determined, no.

20 Q. Okay. You didn't -- just to be clear, you  
21 did not know how the accrued factor was determined at  
22 the time you filed your testimony. Correct?

23 A. That's correct.

24 Q. Okay. Okay. I think I'm winding down here,  
25 but I have some -- these are some generic questions

1 that aren't -- that aren't directly related to  
2 depreciation, okay, so you may or may not know the  
3 answer to these questions.

4 Do you know -- okay. Some items in the  
5 Staff's case Staff has treated as normal items,  
6 unreasonable items, unusual items, non-recurring  
7 items, extraordinary expenses, and I don't think --  
8 these do not occur in your testimony, but in other  
9 accounting testimony, they did.

10 Do you have an opinion as to what the  
11 appropriate rate-making treatment of such expenses  
12 are?

13 A. No, I don't.

14 Q. Do you think it would be -- do you have an  
15 opinion as to whether it would be appropriate to  
16 eliminate them or amortize them?

17 A. Well, if it's an extraordinary circumstance,  
18 like a flood, you would eliminate something like that.

19 Q. Might you also amortize it?

20 A. You may.

21 MR. BYRNE: You know, I don't -- I think I'm  
22 going to stop. Is there any -- I don't have any  
23 further questions.

24 MR. SCHWARZ: If I might, I just want to  
25 make clear that the work papers that Ms. Mathis was



1 questioned on with respect to account 315, those were  
2 work papers with -- in reference to her March  
3 testimony.

4 MR. BYRNE: Yeah. Perhaps -- would it be  
5 okay if we bundled those account 315 work papers  
6 together and made them Exhibit 2?

7 MR. SCHWARZ: That would be fine. We can  
8 run copies of them. I notice we don't want --

9 THE WITNESS: Okay. Just account 315 or --

10 MR. BYRNE: Why don't we do it with all of  
11 the work papers you were looking at just so there is  
12 no confusion, if that's okay with you.

13 MR. SCHWARZ: That would be the original  
14 life table, the calculated and accrued depreciation,  
15 summary of curve fitting results, and then we have an  
16 account 314 and an account 364.

17 MR. BYRNE: Why don't we go off the record  
18 for a second?

19 MR. SCHWARZ: Yeah.

20 (A DISCUSSION WAS HELD OFF THE RECORD;  
21 EXHIBIT NO. 2 WAS MARKED FOR IDENTIFICATION BY THE  
22 COURT REPORTER.)

23 BY MR. BYRNE:

24 Q. Okay. We're back on the record.

25 We've marked the stack of work papers that

1 I've used in the deposition as Exhibit No. 2, and,  
2 Ms. Mathis, if you could just go through that and  
3 identify each work paper, I would appreciate it.

4 A. Okay. The first work paper is a survivor  
5 curve graph for account 364. The second work paper is  
6 the survivor curve graph for account 314. The third  
7 work paper is a summary of curve fitting results for  
8 account 314. The next work paper is a survivor curve  
9 graph for account 315.

10 The next work paper is a summary of curve  
11 fitting results for account 315. The next work paper  
12 is an original life table for account 315. And the  
13 final work paper -- yes, the final work paper is for  
14 account 315.50, calculated annual and accrued  
15 depreciation table.

16 MR. BYRNE: Okay. Thank you, Ms. Mathis. I  
17 don't have any other questions.

18 We're done.

19 MR. PENDERGAST: No questions.

20 MR. DANDINO: No questions.

21 CROSS-EXAMINATION BY MR. SCHWARZ:

22 Q. I just have a couple of questions if I  
23 might, Ms. Mathis.

24 If you recall, you had some questions on the  
25 St. Joseph Light & Power plant?

1 A. Yes.

2 Q. Is the -- does the St. Joseph property serve  
3 both electric generation purposes and steam --

4 A. Yes.

5 Q. -- purposes; that is, they have six or eight  
6 customers who take steam generated by the plant?

7 A. Yes.

8 Q. Is the size of the plant different perhaps  
9 than that of some of the Union Electric generating  
10 plants?

11 A. Yes, it is.

12 Q. Do you know if the age of the plant is  
13 different?

14 A. I don't know an exact age, but I know it is  
15 different.

16 Q. You had some questions about what would you  
17 look for if you were going to assign a final  
18 retirement date to fossil plants. Do you recall?

19 A. Yes.

20 Q. And one of the criteria you gave was that it  
21 was -- you would expect the plant not to be operating  
22 economically, and the other was no plans to purchase  
23 additional power.

24 Could you explain that second one? Do you  
25 mean that they have -- was your answer in reference

1 to -- that Union Electric has no -- or -- strike all  
2 of that. Strike all of that.

3 A. Okay.

4 Q. If you were looking for a final retirement  
5 date for a particular plant, you would expect the  
6 Company to have plans to replace that power?

7 A. Yes.

8 Q. Does the Public Service Commission license  
9 the Gannett-Fleming software that you use?

10 A. Does it license it?

11 Q. From Gannett-Fleming.

12 A. Yes.

13 Q. Has Gannett-Fleming notified you that there  
14 were any problems with the program not performing as  
15 it should?

16 A. No.

17 Q. Do you know, does Union Electric use the  
18 Gannett-Fleming software?

19 A. Yes.

20 Q. Has the Company suggested that there are any  
21 problems that they have encountered with the software  
22 operating as it should?

23 A. No.

24 MR. SCHWARZ: I think that's all I have.

25 MR. BYRNE: I might have one follow-up based

1 on your question. Can I do that?

2 REDIRECT EXAMINATION BY MR. BYRNE:

3 Q. Mr. Schwarz was just asking you about when a  
4 plant is going to be retired, and I think you were  
5 saying you would have to know it's going to be retired  
6 and not be replaced. Do you remember that?

7 A. Right.

8 Q. And the only question I have is, at what  
9 point in the plant's life would you expect to gain  
10 that kind of knowledge?

11 A. I would hope at least a year before the date  
12 of retirement, or more.

13 Q. But -- but, I mean, wouldn't it be -- in  
14 terms of the entire plant's life, wouldn't it be  
15 relatively late in the plant's life that you would  
16 know it's going to be retired and not replaced?

17 If you say yes, I'm done.

18 A. I'm going to say yes.

19 Could you ask it one more time?

20 Q. In terms of the plant's life --

21 A. Right.

22 Q. -- in terms of the plant's whole life,  
23 wouldn't it be relatively late in the whole life that  
24 you would know that it's going to be retired and not  
25 replaced?

1 A. It could be considered late.

2 MR. BYRNE: Okay. I have one more question.

3                   No, actually, I don't. I have no more  
4   questions.

5 THE WITNESS: All right.

6 MR. SCHWARZ: We're done.

7 (PRESENTMENT WAIVED; SIGNATURE REQUESTED.)

8

9

10

11

JOLIE MATHIS

12

13

14 Subscribed and sworn to before me this                day of  
                                , 2002.

15

16

Notary Public in and  
for                      County,  
State of Missouri

17

18

19

20

21

22

23

24

25

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

C E R T I F I C A T E

STATE OF MISSOURI     )  
                              )   ss.  
COUNTY OF COLE        )

I, KRISTAL R. MURPHY, CSR, RPR, CCR, with the firm of Associated Court Reporters, do hereby certify that pursuant to agreement, there came before me,

JOLIE MATHIS,


at the Missouri Public Service Commission, Room 810, Governor State Office Building, in the City of Jefferson, County of Cole, State of Missouri, on the 9th day of April, 2002, who was first duly sworn to testify to the whole truth of her knowledge concerning the matter in controversy aforesaid; that she was examined and her examination was then and there written in machine shorthand by me and afterwards typed under my supervision, and is fully and correctly set forth in the foregoing 91 pages; and the witness and counsel waived presentment of this deposition to the witness, by me, and that the signature may be acknowledged by another notary public, and the deposition is now herewith returned.

I further certify that I am neither attorney or counsel for, nor related to, nor employed by, any of the parties to this action in which this deposition is taken; and further, that I am not a relative or employee of any attorney or counsel employed by the parties hereto, or financially interested in this action.

Given at my office in the City of Jefferson, State of Missouri, this 12th day of April, 2002.

KRISTAL R. MURPHY, CSR, RPR, CCR

COSTS: (Computation of court costs based on payment within 30 days.)






## ERRATA SHEET

Deposition of: Jolie Mathis

Case Caption: EC-2002-1

Date Taken: November 27, 2001

Page	Line	Correction	Reason
7	4	"532" instead of "032"	Typo
8	18	"changes in the schedule I named" should be inserted between the words "Yes" and "that"	Unclear answer
11	7	"principles" instead of "principals"	Typo
13	18	Insert the word "annual" so the words should be: "decrease in annual accrual"	Type of accrual clarification
19	7, 14	"inter-generational" instead of "inner-generational"	Typo
28	20	"Iowa State" instead of just "Iowa"	To distinguish the school
53	4	"has applied" instead of "is applied"	Typo
53	6	"than previously" instead of "that previously"	Typo
55	4	"Yes" instead of "I don't know."	Correction
69	22	Change to: "I know that's what I did, look at 3 year and 5 year averages."	Correction
70	24	Change to: "I discussed the 3 year and 5 year averages."	Correction
72	12	"Black and Veatch" instead of "Blacken Veatch"	Typo
72	20	"Kalamazoo" instead of "Kalamazoon"	Typo

  
Signature

### ERRATA SHEET

Deposition of: Jolie Mathis

Case Caption: EC-2002-1

Date Taken: November 27, 2001

Page	Line	Correction	Reason
81	19	"Penn Sheraton" instead of "Penn Sheridan"	Typo
82	2	"Penn Sheraton" instead of "Penn Sheridan"	Typo
82	5	"Penn Sheraton" instead of "Penn Sheridan"	Typo
113	14	"in service" instead of "end service"	Typo
123	18	"look" instead of "looking"	Typo
129	19	"Penn Sheraton" instead of "Penn Sheridan"	Typo

Signature

*Jolie Mathis*

(This is the signature page to the deposition of Jolie Mathis taken on November 27, 2001.)

STATE OF MISSOURI     )  
                                  ) ss.  
COUNTY OF COLE       )

I, Jolie Mathis, do hereby certify:

That I have read the foregoing deposition;

That I have made such changes in form and/or substance on the attached errata sheet(s),  
as might be necessary to render the same true and correct;

That having made such changes thereon, I hereby subscribe my name to the deposition.

Executed this       28th       day of       March       , 2002,  
at   Jefferson City, Cole County, Missouri

SHARON S WILES  
NOTARY PUBLIC STATE OF MISSOURI  
COLE COUNTY  
MY COMMISSION EXP. AUG. 23, 2002

My Commission Expires: \_\_\_\_\_

Notary Public: Sharon S. Wiles

