

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Missouri Statewide DSM Potential Study

November 4, 2010

Public Meeting
Governor Office Building
200 Madison Street
Jefferson City, Missouri

REPORTED BY:

Tracy Thorpe Taylor, CCR No. 939

TIGER COURT REPORTING, LLC

1 MR. COSTENARO: Okay. So the first issue
2 is the most important issue. The other issues are
3 playing second fiddle, in my mind, to this issue and
4 that is taking economic potential and translating it
5 into achievable potential.

6 So this slide we've got -- you've got a
7 lot of activity going on. On the top of the slide,
8 you've got measured databases, you've got load
9 projections, you have forecasts, you've got market
10 information, all this stuff is feeding into a model
11 that is churning through, you know, all the possible
12 combinations of buildings and air conditioners and
13 light bulbs and is spitting out this kind of objective
14 analytic assessment of what could happen to the -- to
15 the energy load, to how low could it go in the future.

16 Then you take it all and you put it
17 through this funnel of market share projections. So
18 the entire study hinges on this factor. And typically
19 what you do is you say here's all the theoretically
20 available stuff, how much will people accept, how much
21 can you push into the market, how much is available to
22 get through the filter of the customer's mind.

23 So the next slide I'll show you what --
24 what we did in our study. We thought this was really
25 important and so we -- we spent a lot of money to do

1 surveys with people who are actual customers. We went
2 out and asked them questions about their attitudes.

3 So let me back up and walk through this
4 slide in its entirety. We created a stratified random
5 sample of 4,000-plus Ameren Missouri customers. So
6 then we said here are the people that we're going to
7 survey, going to ask, we're going to assess.

8 Then we created a battery of probing
9 attitudinal survey questions; so things about the
10 environment, things about your bill, things about
11 energy use, things about -- you know, we wanted to see
12 what their education levels were, what their
13 familiarity was, what actions they had already taken,
14 what they planned to do in the future. So we had this
15 very thorough kind of look into the Missouri
16 customer's mind.

17 So then we took that into data processing
18 and analysis where we churned that and combined it
19 with the models that we talked about earlier. You
20 know, we've got all those objective things going on
21 and now you marry them up with the psychographic, the
22 demographic and the attitudinal research. And that
23 provides this pie chart of segmentation and factor
24 analysis; who are the EE actives, who are -- who are
25 the people enthusiastic about energy efficiency, who's

1 more focused on costs, who is just uninterested in
2 general.

3 And all that plays into the model of the
4 percent penetration on the bottom right. So you get a
5 graph of people by pay-back period. You have a
6 certain pay-back period, you have a certain economic
7 future lined up and X percent of people will act on
8 that opportunity. If it's not as attractive,
9 people -- people will not act on that opportunity.

10 And so what we've found in our study, and
11 we discussed this with the stakeholders all
12 throughout, were the results were that the Missouri
13 customer typically is less interested in energy
14 efficiency and kind of has an attitude, you know, of
15 the Show-Me State, you know, show me the money, let's
16 take this slow.

17 And so all of the attitudes and all the
18 projections and all the percentages were -- were less
19 than the national averages, less than -- especially
20 than the coasts, you know, the northeast and Oregon,
21 California and Washington. So those were the numbers
22 that we used in our study.

23 And if we go to the next slide, these
24 appear to be the numbers that KEMA is going to use in
25 the Missouri statewide study. So this is one of the

1 things that we wanted to seek clarity on. These are
2 charts essentially doing the same thing. You have
3 a -- you have on the X axis, there's a -- an economic
4 factor or a pay-back, the participant benefit-to-cost
5 ratio, how good is it to the customer. So the further
6 you go out to the right, then on the Y axis, you have
7 participation percent penetration; how many people
8 will act on that opportunity. So we want to know
9 where these curves come from and will one of them be
10 chosen for all the measures in Missouri.

11 It appears that their -- their national
12 averages, it appears that, you know, in our
13 researching of other KEMA studies, this appears to be
14 the chart that they're using for all of their studies.
15 So we don't know if it's applicable to Missouri, if
16 it -- we just want to understand how it stacks up
17 against the research that we've done with Missouri
18 customers.

19 So what I've tried to do in the red
20 shaded and the blue shaded areas -- and it's very
21 rough and it's proximate, it's imperfect, so excuse
22 the crudity, but I tried to make our two methods
23 equivalent for this area of a participant
24 benefit-to-cost ratio in the one to five range kind of
25 equate to a one- to five-year pay-back. These are --

1 this is kind of the wheelhouse of where energy
2 efficiency programs typically act.

3 You try to -- try to buy down the cost so
4 that it's attractive to the customer in this area. So
5 that they will take a light bulb that they wouldn't
6 normally and they'll buy it and they'll install it or
7 they'll take -- they'll opt for the more efficient air
8 conditioner or they'll do the retrofit, they'll
9 program the thermostat, all these sorts of things.

10 So the red region on the graph is from --
11 that's -- that's kind of what we identified as the
12 range in which Missouri customers would typically act
13 on energy efficiency measures. So it goes from
14 3 percent to 47 percent. So what that means is if
15 you've identified 100 opportunities in the economic
16 potential, if there are 100 light bulbs to be changed
17 and you offer these programs, you can get between
18 3 and 47 light bulbs actually changed. Because some
19 people won't want to have anything to do with you,
20 some people will chase you out of their house, all
21 these sort of things.

22 So it looks like if KEMA is using all of
23 these curves, that that range is then 2 percent
24 through 82 percent. And again, these are all just
25 crude just for illustrative purposes. So the question

1 is will KEMA use all of these curves or will they pick
2 one of them? So the curves -- maybe I should back up
3 and say -- explain the curves. The bottom curve is a
4 curve that illustrates extremely high market barriers.
5 So it's relatively flat.

6 You have to go way out in the -- the
7 benefit-to-cost ratio, you have to make it very
8 attractive to customers to start rising up on that
9 curve. So this is what you might see with somebody
10 who's a lagger, somebody who doesn't want to have
11 anything to do with it. As you move up in the curves,
12 you get to high barriers, moderate market barriers,
13 low market barriers and no barriers.

14 So -- so the question is which of these
15 curves does KEMA plan to use to represent Missouri.
16 Choosing the wrong curve could drastically alter the
17 results of the study. You could be -- your answer,
18 you know -- with, you know, the best laid plans of
19 mice and men, you do all the -- you do all the front
20 work, all the top work in that funnel in the previous
21 slide, you get the objective models correct, it could
22 change by multiples just depending on which curve you
23 pick here.

24 So I think that is -- that's the
25 take-away message from my point of view that we want

1 to -- to understand, we want to impress on everyone
2 here today. So I'll pause just for a moment to let
3 that sink in.

4 Okay. So as I said before, the rest of
5 these issues, they're important and that's why we're
6 bringing them up, but I think they're -- they're
7 playing second fiddle to that issue of the -- what is
8 the penetration rate, what is the market acceptance,
9 what are people going to actually do.

10 So the second issue that we'll talk about
11 is measure of lifetimes. Now, KEMA says that they
12 assume a 20-year normalized measure life. In some
13 energy efficiency measures like insulation, they do
14 last for 20 years so that's easy. But others like a
15 light bulb, if you're -- if you're normalizing
16 everything to a 20-year time frame, you're going to
17 have to replace that sometime in the middle.

18 So if there's -- you have a CFL with an
19 eight-year, nine-year or ten-year life or something
20 like that, you're going to install it now and then in
21 eight years from now, you're going to reinstall it and
22 then in another eight years, you're going to reinstall
23 it again. So all that takes place in this 20-year
24 normalized time horizon that KEMA talks about.

25 The question is, how do they treat costs

1 during that? Is it re-upped for free? Is it
2 installed by the customer? Or is there a program cost
3 to it? So if they're assuming that it just happens
4 naturally by inertia, then that will make -- that will
5 obviously make all the measures look more attractive.
6 We'll be essentially incentivizing, giving a rebate
7 for one bulb that acts for three bulbs.

8 So that's not the assumption that we made
9 in our study. We assumed that every time a new bulb
10 was installed, if you credited that to the program, we
11 paid the rebate, we paid the incentive. So there was
12 no free market transformation, no free upward swing in
13 our study. So to compare apples to apples, we just
14 want to make sure we understand the assumption that
15 KEMA's making for theirs.

16 The third issue I'll talk about is
17 avoided costs. We compared the file -- sample
18 economic file.XLS that KEMA provided with the avoided
19 costs that we're currently projecting on the market
20 for our IRP planning process and we see some
21 discrepancies. So we just wanted to understand more
22 about where those came from. And I think that topic
23 was brought up yesterday in the agenda meeting as
24 well, so I think that they're aware that clarity is
25 wanted there.

1 One particular issue I'd point out is
2 that it -- so -- so to -- to value energy efficiency
3 looking into the future, how much is one saved
4 kilowatt hour worth to us, you look at -- you look at
5 the energy costs and then you look at the
6 infrastructure, the capacity cost that's given to
7 serve that kilowatt hour. If you can reduce that,
8 that's worth that money per kilowatt hour per kilowatt
9 to you.

10 And for gas, it's worth a dollar amount
11 per therm, it's worth that to you. So the capacity
12 cost is -- that is a cost of how -- how much does it
13 cost to go out and get that capacity on -- and what
14 Ameren seeing is on the market, we can go out and buy
15 it on the market -- instead of buying a new peaking
16 generator, instead of buying a new natural gas turbine
17 plant, we can go out on the market and buy a kilowatt
18 of capacity for, you know, a few dollars right now.

19 And so our near-term projections of the
20 value of capacity are very low. But KEMA seems to be
21 using -- they're assuming they're not going out to
22 market. They're going to buy build new power plant.
23 So that's their proxy for the avoided capacity costs.
24 So that's, you know, hundreds -- near a hundred
25 dollars per kilowatt. So we wanted to understand

1 their assumptions behind that.

2 So that -- what that would tend to do is
3 say if an energy efficiency measure is impacting the
4 peak, if it's reducing the peak load, it's worth --
5 you know, it's worth its weight in gold, it's very
6 valuable to us right now when, in fact, the capacity
7 markets are depressed because of the economic
8 slowdown. You can go out on the capacity market and
9 buy capacity for chump change essentially right now.
10 So that is something that perhaps should be looked at
11 when putting the study together.

12 The fourth issue that I'll point out is
13 the discrepancy we see in the peak demand
14 contributions. So the three sectors, they all have
15 different characteristics to them and they contribute
16 to the peak, you know, again that capacity thing,
17 what's happening at the time of system peak.

18 So we looked at the study that -- or the
19 document with the inputs for KEMA on the right and we
20 compared that to our current data on the left. And so
21 what we see is that KEMA appears to be over-weighting
22 the residential sector to the tune of 65 percent of
23 the pie chart where we have 47 percent of our peak
24 load is made up from the residential class.

25 While we recognize that there are --

1 there are other jurisdictions that may not be as urban
2 and may not have the weight of industrial and
3 commercial load that we do at Ameren Missouri, we
4 think that this is -- it's pretty skewed, it's pretty
5 far off. We can see it shifting a little bit, but for
6 the -- for the peak load to be made up of 65 percent
7 residential load, I think that will skew some things
8 in the study.

9 And this is my final slide. Just a
10 few -- just a few other things that we were wondering
11 about. So we wanted to ask if KEMA and the staff and
12 DNR were going to put cost estimates around the
13 various potential estimates to see how much -- how
14 much it would cost, you know, per kilowatt hour, per
15 therm to deliver the programs.

16 If you have -- you have a program with --
17 you know, it delivers X percent reductions in the
18 forecast by 2030 or 2020 but you don't have any cost
19 associated with it, it's less helpful. I think it
20 will help people in discussion to understand costs
21 around them, which is something that we tried to go
22 above and beyond the call of duty in ours to develop a
23 supply curve.

24 When we did our study, we were very
25 interested in what is the cost of each program, each

1 measure delivered to the customer and how much is it
2 going to cost to incentivize, to deliver, to market,
3 to educate the customers, all these things.

4 So that leads into the second bullet
5 point. If KEMA does estimate achievable potential and
6 gather utility program costs, where will they get that
7 information? I don't know that we've provided
8 information to this point about it. Will they use
9 national standards again or will they just see what
10 the costs really are to do business in Missouri in the
11 energy efficiency market?

12 And then I don't think I've seen anything
13 to date on what the time horizon of the study is.
14 It's just a simple question. Is it going to be 2010
15 to 2030? I see some heads nodding. Okay.

16 And then the -- a question was how will
17 KEMA account for municipal and co-op data? Will they
18 extrapolate from IOU data? Will they make adjustments
19 on the various inputs, all those? So I think those
20 were the points that I'd wanted to make and so I will
21 turn the floor back over.

22 MS. DIETRICH: Are there any questions on
23 the Ameren study or on the Ameren presentation?

24 MR. HUGHES: Just out of curiosity, given
25 your customer service size and the sample size, what

1 was the confidence interval in the Ameren study?

2 MR. COSTENARO: Right. We did not report
3 on that specifically, but the -- I mean we are --
4 we're very confident that the -- the survey
5 methodology was done in such a way that makes it
6 rigorous and confident. We have not gone to the -- to
7 the extent of going back in and calculating confidence
8 intervals for all the various segments and slices and
9 dices that we did. But with over 4,000 surveys on the
10 customers, I mean you have well into the 90, 95, 98
11 percent confidence intervals depending on how you
12 slice it up.

13 MS. DIETRICH: Please remember to
14 identify yourself for the court reporter.

15 MR. KIND: Ryan Kind with Office of
16 Public Counsel. And, Dave, your comment about the --
17 you having the ability to quantify confidence
18 intervals, that's sort of puzzling to me. I guess I'd
19 be interested in seeing some quantification if you
20 think that's -- you know, you're able to do that.

21 And sort of, you know, backing up from
22 that issue, I mean on your -- your second slide,
23 you're saying that you used a stratified random sample
24 of 4,000-plus Missouri customers. Usually when people
25 say that they've used a stratified random sample, that

1 means that they have somehow divided customers up into
2 strata based on, you know, usage levels or different
3 end-uses and then once you've divided the customers
4 into strata, you would have pulled a random sample
5 within each of those strata by, you know, generating
6 random numbers for say the account numbers within that
7 strata and then matched up those random numbers with
8 account numbers.

9 When you say you've used a random sample,
10 are you saying that you've used an approach like the
11 one that I just described? And if it was a --

12 MR. COSTENARO: Yeah. Exactly.

13 MR. KIND: It was? Because --

14 MR. COSTENARO: Yeah. Right. There was
15 a lot of confusion and misunderstanding. I don't know
16 if everyone in the room is familiar with the
17 conversations that took place, but I think there was
18 some miscommunication, some misunderstanding and we
19 had some -- some -- some memos back and forth to try
20 to clarify that.

21 But yeah, what we conducted was a
22 stratified random sample exactly like you described.
23 We divided into five usage groups and then pulled
24 randomly from our entire customer base and then sent
25 the survey invitations to that randomly selected group

1 of people.

2 MR. KIND: So you have some sort of
3 document that describes that sampling instrument
4 that's --

5 MR. COSTENARO: Uh-huh.

6 MR. KIND: -- available to stakeholders
7 at this point?

8 MR. COSTENARO: I mean it's in the
9 write-up, in the report. I think that it may have
10 been -- you know, the final report of the study
11 describes that all very thoroughly, but I think there
12 may have been some miswordings and some
13 miscommunications and misunderstandings of that.

14 MR. KIND: But you think it's a
15 traditional random sample and you could, in fact,
16 calculate the confidence intervals that were
17 discussed?

18 MR. COSTENARO: Yeah.

19 MR. KIND: Is that something that you
20 intend to do then? Because without the confidence
21 intervals, it's really hard to -- to know. You know,
22 you're talking about these different curves for
23 participation rates that KEMA's considering using and
24 how that would have such a big impact potentially, you
25 know, on the confidence you would have in the results

1 of their study.

2 And so I guess I'm trying to -- and I
3 think that's -- you know, that's understandable, that
4 is an important piece of it that you'd like to see
5 clarified, but on the other hand, there's pieces of
6 your study that I'm still waiting to see clarified, I
7 guess.

8 MR. COSTENARO: Right. You know, I
9 think -- you know, I mean right now we're -- we're
10 going full bore in our planning process with the IRP
11 so we're using the results of the study. You know, I
12 think we've presented at the -- at the agenda or
13 various meetings why we consider the study to be, you
14 know, iron clad as far as taking into account the
15 risks and the uncertainties and the various concerns
16 of confidence.

17 You know, statistical sampling certainty,
18 you know, by doing the random sample and having all
19 the surveys, we consider -- we consider that to be
20 very robust, but then you plug that into the whole
21 stream of the potential study with all of the other
22 risks associated with it that you can't quantify with
23 an error band, you know, to identify what the error
24 band around that one part of the study is, you know,
25 did your survey sample things correctly when you have

1 scenario analyses and different worlds and prices of
2 gas and electricity going up and down and you have,
3 you know, codes and standards in play and kind of all
4 these other factors that you can't quantify with
5 sampling reliability.

6 I think that, you know, the kind of
7 scenario analysis that we've done very robustly takes
8 care of and considers the risks and uncertainties.

9 MR. KIND: So was the point there that
10 there's all these other uncertainties so that it
11 didn't really -- wasn't worth their time maybe in
12 calculating these confidence intervals? Is that --

13 MR. COSTENARO: It's true that there's
14 all these other risks.

15 MR. KIND: Okay. Well, I'll look forward
16 to seeing those calculations at some point. I didn't
17 realize that you didn't have the kind of random sample
18 that would permit that so that's encouraging follow-up
19 on that.

20 MR. COSTENARO: Thanks.

21 MR. GILZOW: More a curiosity question
22 than anything, but --

23 MS. DIETRICH: And your name?

24 MR. GILZOW: I'm sorry. Thank you.

25 Floyd Gilzow with Missouri Public Utility Alliance.

1 When you talk about the results that you achieved
2 through this survey, what accuracy verification did
3 you go through to determine if the answers given by
4 the respondents were, in fact, accurate?

5 And I base that on the fact that in many
6 cases historically in surveys, self-reported
7 activities that are generally perceived to be socially
8 beneficial tend to come at a much higher rate. For
9 instance, voting rates are typically 10, 15, 20
10 percent higher on self-reporting than actual activity.
11 So can you describe what steps you took to verify the
12 accuracy of the responses?

13 MR. COSTENARO: Yeah. Yeah. Definitely.
14 Along with all kinds of checks that went into the
15 surveying process like, Hey, do you work for a
16 utility? You know, you can't participate in this.
17 Did you just game the survey? You know, it kept track
18 of, you know, response time. And if it took, you
19 know, 45 seconds to fill out the survey, you know, it
20 was just booted out by the system because the
21 intelligence was there and it said, Okay, this person
22 obviously didn't think about the questions. You know,
23 if everyone answered C on all the thing, it threw that
24 out. So along with all the kind of like operational
25 checks, then the kind of semantic or structural or

1 meaning checks were there to ensure the reliability.

2 When people answered, Yes, I will do this
3 activity; yes, I believe that climate change is real
4 and I am motivated by it; no, the economics is not
5 important for me, it's more the environment, so when
6 people would make these attitudinal claims, we would
7 adjust that by a factor that our contractor had
8 developed with consumer research over, you know,
9 10 to 20 years. So this was a technique developed by
10 Proctor and Gamble in their researching of consumer
11 products.

12 So if people said, yes, I'm going to do
13 this, you know, and it's a scale of zero to ten, if
14 they would -- if they would say zero through I believe
15 it was six, you threw that out and said, no, they're
16 really not going to do it. If they said seven, you
17 assigned a probability of I think 20 or 30 percent.
18 If they said eight or nine, you assigned a probability
19 of 50 percent. And if they said ten, you assigned a
20 probability of 60. And those are aren't the exact
21 numbers, but it's in our write-up.

22 But essentially what it does is it maps a
23 zero through ten scale to a, you know, this is what
24 really happens. So that was developed again by
25 Proctor and Gamble and then adjusted by our research

1 contractor who do this kind of thing all the time.
2 They look at what consumers say and then what they
3 actually do. So those are kind of universal like
4 mapping techniques. Does that answer your question?

5 MR. GILZOW: Thank you.

6 MR. DORITY: Good morning. Larry DORITY
7 with Fischer and DORITY. I was -- just for a point of
8 clarification, Ms. Dietrich in her remarks indicated
9 the KEMA would be applicable to both electric and gas
10 utilities. It's my understanding that the Ameren
11 study was only involving the electric side of the
12 house; is that correct?

13 MR. COSTENARO: That's correct.

14 MR. DORITY: Thank you.

15 MS. DIETRICH: Adam, if you could wait
16 just a minute.

17 MR. JOHNSTONE: Yes. That's perhaps the
18 downside of sitting in the back of the room. I'm
19 Donald Johnston, consultant for Noranda Aluminum. I'm
20 looking at your avoided cost chart, page 6. And the
21 values in the KEMA file show, according to your chart,
22 retail rates remaining flat throughout the time
23 horizon.

24 Now, as I recall in your last IRP, you
25 had your rates doubling in about ten years. And is it

1 your point that -- are you agreeing or commenting on
2 the fact that they're assuming they'll be flat?

3 MR. COSTENARO: Oh, that was more
4 informational. I don't know that it's at my pay grade
5 to tell you what the rates should or shouldn't be.
6 But yeah, I mean, it looked like they weren't even
7 growing with inflation so I just call that -- I
8 just -- you know, maybe this needs looking at.

9 MR. JOHNSTONE: Yeah. It seems to me to
10 be a big deal to have them flat, no inflation versus
11 doubling in ten years.

12 MR. COSTENARO: And they weren't flat, to
13 clarify. They were relatively flat.

14 MR. JOHNSTONE: Relatively flat. I like
15 that qualifier. That's a good one.

16 MR. COSTENARO: Right.

17 MR. JOHNSTONE: A question for you about
18 the capacity cost. It seems to me that there was a
19 dilemma here. If you use the current market, you get
20 a study that's good for current conditions. If you
21 take the other approach and use long-term values, you
22 get a study that's perhaps not apropos in today's
23 conditions but may be more valid in a couple of years.
24 So I mean, does your avoided cost change through time
25 or how would you deal with that?

1 MR. COSTENARO: Yeah. Well, that's a
2 good question. So our avoided costs projections are
3 low at the market rates until we -- until we can no
4 longer see futures contracts or -- or the sorts of
5 things that would pin that down and nail it in for us.

6 So then we transition linearly over time
7 to -- to that new build curve where you would be
8 building a new peaking generator. So our curve looks
9 kind of like a -- whatever letter that -- two or a Z
10 or -- it kind of -- it pops up step change about five
11 to ten years out.

12 MR. JOHNSTONE: Right. So the difference
13 is in the near term?

14 MR. COSTENARO: Correct. Which is
15 important because everything's discounted. So the
16 near term is -- is valued more in the decision making
17 and the TRC analysis for the study, you know, then the
18 outer years.

19 MR. JOHNSTONE: Right. I don't disagree
20 with that. It also depends on whether the study going
21 to be used this year or next year --

22 MR. COSTENARO: True.

23 MR. JOHNSTONE: -- or that sort of thing.
24 I had I guess maybe one more question on your chart
25 where you were talking about translating economic to

1 achievable potential. And you talk about one- to
2 five-year pay-backs corresponding to benefit cost
3 ratios of one to five. It seems to me like there's an
4 inverse relationship between those two.

5 MR. COSTENARO: Yeah.

6 MR. JOHNSTONE: And the very short
7 pay-back could actually be a higher benefit-cost
8 ratio.

9 MR. COSTENARO: Right. So I guess I
10 should have -- I should have listed them one-year to
11 five-year pay-backs correspond to a five-to-one
12 benefit-to-cost ratio. I just ordered them
13 numerically instead of the way that they correspond to
14 each other.

15 MR. JOHNSTONE: But I guess in any event,
16 your point is that you see penetrations of 3 to 47
17 percent versus 2 to 82 percent?

18 MR. COSTENARO: Uh-huh. Uh-huh. Yeah.

19 MR. JOHNSTONE: With the 47 versus 82
20 being the big one?

21 MR. COSTENARO: Right. Right.

22 MR. JOHNSTONE: Okay. Thank you.

23 MR. BICKFORD: Hello. Adam Bickford,
24 DNR. I had a question about your peak demand summary
25 slide.

1 MR. COSTENARO: Okay.

2 MR. BICKFORD: The --

3 MR. COSTENARO: Slide seven, I think.

4 One more

5 MS. DIETRICH: I'm sorry. I'm not

6 familiar with the slides.

7 MR. BICKFORD: The pie that you have

8 documented by -- attributed to KEMA apparently,

9 according to KEMA's report on October 27th, comes from

10 the Federal Energy Regulatory Commission's national

11 assessment of demand response potential --

12 MR. COSTENARO: Oh, right.

13 MR. BICKFORD: -- as is cited here. And

14 I gather that your class make-up in 2010 comes --

15 applies to your service area?

16 MR. COSTENARO: Uh-huh. Uh-huh.

17 MR. BICKFORD: Do you believe that -- I

18 guess two questions. First of all, do you believe

19 that the material cited by KEMA are necessarily

20 incorrect? And do you maintain that your service area

21 or the make-up of your service territory is

22 representative of the entire state?

23 MR. COSTENARO: I don't know that we

24 necessarily have a -- a set-in-stone opinion on it. I

25 think it was -- you know, the spirit was just to kind

1 of point out things that we thought needed
2 understanding and investigation. So I'm not sure
3 where I would say it should end up, but I think it
4 needs to be looked at.

5 MR. BICKFORD: Do you think this
6 illustrates some of the differences in focus between
7 low level -- pardon me, highly detailed
8 utility-specific studies and more aggregate studies?

9 MR. COSTENARO: Yeah. I could see the
10 difference, yes.

11 MR. BICKFORD: Thank you.

12 MR. GELLER: Hi. Greg Geller from
13 EnerNOC. I was wondering if you saw any variation in
14 responses between the residential sector and
15 commercial and industrial? Any more willingness to
16 participate?

17 MR. COSTENARO: In our attitudinal
18 research, I think it -- it was pretty similar. There
19 was a lot of cost focus; if this isn't going to save
20 me money, I'm not going to do it. I think, you know,
21 in general, anecdotally, yeah, the business customers
22 were -- they were more about the dollar, they were
23 more about the pay-back than I think the residential
24 customers were. But they were both very much aligned
25 with the dollar and not as -- not as apt to uptake

1 energy efficiency actions and measures than other
2 jurisdictions that our market researcher had dealt
3 with.

4 MR. GELLER: Okay. Thanks.

5 MR. COSTENARO: Good question. Thanks.

6 MR. KIND: Ryan Kind with Public Counsel.
7 Dave, on the avoided cost and the 113 per KW and
8 capacity costs that you guys I guess picked out of the
9 study as their value for 2010, is your point here, you
10 know, when you talk about, you know, sort of a glut
11 currently in the capacity market -- which
12 incidentally, I think our views have finally coincided
13 on that. We were arguing over that maybe six or eight
14 years ago, whether or not there was a glut and I think
15 we might be on the same page at this point.

16 MR. COSTENARO: All right.

17 MR. KIND: But anyway, is your point here
18 that really we should be using market prices in the
19 early years if there is an excess of capacity and then
20 transition over to something like, you know, levelized
21 peaker costs in a few years? I guess I just want to
22 clarify. It doesn't -- I'm assuming you're not
23 arguing that we should be looking at really cheap
24 capacity over a 20-year time horizon. Correct?

25 MR. COSTENARO: Yeah. Correct. That's

1 what our analyst had projected out, so yeah, I think I
2 could safely say that's what we recommend.

3 MR. KIND: So you move over to cost in
4 the event -- or something like that --

5 MR. COSTENARO: Yeah.

6 MR. KIND: -- within a few years is the
7 idea?

8 MR. COSTENARO: For sure.

9 MR. KIND: Thanks.

10 COMMISSIONER DAVIS: This is Commissioner
11 Davis. I've got a few questions so I'm just going to
12 sit here at the microphone.

13 Mister -- is it Castenaro?

14 MR. COSTENARO: Costenaro.

15 COMMISSIONER DAVIS: Costenaro. I'm
16 sorry.

17 MR. COSTENARO: That's okay.

18 COMMISSIONER DAVIS: I guess the first
19 point you made or first assertion is that national
20 attitudes aren't necessarily reflective of Missouri
21 attitudes in terms of desire to participate in energy
22 efficiency programs; is that correct?

23 MR. COSTENARO: Yeah. Definitely.

24 COMMISSIONER DAVIS: And you also said
25 that based on your view of some of the other KEMA

1 studies, it appears that they take a -- this is --
2 these are my words, but a one-size-fits-all approach
3 in terms of participant benefit-cost ratio?

4 MR. COSTENARO: It looks like they have
5 the same analysis process available to all their
6 studies.

7 COMMISSIONER DAVIS: Right. And that
8 is -- Natelle, that was page 16 -- or I want to say
9 page 22 of the KEMA PowerPoint from the October 4th
10 kickoff meeting that we had that's also one of the
11 online presentations. And I can't remember what their
12 response was, but I believe I asked about that in the
13 agenda meeting and I don't recall what the response
14 was.

15 But obviously I mean -- and I guess,
16 David, I guess my first question is, should we have
17 different curves for industrial, commercial and
18 residential users in terms of what their likelihood of
19 participation is? Because they're three different
20 classes of customers and I would -- I would think that
21 those numbers would be different, but --

22 MR. COSTENARO: Right. That's a good
23 question. That kind of harkens back to the gentleman
24 from EnerNOC that spoke about the differences in
25 attitudes between the residential and the business.

1 We didn't -- oh, right.

2 So the question was, are there
3 differences between the residential and the business
4 attitudes of customers.

5 COMMISSIONER DAVIS: Right. Should --
6 and I don't know this, but I'm suspecting that KEMA
7 may offer us a range of curves where -- you know, a
8 low participation curve, a medium participation curve
9 and a high participation curve. I'm guessing -- I
10 guess what I'm asking is, would those -- I mean it
11 just appears to me off the cuff that your residential,
12 your commercial and your industrial participation
13 curves are going to be different.

14 MR. COSTENARO: Yeah.

15 COMMISSIONER DAVIS: And not -- you know,
16 I'm just not sure where it all shakes out in terms of
17 if you have one curve, a high/low curve, where those
18 are going to fall in that -- in that curve assuming
19 they give us more than -- assuming they give us a
20 range, I'm just trying to figure out, you know, would
21 it be better to have a curve for each class?

22 MR. COSTENARO: Right. Yeah. I'm -- you
23 know, I'm not sure to what, you know, decimal point
24 they're taking the curves out. It might be that
25 they're close to each other and just a little bit off.

1 We didn't find super big differences between the
2 different sectors in classes, but we found them all to
3 be kind of equally lower than national averages. But
4 it's definitely something worth looking into, like if
5 there are meaningful differences between the classes.

6 COMMISSIONER DAVIS: Natelle, John
7 Rogers, Randy, have you guys looked at that at all?

8 MS. DIETRICH: No. Not at this point.

9 MR. ROGERS: Not yet.

10 COMMISSIONER DAVIS: You talked about
11 this a little bit, but in some of my notes I have that
12 KEMA is using -- and I may not get this -- this right,
13 but basically what I would call a -- like a 15 percent
14 discount rate for -- for residential consumers
15 basically saying, you know, this is all going to
16 depreciate out in 6 and 2/3rds years roughly. And,
17 you know, I think it gets down to -- you know, and
18 then you reference a 20-year --

19 MR. COSTENARO: The measure life?

20 COMMISSIONER DAVIS: Yeah. The 20 --
21 20-year measure life. And I'm just, you know, trying
22 to figure out -- I mean, once again where, you know, a
23 light bulb will -- a CFL will probably last six years,
24 maybe eight years. You know, obviously an energy
25 efficiency refrigerator would hopefully last longer,

1 other appliances would hopefully last longer. But
2 there are programs that are going to be shorter.

3 And, Natelle -- I mean I guess I'll ask
4 Natelle, John, Randy, do we know how they're coming up
5 with that -- what appears to be one kind of blended
6 number? How are they weighting that?

7 MS. DIETRICH: We don't know how they've
8 come up with the rate or the weight. I have asked for
9 some research on the 15 percent so we are getting into
10 that.

11 COMMISSIONER DAVIS: Okay.

12 MR. JOHNSTONE: I'm sorry. With both of
13 you, this is really hard to follow.

14 COMMISSIONER DAVIS: I'll just move
15 back -- I'll move back here.

16 MS. DIETRICH: Well, my -- his question
17 was have we talked to KEMA or do we have any
18 information on how they've weighted the various rates
19 I think is the word you used.

20 COMMISSIONER DAVIS: Right.

21 MS. DIETRICH: And I said we haven't
22 received any information on their weighting, but that
23 I have asked for some research on the 15 percent.

24 COMMISSIONER DAVIS: Right. And
25 because -- I mean the utility rate I believe was kind

1 of like a weighted average of their cost of capital
2 which appeared, you know, certainly reasonable to me
3 and with -- but, you know, when you're making
4 estimates about a consumer discount rate, you know, I
5 mean it depends on what purposes that you're -- I mean
6 we're using it for.

7 And I'm concerned that, you know, a
8 15 percent pay-back for residential customers, you
9 know, if it's going to take them six years to recover
10 their investment, I'm still not sure that that's going
11 to be enough incentive for them. I don't know that
12 that's going to get the, quote, desired participation
13 rate. And so I mean, I guess I would like some
14 clarification on that and it sounds like staff is
15 going to try to get that.

16 Natelle, do you have any information
17 about which curves that KEMA plans to use? That was
18 one of David's questions and I thought it was a good
19 one.

20 MS. DIETRICH: On most, if not all of the
21 information that Dave raised, we have not received any
22 information on nor have we asked. I mean we're still
23 going through all this. But I have taken notes so
24 that we can go back and ask KEMA all the various
25 questions.

1 COMMISSIONER DAVIS: Okay. Let's see.

2 Now I'm going -- I'm just going to speculate here,
3 David. And this is just a statement, but my
4 understanding is going back to the IRPs, in Ameren's
5 IRP, you guys used a capacity market because you have
6 a capacity market in MISO and I think it's fairly
7 easy.

8 I mean, my impression is that because SPP
9 does not have that capacity market yet -- and, Adam
10 McKinnie, you're back there in the back of the room,
11 you can correct me if I'm wrong on this, but I think
12 in the Empire KCP&L and GMO IRP plans, there you just
13 had, you know, the avoided costs of constructing CT
14 turbines.

15 And, you know, quite frankly, I mean I
16 assume that they're -- I mean it's interesting
17 because, you know, I've heard from different municipal
18 utility leaders around the states that they're saying
19 pretty much all requirements contracts with Ameren,
20 you know, at a specified dollar amount which would
21 probably be more reflective of the MISO costs for
22 capacity than the SPP, but on the other side of the
23 state, I mean I think, you know, their capacity costs
24 would be -- and I mean I guess that's the thing.

25 It's like, you know, when we're trying to

1 come up with this one number, I think we need to try
2 to dig in and figure out, well, we may need a range,
3 because I think the number for those -- I mean
4 there's -- there's a capacity market coming in SPP,
5 but I think we're a ways -- you know, a year or two
6 away from that yet.

7 And, you know, once again, I think maybe
8 we may need a range. I just don't know that you can
9 peg one number to it because it appears that we have
10 two very different, you know, modes of calculation.
11 And I think at least, you know, right now for past
12 purposes on the Empire KCP&L side of the state, you
13 have to rely on whatever's in the IRP plan. So that's
14 my speculation response to that question that you're
15 having -- or you had.

16 And, Natelle, is the time horizon
17 20 years?

18 MS. DIETRICH: Yes. 2010 to 2030.

19 COMMISSIONER DAVIS: Yeah. And has staff
20 compared the Ameren, Empire, KCP&L, KCP&L GMO rate
21 projections in their IRPs with the -- with the KEMA?
22 I mean it's -- I would assume it's supposed to be a
23 blended average and -- I mean, have you guys done that
24 yet or are you doing it or --

25 MS. DIETRICH: Not -- not yet. I mean we

1 started looking at some of the IRP information and
2 comparing it to what KEMA has provided, but we haven't
3 made it through yet.

4 Adam, did you want to add something?

5 MR. MCKINNIE: Just very briefly on that
6 one. Dave, I don't know how much you've looked at the
7 KEMA study itself, but one of the assumptions aiming
8 on rates was that it was a calculation based on
9 avoided costs.

10 MR. COSTENARO: That's right.

11 MR. MCKINNIE: So to the extent that your
12 avoided cost number is a certain level, then that's
13 going to be what's driving your rate projection. It's
14 not one of those what do we think is going to happen.
15 It's much more of a mathematical formula.

16 MR. COSTENARO: Yeah, that's right.

17 MR. MCKINNIE: And I know that the SPP
18 capacity market's probably a ways off too while I'm up
19 here so -- and I'm sorry, I'm Adam McKinnie and I work
20 with staff.

21 COMMISSIONER DAVIS: And I don't think I
22 have any more questions.

23 MS. DIETRICH: Are there any more
24 questions for Dave? Okay. Thank you.

25 MR. COSTENARO: Thank you.

1 MS. DIETRICH: Chairman Clayton is in the
2 room now. Chairman, do you have any comments?

3 CHAIR CLAYTON: Thanks, Natelle. I had
4 every intention of being here on time this morning. I
5 failed at being here on time this morning so I
6 apologize to everyone.

7 I wanted to thank everyone in the room
8 for their willingness to participate in this
9 discussion here today. The Commission has not been in
10 the habit of having these types of studies conducted
11 in -- at least in my time at the Commission and this
12 is an ambitious project. So I'm glad that we're able
13 to have this discussion here today.

14 And I would agree with I think all of my
15 colleagues that we want to ensure we have the most
16 accurate study as possible, but I wanted to make sure
17 that all the stakeholders are aware that there are no
18 predetermined outcomes from my perspective or I
19 believe from the Commission's perspective and that
20 this study is going to provide an opportunity for us
21 to view what potentials are out there for Missouri,
22 can be used in comparison or -- or to sustain perhaps
23 the Ameren study. It is a study that hopefully will
24 provide us guidance as we do a policy making in the
25 future and future Commissions have to make difficult

1 decisions.

2 As far as some discussions that we've had
3 over the last couple of days, if time is necessary to
4 make this happen, I'm certainly comfortable with
5 allowing for additional time that will ensure
6 additional confidence in the study. I'm -- I'm not
7 sure how that will work with our contract negotiations
8 with KEMA, but from my perspective, if there is a way
9 of accommodating concerns and making sure staff's
10 concerns and our partners, DNR's concerns if there are
11 any are addressed, I want to make sure that we take
12 action to deal with that.

13 So I appreciate everyone being here today
14 and I'll let you all get back to your discussions.
15 Thanks.

16 MS. DIETRICH: Thank you. We're
17 scheduled for a break at 10:30. So instead of jumping
18 in for ten minutes, why don't we go ahead and take our
19 break now and come back and get started at 10:35.

20 (A recess was taken.)

21 MS. DIETRICH: Next on the agenda or the
22 rest of the agenda is to discuss the various input
23 files that KEMA provided. We have the measure inputs,
24 the economic inputs and the baseline inputs.

25 For the measure inputs, KEMA defines

1 measure data as cost, savings, applicability and
2 saturation. For economic data, KEMA identifies
3 avoided costs rates, discount rates, including utility
4 and society and participant, and inflation rates.

5 And for baseline data, KEMA identifies
6 such things as total units, square footage household,
7 et cetera by segment or sector and end-use data such
8 as saturations, loads, shapes, those types of things.

9 In order to develop its baseline, KEMA
10 has indicated that it calibrated a model to base usage
11 and typically it calibrates to utility energy sales,
12 either kilowatt hours or therms and peak demand,
13 either megawatt or therms, for the most recent year.

14 The baseline represents current
15 penetration of energy efficiency measures, current
16 load shapes and rate forecasts assuming energy --
17 energy efficiency program funding. For its base year,
18 it's the first year of avoided cost data in the year
19 to which all costs and benefits can be normalized.

20 That just provides you a little bit of
21 detail of what KEMA provided us as far as its
22 definitions of the various items. Now, I will point
23 out that KEMA is not in the room and not on the phone,
24 so we will be taking your questions -- or your
25 comments and questions and feedback and recording them

1 through the court reporter and also funneling them to
2 KEMA depending on the schedule that's determined. So
3 with that, I'll open it up for comments on the measure
4 inputs. Any comments on measure inputs?

5 MR. KIND: Ryan Kind with OPC. I was
6 just going to comment on the avoided cost and how, you
7 know, in the write-up -- I'm just starting to get
8 caught up a little bit with what's in the write-up.

9 But I noted that they talk on page 6
10 about using three different levels of avoided costs so
11 they'd be doing scenarios analysis with a mid level
12 and a high and low. And hopefully that would help
13 address some of the concerns that we've heard today
14 about if people don't necessarily agree with the level
15 of avoided costs that's used as the mid point level,
16 somebody could then argue that, well, I think this
17 scenario makes more sense, it's more representative of
18 today's avoided costs.

19 And I guess if people have a problem with
20 that, you know, given that we have these different
21 scenarios and people still see significant problems in
22 this area, I'd like to hear why there would still be
23 problems given that there will be these different
24 ranges available.

25 MS. DIETRICH: Any -- go ahead.

1 MR. GELLER: Hi, Greg Keller from
2 EnerNOC. So it seems like the study so far looks at a
3 lot of measures that are -- it does a great job of
4 looking at measures that have been traditionally
5 effective for energy efficiency, like replacing
6 lights.

7 One area where it seems like there can be
8 some additions made is on commissioning, both
9 retro-commissioning and monitoring-based
10 commissioning. I'll just briefly explain kind of what
11 those -- what those two terms are.

12 But basically, you know, when you
13 commission a building, you're making sure that it's
14 running efficiently. And so retro-commissioning, what
15 often happens is buildings are built in 1950's or
16 whenever they were built and they were never really
17 checked out to make sure they're running efficiently.

18 And so this goes back and it says, well,
19 the HVAC system, is it -- you know, is it costing the
20 owners of the building thousands of more dollars than
21 it should? Can it be running better? And if it can,
22 then there's -- you know, there's a capital
23 improvement made. And so-retro commission has been
24 really effective. You know, Excel in Minnesota had a
25 really successful retro-commissioning program

1 recently.

2 And so the issue with retro-commission is
3 it's great, but then what happens is the building
4 starts -- kind of slips and, you know, someone walks
5 into a room and changes a thermostat and that throws
6 off the whole building and costs skyrocket again and
7 all -- you know, a lot of the savings you've achieved
8 have gone out the window.

9 And so this is -- what monitoring-based
10 commission does, is it has a lot of data points
11 throughout a building. And it's able to look at, you
12 know, is the building running efficiently and it does
13 it in real-time. And if there -- if it's not running
14 efficiently, if you have a broken thermostat or
15 something wrong with, you know, heating/cooling
16 systems or steam trap, whatever it is,
17 monitoring-based commission is able to detect that in
18 real-time and suggest a low-cost or a no-cost
19 improvement.

20 And so what that does is the pay-back
21 time is really brief. And so when you're talking
22 about economic potential and needing quick pay-back,
23 that's what monitoring-based commissioning is really
24 good for. And the savings from it are usually
25 10 percent.

1 So that's just something that, you know,
2 I wanted to throw out there because I think right now
3 the study does not really look at those kind of
4 measures. Just one example, Omaha, the utility there,
5 they have something very similar called continuous
6 commissioning and it's just kind of just making sure
7 that whatever savings are achieved are -- you know,
8 are persistent throughout and that you're not losing
9 those savings.

10 I'm not going to bore everyone with
11 details on that program, but if you -- if you want to
12 talk off-line, I'd be glad to give some figures from
13 the savings that have been achieved there. So thank
14 you.

15 MS. DIETRICH: Thank you. Other comments
16 on the measures inputs?

17 COMMISSIONER DAVIS: This is Commissioner
18 Davis again. Just to respond to Ryan a little bit, I
19 mean, I understand the high, average and low, Ryan,
20 but my concern is what are the numbers that we use in
21 there? I mean, I just pulled the SPP current monthly
22 report. You know, the average price of a megawatt of
23 power in SPP this past month was like 25, 26 bucks,
24 you know, \$32 is another average that they use.

25 And I think the average in MISO was \$34.

1 I've seen MISO numbers, you know, ranging 32, 34. I
2 mean -- also, I mean, at night, you know, the numbers
3 for purchases go to virtually zero and in some cases
4 you can even get paid to take electricity.

5 And, you know, we're looking at this, you
6 know, avoided cost of, you know, \$44 and that may be
7 based on IRP plans, that may be based on, you know,
8 electricity when we had \$12 gas in 2007. I think
9 that's -- that's a valuable scenario to probably run,
10 because I think we can see \$12 gas again, but it's
11 just a question of -- I want to make sure that we have
12 the high, low and middle variables correct to begin
13 with and that we don't just have -- you know, 44 is
14 the average and then take, you know, a low number and
15 then a high number on top of it. I want to make sure
16 that we get the best numbers possible there.

17 MR. KIND: Ryan Kind with OPC. I
18 definitely agree with you about those points you made,
19 Commissioner Davis. And, you know, referencing back
20 to IRPs from a couple years ago might have had higher
21 energy prices in them.

22 And I think it's important though that we
23 don't rely solely on current market energy prices just
24 because of the large economic downturn we're in the
25 middle of right now. You'd want to look at that if

1 you're talking about just what sort of energy prices
2 will we take into account in maybe developing
3 off-system sales for a rate case that's, you know,
4 just looking at where we're going to be in the next
5 maybe two or three years, but if you're looking over a
6 20-year period, it's kind of important to get the
7 starting point from which you have an escalation rate
8 over time and you don't necessarily want to just look
9 at today's energy prices as -- as being a good
10 starting point to begin that escalation.

11 COMMISSIONER DAVIS: And I agree. You
12 sound like me arguing with David Murray on the witness
13 stand a few months ago. I did just want to point that
14 out for you, Mr. Kind, but I agree --

15 MR. KIND: I'm not sure if that's a
16 compliment or not. I hope it is, but --

17 COMMISSIONER DAVIS: You know, I guess,
18 Natelle, I mean with regard to the -- to the measure
19 data looking at cost savings, applicability and
20 saturation, I mean that's what KEMA had in their
21 original PowerPoint that they made on August 4th.

22 And, you know, I'm -- you know, I mean
23 one of the things that -- you know, we've got KEMA
24 relying on some residential and commercial building
25 surveys for gas and electric in Indiana, Rhode Island,

1 Colorado. And I'm not sure what purposes they're
2 relying on each of those studies, but, you know, I am
3 concerned. I mean in terms of a refrigerator
4 replacement program in a very compact state like Rhode
5 Island is not going to have the same costs as a
6 program for Ameren which basically stretches, you
7 know, the length of the state north to south as well
8 as for the co-ops who also are -- you know, my
9 grandparents are co-op customers. I think they had
10 three deep freezes and three refrigerators.

11 So I mean, you could say what you want to
12 about that, but anyway, I'm -- I'm a little concerned
13 about, you know, in terms of some of this measured
14 data how that data is being extrapolated to Missouri,
15 you know, particularly with costs savings, you know,
16 applicability.

17 I mean saturation -- I mean we've talked
18 about saturation a little bit. I mean obviously the
19 Ameren study came in significantly lower than -- than
20 what, you know, KEMA is projecting is -- you know, in
21 terms of participation rates which, you know,
22 theoretically I mean if we statutorily require it,
23 then yeah, we could have 100 percent participation
24 rate, but, you know, I'm -- I'm not concerned about
25 what's economically or technically achievable, but I

1 am very concerned about the numbers that get plugged
2 into the realistically achievable model in terms of
3 what assumptions we're going to be making about even,
4 you know, what -- what's average, what's high, what's
5 low.

6 I mean, because if the starting place is
7 higher than where it should be, you know, we're going
8 to get -- you know, particularly when you extrapolate
9 those numbers out, I mean, I can do a whole lot more
10 energy efficiency at \$44 a megawatt hour avoided cost
11 than I can at 32.

12 And then when you go and figure some sort
13 of inflationary rate in there and compound that over
14 20 years, then the gap is going to spread. So, you
15 know, I think we have to be sure and get these things
16 right, particularly, you know, with the saturation
17 percentage because that's going to come down into
18 what's measuring what's realistically achievable.

19 You know, the applicability issue where
20 I'm not sure why they are using these -- I mean I know
21 why they're using their Indiana, Rhode Island,
22 Colorado and EIA information, but I mean, you have to
23 make a lot of assumptions about, you know, is Missouri
24 in line with that average or not. And I'm not exactly
25 sure that we are.

1 I mean on some of these things,
2 particularly anything that has to do with Rhode
3 Island, not that I have any, you know, animosity
4 towards the fine people of Rhode Island, but just
5 because it's a small, northeastern, coastal state that
6 in terms of weather patterns or anything else, I think
7 it's going to be very hard to extrapolate any data
8 from there and say that it's applicable to Missouri.

9 You know, same things -- I mean, I guess
10 I'm not sure what the savings measure data is or the
11 cost measure data is. And I mean, has John Rogers,
12 have they looked at this? I mean do they know -- I
13 mean what are we -- what are we estimating there?

14 MS. DIETRICH: We -- we don't know at
15 this point to respond.

16 COMMISSIONER DAVIS: All right. And
17 then --

18 MS. DIETRICH: I will make a comment on
19 one of your points. The refrigerators that you --

20 COMMISSIONER DAVIS: Yes.

21 MS. DIETRICH: -- used as an example,
22 that issue was actually raised in some conversations I
23 had a couple of weeks ago and I have passed that
24 concern onto KEMA. One of the things that they've
25 said in the various conversations that we've had with

1 KEMA is that they won't necessarily respond to each
2 individual comment, but they are considering it in
3 their study. And so I find it interesting that you
4 raise that same issue again.

5 COMMISSIONER DAVIS: Well, I mean I
6 cannot say that that increases my confidence level
7 when they say, You're just going to have to trust my
8 profess-- because I raised this question on the call I
9 think three, four weeks ago. They're like, Well, it's
10 just a matter of our professional judgment. Well, I
11 mean, I wish people wouldn't ask me tough questions
12 either.

13 MS. DIETRICH: Well, and when I say they
14 weren't going to respond to each one, respond
15 individually to, you know, say, Okay, you said
16 refrigerators should be considered, this is how we
17 considered them. That's what I meant by they weren't
18 going to respond.

19 COMMISSIONER DAVIS: Okay. And then you
20 know, I mean I -- you know, I'm going to go back
21 because I mean I've -- this chart was in the
22 August 4th presentation and it's also on page 5-6 of
23 their proposal to conduct the study.

24 I mean here we have this illustration of
25 effect of incentives on adoption level as

1 characterized in implementation curves. And, you
2 know, is there -- I mean I'd like to know if -- I mean
3 from them if there is any basis in fact for that
4 curve? I mean and if so, I mean what is the
5 scientific evidence that they -- what is the study
6 that they've done that supports this curve?

7 Because I mean right now all I have is a
8 curve that says, you know, at -- with a 50 percent
9 incentive, we're going to get roughly 37.5 percent
10 participation.

11 MS. DIETRICH: What was that again; the
12 references you gave?

13 COMMISSIONER DAVIS: The reference is
14 Figure 5-3 on page 5-6 of their April 16, 2010
15 proposal to conduct a demand side management market
16 potential study. It's their response to the RFP.

17 MS. DIETRICH: Okay.

18 COMMISSIONER DAVIS: I've seen that table
19 there and then I saw it again in their August 4th
20 PowerPoint presentation. I'm going to say maybe
21 page 22, but that's just -- that's just me
22 guesstimating at this point on that. But I have a
23 copy of it here if you want to look at it.

24 But I'm just -- you know, and if -- if
25 the gentleman from Ameren is correct and this to a

1 large degree in terms of what's realistically
2 achievable hinges on participation rates, then, you
3 know, these are some key assumptions about, you know,
4 how we're measuring what's realistically achievable.
5 And I think we need to -- to at least take some care
6 in verifying them.

7 I mean, because, you know, a 50 percent
8 incentive, if I understand that right, I mean, you
9 know, I'm paying for half of someone's refrigerator
10 plus hauling the old one off. And I think that is --
11 that is all I have on the measure data right now.

12 MS. DIETRICH: Okay. Thank you.

13 MR. KIND: This is Ryan Kind with OPC.
14 Just wanted to follow up on Commissioner Davis's
15 comment about the 50 percent incentives and paying for
16 half of a refrigerator.

17 It probably would be a good idea to
18 clarify really what KEMA was getting at when they were
19 talking about 50 percent incentives, but usually in
20 just terms of the industry normal terminology, when
21 you refer to a 50 percent incentive, you're paying
22 50 percent of the incremental cost from going from a
23 lower level of efficiency to a higher level of
24 efficiency.

25 So, for instance, with a -- with an air

1 conditioner at a minimum SEER of 13 requirement, a
2 50 percent incentive would be 50 percent of the
3 incremental cost going from a SEER of say 13 to a SEER
4 of 15 air conditioner if that's the behavior that
5 you're trying to incent.

6 MS. DIETRICH: Go ahead.

7 MR. VOYTAS: Hi. I'm Rick Voytas with
8 Ameren. In regards to the measure inputs, it's
9 difficult for us to -- to understand everything that's
10 gone into there. We haven't seen that much.

11 But one comment I'd like to make and I'd
12 like to build on Commissioner Davis's comments about
13 some of the databases were from Rhode Island,
14 Colorado, Connecticut, other sources. One of the a-ha
15 moments that we had with our study is that we would
16 compare the end uses for the various sectors with the
17 EIA west, north, central region, which we normally
18 fall in.

19 And there was some very, very significant
20 differences. I mean some key end uses; heating,
21 cooling, major -- I'm not talking 1 or 2 percentage
22 points. I'm talking 10, 11, 12, 15 percentage points.
23 So again, I don't know what impact, if any, that may
24 have on the study, but again, it's just one of the
25 things that you look for when you're using secondary

1 versus primary data.

2 MS. DIETRICH: Thank you. Anything else
3 on measures data?

4 MR. MCKINNIE: Why not? I just miss
5 talking to you all. Adam McKinnie here with the staff
6 again. And I definitely agree with Rick to the extent
7 that they do any census region data, that Missouri is
8 at that southern end of the tip that includes like
9 South Dakota and North Dakota and everything else.

10 But I think with at least some of these,
11 if they use the RLW study for things like air
12 conditioners, then I think they're a little bit better
13 off at least. So I'm hoping that takes care of some
14 of that problem, but I -- I agree it's a concern in
15 things like the -- the FERC demand response
16 information.

17 Because if at the FERC level they use the
18 census region, then you -- you might be in trouble,
19 but I think it might be a different thing for the
20 energy efficiency versus demand response estimates.
21 But that is something that does need to probably be
22 looked at. I would agree.

23 MS. DIETRICH: Any other comments on
24 measures inputs? Okay.

25 MR. SOCKS: This is Matt Socks. In going

1 through some of the KEMA files, I've noticed that in
2 some of the background information, they've mentioned
3 that they can apply a penetration curve or an
4 implementation curve at the measured level within the
5 sector.

6 And in their measure input files they
7 have a space for implementation curve, but they don't
8 actually give the curve. This kind of touches on what
9 a lot of people have already discussed already. I
10 think in order to really assess the input, we would
11 need to see these penetration curves as well as how
12 they were derived or calibrated from other studies.

13 And the second comment is that it's not
14 clear to me how or to what extent the KEMA measures
15 are considering retrofit opportunities as opposed to
16 replace on burn out. Those two terms are thrown
17 around in measure characterization, but it isn't clear
18 if and how they're accounting for differences in
19 baseline between the two applications and difference
20 in costs and savings.

21 MS. DIETRICH: Thank you. Could you
22 repeat who that was speaking, please?

23 MR. SOCKS: Yes, Matt Socks.

24 MS. DIETRICH: Could you spell that?

25 MR. SOCKS: S-o-c-k-s.

1 MS. DIETRICH: Okay. Thank you.
2 Other comments on the measures inputs
3 from the phone or in the room?
4 Okay. Shall we move onto economic
5 inputs? We've touched on them a little bit. Any
6 additional comments on economic inputs?
7 COMMISSIONER DAVIS: This may be
8 filibustering until anyone else decides that they want
9 to jump in, but in going back to the October 27th
10 narrative, you know, we've got -- you know, beginning
11 on page 5 they start listing the economic inputs and
12 you get down to Section 3.2 on page 6 which is avoided
13 costs.
14 And it talks about, you know, we found
15 partial avoided cost data in the IRPs for the
16 investor-owned utilities, we found capacity costs for
17 KCP&L and GMO, found energy avoided costs forecast for
18 KCP&L and Ameren, we weighted this data using Ameren's
19 business as usual forecast. Because the uncertainty
20 in avoided costs, I mean the multiplicity of scenarios
21 analyzed by the utilities and because we were not able
22 to obtain data for all utilities, we plan to use this
23 forecast as a base case and create a high and low
24 avoided cost forecast.
25 And, you know, this gets into the price

1 of power, this gets into the price of electricity as
2 referenced by Noranda's representative. And I see,
3 you know, virtually, you know, there's -- I'm sure
4 there are spreadsheets, you know, that back this
5 information up, but, you know, I don't have time to go
6 peeling through all of these spreadsheets. And I'm
7 not sure that -- that staff particularly -- I mean
8 we've got a whole economic analysis division I mean
9 with some -- some highly competent people. I mean I'm
10 assuming Dave Murray hasn't looked at any of this.

11 MS. DIETRICH: No.

12 COMMISSIONER DAVIS: And I mean, no
13 offense to the engineering bunch over there, but I
14 mean with regard to these economic assumptions, I
15 mean, you know, 2.5 percent sounds like a reasonable
16 estimate for an inflationary rate, but, you know, I
17 guess I'd kind of like to know that someone from staff
18 is actually looking at trying to verify these numbers.

19 You know, this discount rate of
20 15 percent for customers, I mean, you know, it's
21 roughly twice the industrial rate from what I've
22 gleaned, which, you know, depends -- you know, and the
23 discount rates appear to me to be fine for the
24 utilities because, you know, it pulled those right out
25 of the IRPs and weighted them by sales, you know. And

1 I guess we're just going to assume that the discount
2 rate for co-ops and Munis is still the same.

3 So, you know, once again we're making
4 lots of assumptions there about people who aren't
5 necessarily -- who we don't have data on, but, you
6 know, we -- you know, I'm not sure -- I mean,
7 15 percent for use on these cost-benefits
8 calculations.

9 And if you're talking about something
10 that has 6.5- to 7-year pay-back for people, I mean I
11 don't know -- you're going to have to up the
12 incentives I think to get them to use that or else I
13 don't think it's -- that's -- I mean I don't know what
14 the right number is, but I'm concerned that
15 15 percent -- I mean once again, I think we're going
16 to need a high and a low scenario on top of that
17 because I'm just not sure where those things are going
18 to shake out.

19 For some technologies, it's probably
20 right. For some programs, it's probably too short. I
21 mean insulation ought to, you know, have a much longer
22 life span than that, but for other things it's, you
23 know, probably too long.

24 3.6, Item No. 7, line loss rates. And
25 this is for the electric utilities. And 5.5 percent,

1 I mean I think anything in the 5 to 8 percent I mean
2 probably sounds like a plausible number to me for line
3 losses, but once again, I mean I'm concerned that
4 we're not breaking this out by customer class.

5 And you guy -- and we've already -- I
6 mean we've already raised that issue with them, but
7 your line losses for your residential customers are
8 going to be much higher than your line losses for your
9 industrial customers say, you know, particularly
10 Noranda. I mean when you've got roughly a 97, 98, 99,
11 100 percent load factor, your line losses are going to
12 be much less. You know, I mean there's a reason why
13 they have their own rate classification, I would say.

14 And then one thing that I haven't seen in
15 this input report that I've -- that I asked for
16 comment on a while back is, you know, how do we
17 account for the fact that, you know, under the -- the
18 statute, you know, these -- a lot of industrial
19 consumers can exempt themselves out voluntarily so
20 they don't have to participate, or conversely, you
21 know, to entice them to participate, you may have to
22 offer more incentive than you would otherwise to get
23 them to participate in the program.

24 And I asked Mr. Franks about that before
25 and I still don't know that I've received a response.

1 I mean, industrial demand, you know, on the gas side
2 and on the electric side is a significant portion, you
3 know, of the base. So I'm just trying to figure out,
4 you know, how that's going to be accounted for as
5 well.

6 MS. DIETRICH: Thank you. And,
7 Commissioner Davis, just so you know, even though John
8 is an engineer, as the head of the department, we do
9 have economists that I've been talking to that are
10 looking at this too, although I have not talked to
11 Dave Murray.

12 Any other comments on the economic
13 inputs?

14 MR. KIND: Ryan Kind with Public
15 Counsel's office. I guess the rate calculation in
16 here, it was brought up before by Don Johnstone, but
17 it's a concern for me as well. And I think the
18 problem is we've got a formula in here for how they
19 calculated the rates, but it's going to be important
20 for somebody who's got time and more resources than my
21 office to track down these numbers and see when you
22 actually utilize this formula, what sort of rate
23 increases are you getting over the 20-year period and
24 how do those compare to the rate increases that we see
25 coming out of IRP modeling.

1 As mentioned before, we -- you know,
2 we've seen projections of doublings of utility rates
3 over a 10-year period. Is this formula getting
4 similar results? I have a concern that it's -- if
5 it's really departing a whole lot from more precise
6 rate projections than we're getting, we're going to
7 get predictions of participation rates that really
8 don't accurately reflect the future rate reality.

9 It's just -- it's pretty obvious that if
10 you've got rates escalating pretty quickly, then
11 you're going to get higher participation rates from
12 customers through giving them incentives and other --
13 you know, other approaches to getting them to
14 participate in the programs. But does this
15 calculation get there?

16 Similarly with the discount rates, I
17 think I -- you know, same concern shared by
18 Commissioner Davis, 15 percent sounds quite high.
19 I'm assuming that's a discount rate that you would
20 apply to a future stream of benefits that come from
21 implementing energy efficiency measures.

22 So when you apply that discount rate to
23 the future stream of benefits in terms of avoided
24 cost, you're going to be really, really discounting
25 those benefits out there in year 10 and year 20,

1 almost assuming that there's really no benefit at all.
2 And I -- I just don't think that's -- that's a
3 realistic way to look at it. It could be that
4 discount rates like these, you know, might have made
5 sense if we were in a more high inflation environment
6 than we currently are. You know, if we keep pumping
7 money into the money supply, maybe we'll be able to
8 get back there eventually, but, you know, it's -- it
9 could be another one of those -- I think this is what
10 Commissioner Davis pointed out, where there really
11 should be, you know, a couple different ranges applied
12 to the discount rate.

13 MS. DIETRICH: Thank you.

14 COMMISSIONER DAVIS: This is my last
15 thought. I've got to sing Kumbaya with Mr. Kind one
16 more time. And that is like with some of these
17 measures if you're ri-- excuse me, wrapping pipes, you
18 know, they're going to have a benefit that -- that's
19 probably going to last six, seven years, maybe a
20 little longer.

21 But, you know, over time they are -- you
22 know, when you -- wrapping your pipes, for instance,
23 is probably the prime example is over time those
24 savings are going to diminish and you're going to have
25 to re-wrap those pipes in six or seven years if not

1 earlier or at least in probably year eight because,
2 you know, it's not going to be as effective insulating
3 those. I mean there's going to be some -- some
4 weatherization, some wear and tear, whatever.

5 You know, that's probably the prime
6 example that I can think of right now is wrapping
7 pipes, but I'm sure there are other examples, like
8 you're going to have to change out CFLs and other
9 things and I'm not sure how KEMA is accounting for
10 those costs that, you know, will -- I mean will have
11 to be -- I mean there's going to be either some
12 renewed costs or some ongoing O and M.

13 And I'm just -- I didn't see anywhere in
14 the narrative how that was being captured. I mean
15 maybe it's there, maybe I'm just missing it because
16 there is -- as you can see from my table there, I have
17 a mountain of data that I'm trying to plow through.

18 MS. DIETRICH: Go ahead.

19 MR. VOYTAS: This is Rick Voytas with
20 Ameren again. I don't know if this is the proper
21 place to bring it in the economic input discussion,
22 but when we look at the economics of our program and I
23 look at the various risks, one of the largest risks
24 that we consider is the risk of evaluation.

25 And the primary factor that's on our mind

1 is the net-to-gross ratio. And I'm not exactly
2 certain how KEMA is considering that. I know they
3 talk about naturally occurring energy efficiency in
4 their baseline forecast, but I -- and I know we
5 haven't even their programs yet. We've seen the
6 measured inputs, the economic inputs. Things haven't
7 been bundled into programs yet.

8 But it would be interesting -- well,
9 interesting. We need to know how they consider the
10 net-to-gross risk. That's especially important as we
11 go into the future because of the -- you know, the
12 plethora of federal legislation that's coming into
13 effect that affects CFLs, that affects industrial
14 motors, things that have a tremendous impact on the
15 amount of KWH that we can achieve going forward.

16 So I wasn't able to glean yet from the
17 limited information that I've seen on their approach
18 to net-to-gross or specifically what the net-to-gross
19 values would be for programs, but that would be an
20 area that I know we would like to see developed.

21 COMMISSIONER DAVIS: Mr. Voytas, could
22 you explain a little bit more what the net-to-gross
23 issue is for those of us who aren't as in tune with
24 this?

25 MR. VOYTAS: Yes. The net-to-gross ratio

1 is when we look at an energy efficiency program --
2 we'll keep this simple. We'll say that we sold
3 100 CFLs. That's what we're going to attribute to our
4 program. But then we do some research and find out
5 that 20 of those CFLs would have sold anyway without
6 the help of our program.

7 So the net-to-gross ratio of our program,
8 things that we directly contributed to, would be
9 80 percent. That would be 100 minus 20, which is 80,
10 over 100 which is 80 percent. That at a high level is
11 how the net-to-gross is determined. Some people take
12 the energy efficiency route without our help and we've
13 got to be able to glean that out of our numbers.

14 COMMISSIONER DAVIS: I think I may
15 already have you covered on that. Going back to
16 KEMA's initial presentation, you know, they actually
17 listed four types of potential; the technical,
18 economic, achievable, and then the naturally occurring
19 DSM, which is what I think you're talking about.

20 And they have agreed on the phone call in
21 agenda back two or three weeks ago that it would not
22 cost any money and that they were going to provide us
23 with a data file that would say, you know, this is the
24 natural occurring DSM that you would have even if you
25 did nothing.

1 So I'm -- I don't know how it would shake
2 out on a program-by-program basis, but I know I've
3 already asked for that data because, you know, in
4 essence, you know, I mean I don't want them, you
5 know -- I don't want to trade a pie for a donut in
6 that -- I mean obviously, you know, that naturally
7 occurring DSM is going to occur anyway and that's the
8 center and it needs -- we need to be able to back that
9 out and then have the rest of the donut to stare at.

10 MS. DIETRICH: And I did follow up that
11 request with an e-mail and they did commit to
12 including that. And I also asked them to provide a
13 definition of naturally occurring so that everybody
14 was on the same page with what they were looking at,
15 how they were defining it.

16 MR. GILZOW: Floyd Gilzow with the
17 Missouri Public Utility Alliance. I would like to
18 commend KEMA on one issue and that is how they're
19 dealing with avoided costs. They recognize the
20 complexity of that issue. Particularly I would assume
21 over time as more and more energy efficiency takes
22 place, the mix of the generation portfolio that will
23 be impacted will be changing and so they're going to
24 be providing multiple scenarios.

25 Having said that, I'm a little surprised

1 that when we begin to deal with inflation rates, that
2 we're simply taking a very narrow band, as I
3 understand it, of inflation rates and plugging it into
4 the model. If any of us, including our good friends
5 with the IOUs, can accurately predict inflation, I'd
6 like to meet with you off-line. I need some help on
7 my investments.

8 The reality is that we are looking at an
9 incredibly uncertain economic future. And as result,
10 inflation rates are going to be -- the range among
11 various economists will be wide and trying to identify
12 a very narrow band in order to make an educated guess
13 may prove extremely difficult and/or inaccurate. And
14 so I do think that that the analysis should look at
15 multiple scenarios for inflation rate.

16 MS. DIETRICH: Thank you.

17 MR. KIND: Ryan Kind with Missouri Public
18 Counsel. We talked a little bit this morning about
19 avoided costs for electric utilities and there's
20 information in the report about that, but there really
21 is not a lot of write-up that I've come across yet
22 that concerns avoided costs for natural gas utilities.

23 And it's, you know -- it's something that
24 perhaps they're going to use some scenarios again
25 probably with the -- you know, the different

1 fluctuations in natural gas forecasts that have
2 occurred over the last few years largely due to, you
3 know, moving into a lot more Shell gas development.
4 There's just -- it's sort of an unpredictable number
5 where those natural gas prices will be in the future.

6 So presumably they're going to rely on
7 some, you know, publicly available forecast like an
8 EIA forecast of natural gas prices over the next
9 20 years, but someone -- someone should track that
10 down and make sure it's reasonable and find out if
11 they intend to use scenarios for natural gas avoided
12 costs in addition to electric avoided costs.

13 MS. DIETRICH: Any comments from the
14 phone on the economic inputs?

15 MR. SOCKS: Yes, this is Matt Socks
16 again. KEMA mentions in their input report they're
17 running a low and a high avoided cost scenario. And I
18 think it would be helpful to get more specifics into
19 what the two scenarios represent. And I haven't
20 actually seen the values yet.

21 MS. DIETRICH: I'm guessing that's going
22 to be in the next deliverable, but I'm not positive.

23 MR. SOCKS: Okay.

24 COMMISSIONER DAVIS: I mean, Natelle,
25 isn't the next deliverable the preliminary report?

1 MS. DIETRICH: The preliminary findings.

2 The --

3 COMMISSIONER DAVIS: I mean, but -- and I
4 guess my concern is that the next report is the
5 preliminary findings. And the range that Matt on the
6 phone is saying is, you know, that's not a finding.
7 That's an assumption that is, you know, going to shape
8 the findings.

9 And so I think it's important -- I mean,
10 I would think it would be important to know that
11 information now than later. And so to say if -- hey,
12 if we don't like this assumption -- I mean when we
13 started this process, I had an assumption that we
14 would use -- it would be based all on Missouri data
15 and that, you know, the sun would shine and everything
16 would be perfect.

17 And, you know, I mean we're really having
18 to make some pretty stretch assumptions about -- I
19 mean basically everything that's -- that the -- the
20 investor-owned utilities have been -- have provided is
21 being extrapolated to the co-ops and most of the
22 municipals with the exception of city utilities,
23 independents and Columbia.

24 And so, you know, I'm just concerned
25 that -- I mean, once again, we're making assumptions

1 on assumptions on assumptions on assumptions. And I
2 don't know what the sensitivity analysis is on any of
3 these things, but obviously the avoided cost of power
4 is a key assumption, the participation rate is a key
5 assumption, inflation rate, you know.

6 And what the -- the base case that we're
7 about to get to next, you know, which I think should
8 be based on current data for the most part, that ought
9 to be readily available here, but I'm just concerned
10 that, you know, here we're going to get, you know,
11 preliminary findings and, you know, once again, I'm
12 going to have to go back and have this same
13 conversation with KEMA about, you know, once we get
14 the findings, I don't know that we're going to be able
15 to say, well, this -- isolate this variable and it
16 does this.

17 And I'm just trying to pick through these
18 things and say what's really relevant here? I'm
19 concerned that they're just getting enough facts,
20 getting their base amount of information that they
21 need to run through their model and going to run it
22 through and it's going to generate some results.

23 But I'm just not sure that those
24 results -- you know, I think there needs to be some
25 sort of confidence interval and that's why I think we

1 need to know what those assumptions are and I think
2 that's why Matt's question is important.

3 MS. DIETRICH: Any other comments on the
4 economic inputs? Okay. We are scheduled to stop for
5 lunch at 11:45. I assume everybody, since we're near
6 the end, wants to keep working?

7 Okay. Baseline inputs, any comments on
8 baseline input? Any comments on the phone on baseline
9 inputs? Commissioner Davis, did you have anything you
10 wanted to say?

11 COMMISSIONER DAVIS: I mean once again, I
12 find the October 27th report, you know, fairly --
13 fairly vague. I mean it's -- you know, it would be
14 nice to -- I mean, silly me, I just thought when the
15 report came in, it was like, you know, these are the
16 assumptions and we'd be able to take a look at that
17 and see is this a valid assumption or not or this is
18 the data. And we could say, Where did you get the
19 data and what is it?

20 And maybe it's there and maybe in the
21 back-up spreadsheets and maybe it's in the work
22 papers, but it doesn't appear to be in the
23 October 27th. I mean, John, have you had time to look
24 at these -- these base year -- I mean assumptions yet
25 or -- okay. Let the record reflect for the court

1 reporter that John -- John Rogers from PSC staff is
2 shaking his head no.

3 And once again, the base is important
4 because if we're going to extrapolate this thing
5 20 years out, you know, the starting point -- I mean
6 if we're -- you know, I realize there's going to be a
7 high, a low and a -- and, you know, the, quote,
8 average starting point, but I think we need to be very
9 clear about what those variables are. And I don't
10 know that anybody knows right now.

11 MS. DIETRICH: Other comments on the
12 baseline inputs? Comments from the phone?

13 MR. GILZOW: I don't want this to become
14 the Floyd and Jeff show. Floyd Gilzow with the
15 Missouri Public Utility Alliance. More a question
16 than a comment. I know that there is great interest
17 in moving ahead with this as quickly as possible, but
18 I wonder if there might be benefit in delaying some of
19 the analysis, particularly on building types,
20 particularly as it relates to residential until the
21 census report comes out.

22 I know that a lot of the cen-- a lot of
23 the data is based on the 2009 census of residential
24 property, residential structure projection by the
25 Census Bureau. And while I have great confidence in

1 the Census Bureau, I also know that sometimes the --
2 their projections, particularly with data that's nine
3 years old, can be -- cannot be as accurate as the --
4 as the counts. So that -- like I said, more of an
5 observation than a question.

6 MS. DIETRICH: Other comments on the
7 baseline data?

8 MR. VOYTAS: This is Rick Voytas with
9 Ameren again. I mean the baseline data we took a look
10 at and really the only thing we could do was compare
11 it to the baseline data that we have from our data
12 using primary market research. And I'll just
13 reiterate some comments I made earlier.

14 In some areas they're very similar, but
15 there's some key differences, especially in the
16 commercial and industrial areas. And, you know, we
17 just don't know how to do that gap analysis. Maybe we
18 classified things differently, maybe we're really
19 closer than we really think we are. We just don't
20 have enough information to know if we really have
21 significant differences or if it's just a
22 classification type of thing.

23 But specifically in the
24 commercial/industrial area we notice some significant
25 differences in terms of end use intensities of various

1 energy efficiency measures.

2 MS. DIETRICH: Can you be more specific
3 or just a general observation?

4 MR. VOYTAS: At this time it's just a
5 general observation, but I could be at -- I could get
6 back with you.

7 MS. DIETRICH: Okay.

8 COMMISSIONER DAVIS: Mr. Voytas, if
9 you're going to get back with Natelle, I would
10 encourage you to do it within the next 24 to 48 hours,
11 preferably 24. Sorry. We don't have much time here.

12 Going back to page 7, the peak demand
13 contributions, this is from the Ameren presentation
14 that we just saw, I mean, you know, we've got the --
15 the KEMA number which, you know, they pulled from a
16 national demand response, you know, study.

17 I mean, I guess, you know, we have -- we
18 should have peak load data for all four of our
19 investor-owned utilities. I mean with regard to the
20 co-ops, I mean, my mental impression is that Citizens
21 Electric Co-op is the only co-op left that has any
22 real industrial demand. Now, somebody may throw a
23 shoe at me and correct me on that, but the Munis I
24 think are -- my impression is they are all over the
25 board.

1 But -- and I would feel like we ought to
2 be able to at least calculate a weighted average
3 for -- for the Missouri investor-owned. You know, I
4 would -- I don't want to assume much, but I would even
5 be willing to make some assumptions about co-op load
6 based on what I know in terms of the fact that there's
7 very little industrial load left on that system, my
8 impression, except for Citizens.

9 And then I have no idea about the Munis,
10 but I'm just -- you know, once again, I'm curious as
11 to why we're -- why KEMA would use a national number
12 for Missouri when it appears that Missouri data was
13 available, or I mean -- conversely, I mean if this is
14 another one of those issues where the data is so
15 disparate that they -- they can't make an apples to
16 apples comparison, I mean, I'm still very concerned.

17 Because obviously when you're saying
18 that, you know, on a national scale we've got
19 65 percent residential load, on Ameren it's only
20 47 percent, you know, I mean, I'd be very afraid to
21 draw some conclusions from this report, you know,
22 because it's talking about the entire state and then
23 trying to make every utility group in the state fit
24 into that so --

25 MS. DIETRICH: And, Brent, at the risk of

1 putting you on the spot, was the load data in the
2 information that I provided to KEMA?

3 MR. STEWART: The -- what we provided
4 you -- and this is where once again co-ops are
5 different than everybody else -- what we provided you
6 was a breakdown from all of our co-ops, all of our
7 distribution co-ops distinguished between residential
8 and then the other class, which is
9 commercial/industrial. We don't break them out on --
10 most of them don't break it out.

11 Now, that was probably a year old
12 information, but I think generally speaking,
13 Commissioner Davis is correct. We have very, very
14 little in what I would call industrial load, but you
15 may at least be able to glean by looking at that
16 commercial/industrial information that we gave you, it
17 should give you some indication -- a ballpark
18 indication of what -- the distinction there.

19 And I would say that's probably true,
20 Citizens is probably the -- the only one I can think
21 of right now who has any significant industrial.
22 There may be some -- up in the northern part of the
23 state, there may be some large agricultural
24 operations, Premium Standard Farms or something like
25 that, but that would be reflected I think

1 percentage-wise if you'll look at the residential
2 versus commercial/industrial.

3 MS. DIETRICH: Thank you.

4 MR. VOYTAS: This is Rick Voytas. I
5 apologize for this. I agree with everything that's
6 been said. There's some discrepancies in the KW
7 contributions of the various classes, but this is not
8 a demand response study. This is strictly focused on
9 energy efficiency and I can't -- I don't know how much
10 emphasis to put on this point. I don't know if it's a
11 big deal or a little deal.

12 I don't know if KEMA's model has a KWH to
13 KWH relationship that they use to normalize things. I
14 just don't have enough information to know if this is
15 really a big deal. My first thought was this isn't
16 such a big deal, but I tend to think they wouldn't
17 have put it in the report if it wasn't, but I don't
18 know what to make of it.

19 MR. KIND: Ryan Kind with Public Counsel.
20 Back to this peak demand issue. I think there could
21 be a misunderstanding of what the FERC data consisted
22 of that was relied upon. It's my understanding and --
23 and they've relied upon the FERC demand response study
24 and taken data from that study to represent the
25 relative shares of peak demand for the different

1 classes in Missouri.

2 And I -- I think -- I got the impression
3 that Commissioner Davis thought that they were using
4 national data, a national breakdown of peak demand
5 into the different customer classes, but I believe
6 actually the FERC demand response study, it is a
7 state-by-state study and it includes state-by-state
8 breakdowns of the relative shares of peak demand by
9 customer class.

10 And I don't know. Perhaps Ameren could
11 comment on that since they had, you know, referenced
12 that and they were comparing the data used by KEMA in
13 their study with Ameren's data on its own service
14 territory. If -- you know, if Ameren has the
15 impression that I'm wrong in saying that KEMA's
16 relying on a Missouri-specific estimate from the FERC
17 demand response study, you know, let me know. I could
18 be wrong, but I -- that's my -- my recollection of
19 what it is.

20 MS. DIETRICH: Ameren, did you have any
21 response or do you know?

22 MR. VOYTAS: I know the -- the FERC
23 national study was also done on a state-by-state
24 basis, but I don't know exactly what KEMA did or why
25 they did it. I don't know that so --

1 MS. DIETRICH: And I actually have a copy
2 of an appendix here which does have some Missouri
3 information in it, but again, I don't know the extent
4 to how they incorporated it into what they did, so --
5 any other comments on the baseline inputs?

6 MR. GELLER: Just one quick question.

7 MS. DIETRICH: Your name.

8 MR. GELLER: Sorry, Greg Geller from
9 EnerNOC. You just mentioned that this is just an
10 energy efficiency study and my understanding was that
11 it was a demand side management potential study and
12 that included demand response. So I just wanted to be
13 clear on that.

14 MS. DIETRICH: That's correct.

15 MR. GELLER: It is -- it does include
16 demand response as well?

17 MS. DIETRICH: Yes. Yes.

18 Any other comments or questions?
19 Commissioner Davis, did you have any closing remarks?

20 COMMISSIONER DAVIS: I want to thank
21 everyone for coming today. I think your input and
22 your questions will be helpful. I am hopeful and
23 optimistic that we will be able to use some of the
24 questions today to have a dialogue with KEMA that will
25 help us develop a better work product.

1 I'm assuming that staff will make a
2 recommendation to the Commission here early this
3 afternoon and then from there, the Commission will
4 probably circulate something by delegation and at some
5 point we'll be approaching our colleagues with DNR if
6 we do have some suggestions about potentially altering
7 the timetable by one or two weeks.

8 And I would point out that if we go back
9 to the original August 4th PowerPoint, that would put
10 us roughly on schedule with the August 4th PowerPoint
11 time line that was originally -- before it was altered
12 to -- to move up two or three weeks.

13 So also, I am -- Natelle and I are going
14 to be having a telephone call with KEMA tomorrow where
15 they're going to review the DSM assist model with me
16 and kind of walk me through that and explain that to
17 me in much greater detail. So if you have questions
18 that you would like for me to consider asking about
19 the DSM assist model, then I would encourage you to
20 submit them to Natelle who will then get them to me.

21 So anyway -- and once again, I don't know
22 if anybody else has any closing comments, but I want
23 to thank everyone for their participation,
24 particularly EnerNOC for coming a long way today. We
25 appreciate that. And, you know, hopefully this will

1 help us develop a better work product. Thank you.

2 MS. DIETRICH: And I also would like to
3 thank everybody for your comments today. We will take
4 them into consideration and depending on what happens
5 with the schedule, proceed accordingly. If you have
6 anything that you think of between now and this time
7 tomorrow and you want to send me an e-mail, that's
8 great and I'll share it with the appropriate people.
9 So once again, thank you all for coming.

10 (Meeting adjourned.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

I, Tracy Thorpe Taylor, CCR No. 939, within the State of Missouri, do hereby certify that the testimony appearing in the foregoing matter was duly sworn by me; that the testimony of said witnesses was taken by me to the best of my ability and thereafter reduced to typewriting under my direction; that I am neither counsel for, related to, nor employed by any of the parties to the action in which this matter was taken, and further, that I am not a relative or employee of any attorney or counsel employed by the parties thereto, nor financially or otherwise interested in the outcome of the action.

Tracy Thorpe Taylor, CCR