

1 Q. And why wouldn't that extend the life span  
2 beyond the 45 years?

3 A. Well, at the present time, based on a 45-year  
4 life span, the projected retirement date would be 2015,  
5 which is some 12 years down -- down the way.

6 Over 12 years, \$10 million is a relatively  
7 modest investment compared to, say, the -- I believe it's  
8 18 million -- the \$18 million investment in 1990 for  
9 pollution control, when the plant had a total investment  
10 of only 27 million.

11 And there was also -- in connection with the  
12 addition of Unit 2, a fairly substantial capital addition  
13 in 19-- that would be something else. That would be  
14 another environmental project.

15 Q. So are you saying your criteria is a percentage  
16 of the capital investment in the plant?

17 A. The criteria is the economics of the plant and  
18 how -- whether or not the existing life span can  
19 accommodate a major capital addition.

20 Had the plant been 40 years, with a ten-year --  
21 or \$10 million capital required for cyclone, then we would  
22 probably consider whether or not that, plus other  
23 anticipated capital improvements, would necessitate the  
24 increase of the life span in order to accommodate those  
25 conditions economically.

1 MR. WILLIAMS: No further questions at this  
2 time.  
3 JUDGE RUTH: Thank you.  
4 Chair Lumpe, do you have questions?  
5 CHAIR LUMPE: Yes.  
6 QUESTIONS BY CHAIR LUMPE:  
7 Q. Mr. Loos, in listening to the statements, the  
8 opening statements -- and I think I gathered this -- that  
9 this item, this depreciation item is a \$10 million item.  
10 Is that correct?  
11 A. I believe I calculated it at 9, but it's 9 to  
12 10.  
13 Q. Okay. All right.  
14 Well, I was looking at -- the net salvage  
15 appeared to be about 1.5 million, and then somewhere I got  
16 the 9, I guess, in listening to -- maybe I just deducted  
17 that or something.  
18 But you're saying -- is that all together, this  
19 depreciation item, net salvage, et cetera, comes to a  
20 9-million item?  
21 A. Yes.  
22 Q. Okay.  
23 A. I believe in my rebuttal testimony I attempt  
24 to --  
25 Q. Come up with --

1       A.       -- put together a reconciliation of the  
2 components, yes.

3       Q.       Okay. I think that may be where I got the 9,  
4 and then I was trying to figure out how you got -- okay.

5               Let me ask you -- and this is an issue that  
6 we've been struggling with now in the last several cases.

7               Why would we not want to use actual and current  
8 versus estimates?

9       A.       There is several reasons, but I think perhaps  
10 the most compelling is that cost removal and salvage  
11 represents a cost element attributable to an existing  
12 plant.

13              For example, the cost of the Asbury plant  
14 includes a salvage -- that might be realized, plus any  
15 cost of removal or retirement cost that might be incurred.

16              If we look at only the actual amount and  
17 expense the actual amount, then the existing ratepayers,  
18 the ratepayers that are using and benefit from the Asbury  
19 plant, do not pay those costs that will be incurred.

20              Now, I certainly recognize that there is some  
21 difficulty in projecting what kind of costs those might  
22 be, but I believe we put together reasonable estimates.

23              So that the ratepayers that benefit from the  
24 plant pay all of the costs to the plant. We don't shift  
25 those costs to future generations of ratepayers.

1 Q. How do the current customers not pay it when  
2 it's expensed?

3 A. Well, the -- the demolition, retirement of the  
4 Asbury plant, will amount to a considerable amount of  
5 money from the standpoint of tearing down the boiler,  
6 removing the pumps, tearing down the pipes, removing the  
7 structure and putting the site back to greenfield  
8 condition.

9 Those costs are, in my opinion, every bit as  
10 related to the original cost, when the plant was  
11 originally installed, as that original cost.

12 And if we expense it, none of those costs -- if  
13 we look at only actual, none of those costs that will come  
14 about when the plant is finally retired are reflected or  
15 recovered from existing ratepayers.

16 Q. So the expense issue is that only those things  
17 that are actually being used up, as it were, that would  
18 only be the expense that the current ratepayers would be  
19 paying for, and then somewhere down the line the  
20 additional amount that is there would be paid for in the  
21 future. Is that what you're saying?

22 A. Yes. That's my understanding of Staff's  
23 proposal.

24 Q. Okay. Is there a way of -- let's see.  
25 Traditionally -- and we hear a lot of this; traditionally,

1 this is the way it's been done and times have changed.

2           Traditionally, was it thought that there would  
3 be negative net salvage, or was there the assumption that  
4 it would be positive?

5           A.       Well, since I have been familiar with  
6 depreciation for the past 30 years, I've always considered  
7 it was going to be negative, that the cost of removal  
8 would exceed any salvage.

9           Perhaps back in the earlier days when equipment  
10 was smaller, then that relationship would have been  
11 reversed. But from personal experience, I've not been  
12 exposed to it.

13          Q.       Would the '70s and '80s take it back to the  
14 30 years, then, that you're talking about?

15                If traditionally it was thought to be positive  
16 in the, say, '70s, that would put it before your  
17 addressing it as positive. Is that correct?

18          A.       I predate -- predate the '80s. I've been doing  
19 this throughout most of the '70s.

20          Q.       Okay. Let me see.

21                The question -- or what we're also sometimes  
22 told is that those estimates tend to create a pool of  
23 money that can be used, then, by the Company to do  
24 whatever it wishes to with.

25                Should -- should there be an updating on those

1 estimates every so often and a refund given?

2 A. Well, I think there are several aspects to your  
3 to your question.

4 And if I might, first of all, we -- through  
5 depreciation we generate dollars, and certainly the  
6 dollars that are generated -- the cash is that is  
7 generated is used by the Company for other -- for other  
8 purposes.

9 But once it's expensed, in my view, it tends to  
10 lose its identity. The Company is using those funds, and  
11 every five years at least, based on Commission's  
12 requirements, we look at what actually happened with  
13 salvage, make some kind of determination of what we  
14 anticipate its going to be into the future, and adjust  
15 those estimates.

16 We look at the reserve deficiency or reserve  
17 surplus to take those into consideration.

18 I think the other thing that you should be  
19 aware of is that with regard to a refund, is that once  
20 it's booked into depreciation, the customers, in effect,  
21 earn a return on that, because it increases the  
22 depreciation reserve, which based on Missouri regulations,  
23 we deduct did from original plant.

24 And if I am -- have a higher rate as a result  
25 of including a salvage allowance, then that builds my

1 reserve faster, in which case my rate base goes down, and  
2 the customers are, in fact, compensated, until the Company  
3 spends that money for the retirement as a result of the  
4 treatment through the rate base.

5 Q. Okay. Did I hear you correctly, that -- let me  
6 just give an assumption here.

7 If you said a plant had a 35-year life span --  
8 okay -- and it goes beyond that; in other words, 45 years  
9 later they're still using it, does the depreciation stop  
10 or should it stop at that 35-year assumption, or should  
11 they continue to depreciate and add net salvage,  
12 et cetera?

13 Doesn't that just create another pool?

14 A. It potentially could create a problem where  
15 that -- the reserve exceeds the plant. But as we -- we go  
16 through time -- and assume that we didn't, weren't  
17 required to put any money into these -- into these plants,  
18 I start off with a 35-year life span.

19 20th, 25th year at the latest I would be  
20 reviewing that to see if, perhaps, that should be extended  
21 based on the performance of the plant and what the  
22 outlooks of the plants are to 40 to 45 years.

23 We would adjust the rate. We'd take into  
24 consideration what would happen on the reserve to go  
25 forward.

1 Q. Okay. So that looking at it every five years  
2 gives the opportunity to adjust what you said or what one  
3 said the life span originally might be, and if it's  
4 continuing, then you could adjust the depreciation  
5 downward, I guess, or make it less or -- and adjust net  
6 salvage also?

7 A. Yes.

8 And the hypothetical we put together is less,  
9 but as a result of -- and speaking of life span property  
10 generation, as a result of historical additions, the  
11 actual dollars that are installed in the plant on  
12 relatively major capital additions, such as this  
13 \$10 million, typically find that the rates go up as  
14 opposed to down, because of the influence of those  
15 additions.

16 Q. All right. Now, let me ask you this: I think  
17 you made some comment that a gas company plant might be  
18 different from an electricity company plant, I think it  
19 was in your testimony, because an electricity company  
20 plant is mostly aboveground, poles and wires and plant, as  
21 opposed to underground, much of the distribution of gas  
22 company is underground.

23 A. Yes, I did.

24 Q. So that one might treat one differently, the  
25 electric different than gas, potentially?



1           A.       Yes. I believe that there is very definite  
2 differences and considerations there. Because the current  
3 practice of most gas utilities is to ultimately abandon  
4 those underground facilities in place.

5           Q.       One last question.

6                    On page 2 it is, of your surrebuttal, on  
7 line 16 I think you're commenting on definitions there of  
8 what -- depreciation, et cetera.

9                    What do you mean by the phrase you use there on  
10 line 16 in quotes?

11          A.       Mr. Adam has characterized my testimony that  
12 I've attempted to modify the definition. And I believe  
13 that Mr. Adam's treatment constitutes a modification of at  
14 least the traditional treatment of depreciation.

15                   CHAIR LUMPE: Okay. Thank you. That's all I  
16 have.

17                   JUDGE RUTH: Thank you.

18                   Commissioner Murray.

19                   COMMISSIONER MURRAY: Thank you.

20 QUESTIONS BY COMMISSIONER MURRAY:

21          Q.       Good morning, Mr. Loos.

22          A.       Good morning.

23          Q.       In your rebuttal testimony on page 35,  
24 beginning at line 7, you indicate that your overriding  
25 concern with Mr. Adam's proposals is that -- well,

1 basically I'm paraphrasing -- that it's a radical  
2 departure from past precedence and leaves the Commission  
3 with little leeway to choose something in between the  
4 Staff and the Company.

5 Is that a correct characterization?

6 A. Yes, it is.

7 Q. In the past Empire has -- the depreciation for  
8 Empire has been treated under the traditional method. Is  
9 that correct?

10 A. Yes, it is.

11 Q. So that plant that has been in service for a  
12 number of years has been treated with net salvage being  
13 included in the depreciation?

14 A. That is correct, yes.

15 Q. So that ratepayers who were using the plant  
16 were also paying -- helping to pay for the retirement of  
17 that plant that was being used to serve those?

18 A. That was our intent, yes, it was.

19 Q. So if the Staff's proposal were adopted here  
20 and we changed this treatment to omit net salvage and  
21 expensed depreciation -- or expensed retirement as they  
22 occurred, then the plant that is currently being used, the  
23 ratepayers that are serviced by that plant would no longer  
24 be paying anything to retire that particular plant. Is  
25 that correct?

1       A.       Yes. The allowance that they would pay, the  
2 amount that they expensed, would relate to plant that they  
3 no longer use.

4       Q.       And that would relate to plant that has been  
5 used in the past; whereas, the plant that is currently  
6 being used will be retired at some time in the future?

7       A.       Yes.

8       Q.       And in the future when the plant that is  
9 currently being used is retired, logic would indicate that  
10 it will be more expensive to retire that plant in the  
11 future than it is today to retire plant currently. Is  
12 that correct?

13      A.       If we continue the way that we have in the  
14 past, yes.

15      Q.       So your concern, primarily, is matching the  
16 cost causer to the ratepayer that pays for the costs. Is  
17 that correct?

18      A.       Yes.

19      Q.       And you indicate that because we require  
20 utilities to submit depreciation rate studies at least  
21 every five years, that any adjustments that need to be  
22 made are recognized and those adjustments are made in a  
23 timely fashion. Is that correct?

24      A.       I'd say that more accurately provides a forum  
25 or a window where it would be addressed, much like the

1 reports that we've prepared, that would then be available  
2 to be issues in rate cases.

3 Q. And I believe your testimony referenced  
4 Mr. Adam's quoting from NARUC principles, but I think you  
5 indicated that while he quoted from them, he didn't  
6 properly apply the NARUC treatment of depreciation.

7 Is that a -- I'm actually referring to your  
8 testimony in your rebuttal, pages 15 and 16.

9 A. Could I have your question again? I see --

10 Q. Okay. Mr. Adam's references to NARUC, do you  
11 take issue with how he applies those references?

12 A. Well, at this point my concern is -- is that he  
13 focuses on these quotes and then he points out -- or makes  
14 a statement that when the property is sold, the  
15 responsibility for removal or retirement becomes the  
16 purchaser's responsibility.

17 And my point here is that in connection with  
18 valuation work, when we value, for example, a power plant  
19 for sale, one of the considerations is -- and a discount  
20 in the price that we offer is based on our anticipated  
21 cost of removing that plant when the time comes.

22 So while NARUC identifies these various  
23 elements, my concern is with respect to property sold, any  
24 amount that is included that has been recovered from the  
25 standpoint of depreciation rates is also a factor that is

1 considered by the purchaser and, to some degree, the  
2 seller in connection with the purchase price that is  
3 offered.

4 Q. Okay. So it's not something that has been  
5 collected and is never used?

6 A. Right.

7 And, again, if you sell a piece of property,  
8 then ultimately the Commission makes a determination as to  
9 whether -- on various factors with respect to the sale.

10 So the Commission does have an opportunity to  
11 review at that time the various factors surrounding a  
12 particular transaction, which could include consideration  
13 of historical allowances for cost of removal.

14 COMMISSIONER MURRAY: Thank you. I believe  
15 that's all I have.

16 JUDGE RUTH: Commissioner Simmons.

17 COMMISSIONER SIMMONS: Thank you, Judge.

18 QUESTIONS BY COMMISSIONER SIMMONS:

19 Q. Good morning, sir.

20 A. Good morning.

21 Q. Could you give me the pronunciation of your  
22 last name?

23 A. Loos.

24 Q. Mr. Loos. Thank you.

25 Mr. Loos, I have some questions, and some of

1 the questions about depreciation will stem from some of  
2 the questions you received from the commissioners earlier,  
3 particularly Chair Lumpe and also Commissioner Murray, and  
4 I'll just kind of start with that.

5 To piggyback off of what Commissioner Murray  
6 was just saying, when you look at the NARUC definition of  
7 depreciation, in your testimony you talk about the FERC  
8 Uniform System of Accounts as a definition of a  
9 depreciation.

10 Are there two different definitions of  
11 depreciation, and if so, how different are they?

12 A. To my knowledge there are not -- I've looked at  
13 both the Uniform System of Accounts and the NARUC chart of  
14 accounts, and I really haven't identified -- or I don't  
15 recall any differences.

16 Q. Okay.

17 A. If they're not different, they're very similar  
18 at least. And I believe the definition that NARUC has got  
19 is, if not identical, is very close to the same as the  
20 Uniform System of Accounts.

21 Q. Very close.

22 When the statement is made that in depreciation  
23 accounting, as far as NARUC is concerned, that the goal is  
24 recognizing costs, not providing funds for replacement of  
25 the asset, how do you characterize that statement?

1                   Is that off centered, is that right on or is  
2   that --

3           A.       Um, I believe -- I believe that that statement  
4   can be at least gotten from page 15. And that's from a  
5   publication other than the chart of accounts that I  
6   referred to in the prior question.

7                   Perhaps I was off in my response to the prior  
8   question.

9                   But from my view they're on target. We're not  
10   looking for depreciation in order to specifically generate  
11   cash. We are looking for depreciation as an allocation of  
12   an investment over its life among different generations of  
13   ratepayers.

14          Q.       Okay. Now I'm going to go into another line of  
15   questioning, and I'd like to get your comments on these  
16   questions.

17                   In your opinion what should be done with the  
18   cost of removal funds that are collected in excess of the  
19   actual removal?

20          A.       Those funds will be -- if we were able to  
21   identify the dollars, those funds would be returned to  
22   customers in the future as a result of future studies,  
23   where we relook the collections depreciation and adjust  
24   the reserve to accommodate what has been collected.

25          Q.       I guess I'm -- from our perspective and from

1 the perspective of the customers, can we be certain that  
2 when you have pre-collection of costs of removal, that it  
3 will offer any type of assurance that the Company will  
4 have those funds available to proceed with removal if the  
5 plant is retired?

6 A. Other than the continued obligation of the  
7 Company to meet its obligations, no.

8 Q. And probably lastly, how will there be any  
9 certainty that a Company that pre-collects cost of removal  
10 will be there if there is a new owner -- yeah, if there is  
11 a new owner?

12 A. Well, perhaps I can interject two points here.

13 First of all, if a property is sold before its  
14 useful life is extended, generally, the liability for  
15 removal is extended to the new owner.

16 I think that the example that perhaps you're  
17 most familiar with is these foreign manufactured gas  
18 sites, where there has been extensive costs required in  
19 the cleanup.

20 In that particular instance, rightly or  
21 wrongly, EPA, or whatever organization it is, has come  
22 back to the existing gas utility and required that to be  
23 cleaned up, even though title to that property passed from  
24 a gas utility some time ago.

25 And there would be a potential there with



1    respect to, perhaps, some of the material that's stored or  
2    placed in the ashbeds and the other -- the facilities at  
3    coal-fired plants.

4                   COMMISSIONER SIMMONS:  Thank you, sir.

5                   That's all of the questions I have at this  
6    moment.

7                   JUDGE RUTH:  Commissioner Gaw.

8                   COMMISSIONER GAW:  Thank you.

9    QUESTIONS BY COMMISSIONER GAW:

10           Q.       Mr. Loos, I wanted to first of all ask about  
11    the issues concerning retirement dates that are referred  
12    to in your testimony.

13                   There seems to -- I'm a little confused about  
14    your testimony earlier on cross, about the way you arrived  
15    at the dates that you have arrived at in your direct and  
16    in your rebuttal.

17                   You used a phrase regarding the Riverton plant,  
18    that that was based upon actual information from the  
19    Company for purposes of depreciation, if I understood you  
20    correctly.

21                   My question, first of all, is when you use that  
22    phrase for purposes of depreciation, was that a qualified  
23    answer in regard to your information from the Company?

24           A.       Yes and no.

25                   When we went with the 2008 date several years

1 ago, there was some kind of plan that indicated that that  
2 was the appropriate date.

3 In my discussions in firming that, while the  
4 Company has not specifically said on June 1st, 2008 we're  
5 going to take the plant out of service based on current  
6 anticipated environmental legislation, anticipated what  
7 may happen in the plant, our best estimate at the present  
8 time is that most likely that will be taken out of service  
9 on perhaps the 2006 to 2010 time frame.

10 And it may be that single units will be taken  
11 out of service and not all three units at the same time.

12 It's -- it's not -- it's not an exact science.

13 As I indicated in my -- I believe it's  
14 surrebuttal testimony, the Riverton units are a major  
15 outage away from retirement.

16 Now, if there is something that significant  
17 happens there, most likely it would not be economical to  
18 replace that component, and, hence, the plant would be  
19 retired, that unit would be retired.

20 Q. So in regard to the units -- I guess that would  
21 be 7 and 8 and 9 at the Riverton plant, your information  
22 from the Company is that they intend to retire all three  
23 in the range of between 2006 to 2010?

24 A. They anticipate that they will have to retire.  
25 It falls a little bit short of intending, but they

1 anticipate that they will require --

2 Q. Is that based upon current law or anticipated  
3 legislation?

4 A. A little bit of both.

5 Q. All right.

6 So at the present time those are estimates  
7 based upon their anticipation of passage of additional  
8 legislation regarding clean air, in addition to the  
9 current status of the plant and the current status of the  
10 law.

11 Anything else?

12 A. Well, it would be -- it would be more  
13 regulations than law. It depends on how the existing  
14 regulations are implemented.

15 Q. If the regulations stayed the same as they --  
16 as they are today, does that change the estimates in  
17 regard to the retirement of those three units?

18 A. The -- a lot of it depends on what happens to  
19 the new source requirements.

20 If the conclusion is a result of actions with  
21 EPA on new source, come to play based on EPA's position,  
22 then there is no way that they could economically justify  
23 the new source requirements on those plants.

24 Under existing regulations I understand that  
25 there are potential NOX limitations that would have to be

1 addressed, putting SCRs, selective catalytic reduction,  
2 devices on that, costs probably in order of \$20 million.

3 It would be very difficult to justify in light  
4 of the age and condition of the other components of the  
5 plant.

6 It's a very dynamic situation with respect to  
7 regulations on the one hand, court rulings, perhaps, and  
8 the condition and what you may have to do with the  
9 equipment over the next eight years.

10 Q. If we base this upon current law and current  
11 condition of those units, is that 2000 -- would your 2008  
12 projected retirement date remain the same?

13 A. Yes.

14 Q. Exclusive of anything that might change on  
15 regulation?

16 A. Yes. And it may -- I doubt the regulations is  
17 going to relax, but as I said, one major outage away from  
18 retirement.

19 Q. And two of those units are coal fueled?

20 A. I believe all -- I believe all three of them  
21 are. One is -- serves in kind of a co-generation  
22 arrangement with one of the turbines.

23 Q. All right. The information I have in front of  
24 me on Schedule LWL-1, 4 through -- 4-4 shows nine as being  
25 gas oil. Is that incorrect?

1           A.       No. That is correct. I'm sorry. It is  
2 correct. It is a CT and it's dual fuel.

3           Q.       Okay. In regard to the other units that are --  
4 that are in front of us, those estimates of retirement are  
5 based upon your models rather than information from the  
6 Company.

7                   Did I understand that correctly?

8           A.       It's based on my experience with respect to  
9 reasonable life span and the additions that are required  
10 to maintain plants and to keep them in service.

11                   As I indicated, 45 years for Asbury. We will  
12 relook that, especially in light of the \$10 million that  
13 is going in out there on the next -- in the next case.

14                   And perhaps --

15          Q.       I'm sorry.

16          A.       Perhaps, then, we'll extend it to 50 years.

17          Q.       All right. But the information in regard in  
18 your estimates on the remainder of the plants are not  
19 based upon information from the Company that they intend  
20 to retire them on those dates. Would that be correct?

21          A.       Yes, it is.

22          Q.       Turning to the net salvage issue, it's my  
23 understanding that the question of net salvage as it  
24 applies to units being retired may vary from entity to  
25 entity, from type of utility to type of utility.

1           When we're talking about electric, the plants,  
2   in your experience, upon retirement, generally what  
3   becomes of them as far as the Company is concerned?

4       A.     Let me -- let me answer your question; then I  
5   want to back up just a minute.

6           Typically with respect to generating units,  
7   upon retirement they stay in place -- the equipment stays  
8   in place for some time. It's been retired on the books,  
9   but it still stays in place, recognize that some time it's  
10  going to be torn down.

11          For example, at the Riverton plant I understand  
12  that Unit 6 is still in place in there. It's not  
13  operational, but it has been retired. But it -- it's too  
14  expensive to go in and try to extract Unit 6 out of the  
15  balance of the plant.

16          It's better to leave it there, so that when  
17  the other units are retired, then it can be taken down  
18  en masse.

19          With respect -- the other aspect is -- in your  
20  question you identified plants, and then you compared it  
21  with gas, for example, utilities.

22          The type of gas plant, the type of gas  
23  facilities that I'm referring to with respect to the  
24  difference between gas and electric is equivalent to the  
25  poles and conductor of electric, not to power plants.

1 Q. All right. That's helpful.

2 Let's stick with the power plant for now.

3 Does that vary according to the type of plant  
4 that we're discussing as to what becomes of them, whether  
5 or not they are torn down or sold without -- without being  
6 torn down and salvage said?

7 A. When we speak of retiring, we speak of a plant  
8 that is not sellable for operation. It can be sold for  
9 salvage.

10 An operating plant, of course, could be sold.  
11 And it does vary depending on what the type is. And  
12 certainly the salvage is a function of the type of  
13 equipment, and its size.

14 So it's -- and we've attempted to recognize  
15 that in our salvage allowances between different types of  
16 technologies and to some degree to the specific plants.

17 Q. Be more specific for me. Tell me what normally  
18 becomes of a coal plant as opposed to a different type of  
19 fuel plant, if there is a difference, as far as the normal  
20 procedure is concerned on what would become of that asset?

21 A. Typically, at least in the long run, it's going  
22 to be torn down and it's going to be converted into a  
23 greenfield site, or it's going to be sold for the purpose  
24 of building another power plant.

25 It may be sold, still dirty -- I say dirty from

1 the standpoint that perhaps some of the equipment is still  
2 there, but it may very well be that the owner would have  
3 to pay somebody to take it off of his hands. The new  
4 owner would then clean it up and use it for something  
5 else.

6 Q. Now, when we're talking about what we're  
7 selling here, what are we talking about selling?

8 Are we talking about selling the equipment  
9 itself? Are we talking about selling the real estate with  
10 the equipment on the real estate? Can you explain that to  
11 me, please?

12 A. It can be done different ways. Generally  
13 speaking, what I'm speaking of is disposal of all of the  
14 assets, which would include the land and the equipment.

15 Q. All right. So would you say that that would be  
16 more typical than not in regard to the dispensing of a  
17 power plant after retirement?

18 A. I can't -- I can't really conclude one way or  
19 the other what would be the most typical.

20 Q. But it is -- but that is a typical way?

21 A. Right.

22 Q. So let's assume that one of these -- one of  
23 these plants -- I assume we could talk about Riverton,  
24 were retired, all of the units retired, and the real  
25 estate sold to some third party.



1           A.       Yes.

2           Q.       Upon that sale what kind of -- how would you  
3   adjust the calculation to take into account what had been  
4   done on the books on net salvage to what had actually  
5   occurred upon that sale?

6           A.       Well, the recording of the sale, based on my  
7   understanding of regulatory accounting, is if we sell an  
8   asset, we reduce the plant and service by its original  
9   cost.

10                   We reverse the depreciation that is accrued to  
11   it, and the difference between that net value and what is  
12   actually the purchase price is then included in a separate  
13   account. I'm at a blank as to what -- what that account  
14   is.

15                   At which my understanding is that if Empire  
16   sells an asset, that that sale then comes to the  
17   Commission for the determination of precisely what the  
18   gain on that sale might -- might be, whether it's shared  
19   with ratepayers or whether it stays with the stockholders.

20           Q.       All right. So if we started out with -- at  
21   some point in time the Company acquired this real  
22   estate --

23           A.       Right.

24           Q.       -- without any improvements on it, I would  
25   assume, that relate to power plant?

1       A.       I'll accept that -- that as an assumption.

2       Q.       Take that as an assumption in this scenario --

3       A.       Asbury certainly.

4       Q.       All right. Then they added power plant

5 facilities and incurred a cost for doing so?

6       A.       Yes, as well as extensive earth work.

7       Q.       So with that -- with a value and actual expense

8 for incurring the dirt work and building the plant, the

9 facilities, and that was added to the books -- and that is

10 the first amount we're talking about is starting out with

11 an appreciation -- excuse me -- with a value to

12 depreciate.

13       A.       Yes.

14       Q.       Would that be acknowledge?

15               And then we're adding to that based upon the

16 company's position, and to some extent past treatment, a

17 net salvage value, which we are in all of these cases

18 assuming will be negative because the cost of removal will

19 be assuming -- will assume to exceed the value of the

20 salvaged assets?

21       A.       We did -- we assumed a positive salvage on

22 State Line to be conservative. But with the -- with that

23 exception they're all negative.

24       Q.       Thank you for clarifying that. That's helpful,

25 actually.

1                   So with a negative salvage value we are  
2   developing a model that anticipates the Company actually  
3   removing that facility and the cost of the actual removal,  
4   and that becoming a negative number because of the fact  
5   that the value of those items salvaged if you just took  
6   them out and sold them would be less than what it cost to  
7   take them out?

8           A.       Yes.

9           Q.       But, in fact, in some cases those things are  
10   never removed from the Company. Is that correct?

11          A.       I don't believe -- I don't believe that's the  
12   case with respect to the aboveground equipment.

13          Q.       But I thought we just talked about the fact  
14   that in some cases that real estate with those assets are  
15   sold without the Company ever removing them?

16          A.       Oh, yes.

17          Q.       And I know that can also be the case, that  
18   those assets may never be removed, but that's not what I'm  
19   asking you.

20                   Never removed by the Company?

21          A.       Right.

22          Q.       Now, the depreciation net was done, was done  
23   based upon the value of the physical plant that was added  
24   to the real estate. Correct?

25          A.       Yes.

1 Q. That's an actual amount that was expended  
2 upfront; maybe it was through money borrowed but it was  
3 expended upfront?

4 A. Yes.

5 Q. And so when we're depreciating it out, that's  
6 money that was expended on behalf of the ratepayers to put  
7 that plant in service. Correct?

8 A. Yes.

9 Q. All right. When we get to the issue, then, of  
10 the real estate that this physical plant sits on, the real  
11 estate is never depreciated because the real estate by  
12 definition is not property that you're adding -- that you  
13 added value to, I assume, by purchasing the equipment and  
14 things to do that. The real estate does not get  
15 depreciated --

16 A. The improvements --

17 Q. -- on your books?

18 A. The improvements to the real estate wouldn't.

19 Q. But not the real estate itself?

20 A. For example, the earth work.

21 Q. Yes. That could be depreciated?

22 A. Right.

23 Q. It's not expensed; it's depreciated generally?

24 A. I believe it's always depreciated. I can't  
25 remember an example where it's not.

1 Q. I'm just for my own purposes trying to make  
2 sure I'm following you.

3 Now, the real estate itself, many cases --  
4 would you say over the last 30 years real estate has gone  
5 down or up in value?

6 A. The farm real estate, for example, what is  
7 Asbury, it's very difficult to say in a 30-year horizon.  
8 It goes up; it goes down.

9 Generally I think that the conventional thought  
10 was it's gone up.

11 Q. I would think generally the conventional  
12 thought would be that too.

13 Does that appreciation show up in the rate base  
14 calculation in the -- in this information that's in front  
15 of us?

16 A. No, it does not.

17 Q. So the ratepayer who may be dealing with the  
18 total value of assets that may later be sold never gets  
19 the benefit of any appreciation on the actual real estate  
20 appreciation. Is that correct?

21 A. That's correct. Until -- until -- if there is  
22 a gain on the transaction or a loss on a transaction.  
23 That should come to the Commission.

24 Q. And if the end result is that that asset with  
25 this depreciated plant, and, additionally, depreciated net

1 negative salvage is sold with the appreciated real estate,  
2 then that ratepayer never got the benefit of that  
3 appreciation even though -- and based upon this  
4 intergenerational problem that you cited before, they're  
5 caught without any -- without ever having gotten the  
6 benefit of the good that came along with the bad of having  
7 to pay for that removal of the asset that never was  
8 removed by the Company. Is that correct?

9 A. Under your example that's true, yes.

10 Q. So is it really possible to say that we know  
11 today or can even estimate today the cost that the Company  
12 will incur for removing an asset if, in reality, many  
13 times these -- these items, these pieces of real estate,  
14 with the physical plant there are sold to a third party  
15 even though the ratepayers have paid for their removal?

16 A. The -- it is an estimate -- cost removal is an  
17 estimate, and the balance of what has not been depreciated  
18 or what has been depreciated comes across in gain on the  
19 sale.

20 Q. And that gain on sale is really treated more  
21 like the opposite of a deposit of an expense, isn't it?

22 A. It's -- I -- I believe it's -- I believe it's  
23 treated as a revenue.

24 Q. At the time it's received?

25 A. Right.

1 COMMISSIONER GAW: Thank you.

2 JUDGE RUTH: Okay.

3 CHAIR LUMPE: I have two quick questions,  
4 Mr. Loos.

5 FURTHER QUESTIONS BY CHAIR LUMPE:

6 Q. One -- and they're both follow-ups.

7 One, you talked about a unit in a plant that is  
8 not being used, so it's left there until the full plant  
9 might be salvaged or whatever.

10 If it's left there and if it's already been  
11 depreciated, we would not be continuing to collect  
12 depreciation on that particular unit, would we?

13 A. No, you would not. It has been retired. It's  
14 been removed from the books. It just has not physically  
15 been removed.

16 Q. Okay. The other one is on your -- in your  
17 rebuttal, on page 35, where you talked about the  
18 traditional versus what you'd call radical departure from  
19 past precedence.

20 And I think Commissioner Murray talked about  
21 that, not giving leeway to choose something in between.

22 Could I ask you, what -- is your final  
23 paragraph what you would be suggesting as the in between,  
24 or do you -- could you tell me what part of Staff's we  
25 should -- could, should, take, what part of Company's we

1 could, should take?

2 A. That's my dilemma. That's a dilemma that I'm  
3 trying to present to the Commission on line 7.

4 Mr. Adam's proposal is all or nothing. We  
5 either expense it or we continue to accrue it in  
6 depreciation.

7 Typically, the issue is -- or has been that we  
8 include an allowance in the depreciation rate. The issue  
9 is, Mr. Adam may be proposing a plus 10 percent net  
10 salvage. I may be proposing a minus 10 percent.

11 So, you know, there is a difference there that  
12 the Commission can say, well, you know, Loos is right  
13 here, Adam's is right here. We'll say that it's  
14 5 percent, positive 5 percent.

15 There's really -- there is some room. But when  
16 we go to the expensing it, it's an all or nothing type of  
17 transaction.

18 Q. So the in-between choice is really whether the  
19 depreciation is -- I mean, whether the net salvage or  
20 depreciation -- which is it -- is this amount or that  
21 amount?

22 A. Right.

23 And the Commission, it would seem to me, could  
24 make a decision at whatever level you could -- it would  
25 seem to me that the Commission could make a finding with



1 regard to the total rate, depreciation rate, or the  
2 salvage allowance to include.

3 Q. Okay. And your final paragraph, are those some  
4 of the other items that you're suggesting as a, quote, in-  
5 between solution?

6 A. No. The last paragraph -- the last question  
7 and answer on page 35 goes toward that -- with the five-  
8 year rule, the Commission's practice, you can review these  
9 issues and bring them -- bring factors that are considered  
10 up to date as things do change.

11 Q. So in your suggestion of finding something in  
12 between, you did not expand on that other than what you've  
13 just told me now?

14 A. I was unable to come -- to present something in  
15 between with respect to the salvage.

16 Q. Do you think you might be able to come up with  
17 something?

18 A. I could -- you know, the in-between would be  
19 to, for example, you know, reduce the negative salvage  
20 levels that I have would be an in-between-type  
21 transaction.

22 On the other hand, I have already reduced the  
23 negative net salvage levels. I have a hard time  
24 visualizing that.

25 The component and depreciation rates for

1 salvage, net salvage, has been reduced under my proposal  
2 relative to the existing depreciation rates.

3 Q. Okay.

4 But you're suggesting that we might find  
5 something in between -- how do I find it between your  
6 proposal and his proposal?

7 A. That's my dilemma, because he's proposing what  
8 I call a radical departure. You can't select anything  
9 between, because --

10 Q. But that I could select something lesser than  
11 what you've suggested in terms of net salvage?

12 A. Yes.

13 CHAIR LUMPE: Thank you.

14 JUDGE RUTH: Commissioner Simmons.

15 COMMISSIONER SIMMONS: Judge Ruth, just real  
16 quick.

17 FURTHER QUESTIONS BY COMMISSIONER SIMMONS:

18 Q. Mr. Loos, I stated a question earlier, and I  
19 didn't state the whole question. I'm just going to  
20 restate this question again for your response.

21 Again, how will there be a certainty that a  
22 Company that pre-collects the cost of removal will either  
23 be the owner of and responsible for the removal of the  
24 plant when it's retired?

25 A. There is no absolute guarantee.

1 Q. There is no guarantee?

2 A. Right.

3 COMMISSIONER SIMMONS: Thank you. That's the  
4 question I had.

5 Thank you.

6 JUDGE RUTH: Commissioner Gaw.

7 COMMISSIONER GAW: Thank you.

8 FURTHER QUESTIONS BY COMMISSIONER GAW:

9 Q. Regarding the issue of -- for instance, in  
10 Riverton, when you have multiple units, if there is no  
11 removal of a unit until all of the units are retired, does  
12 that change how you reflect on your books the depreciation  
13 scheduled for the net negative salvage, or is it -- does  
14 it anticipate removal on the books at the time that it's  
15 actually retired, rather than when it actually occurs?

16 A. Any -- any allowance for negative salvage -- or  
17 positive salvage, for that matter -- remains on the books  
18 until it's expended.

19 When -- when I retire -- when the Company  
20 retired Unit 6 at Riverton --

21 Q. Yes.

22 A. -- it credited original cost -- or original  
23 cost -- by its original cost, and they debit it, they  
24 reduced depreciation reserve by the same amount.

25 So that to the extent there was negative

1 salvage that had been collected, that remains in the  
2 reserve account.

3           And under the traditional Uniform System of  
4 Accounts, when money is expended to remove that, then  
5 that's charged against the reserve, and that pot of money,  
6 then, or book money, is reduced to the extent that it's  
7 expended.

8       Q.     For instance, on Unit 7, if it is retired in  
9 2008, would the books reflect all of the depreciation for  
10 Unit 7 having been completed by 2008, including negative  
11 net salvage?

12       A.     It would -- it would include everything that  
13 has been collected, whether -- if it's retired in 2008 --

14       Q.     It's actually retired in 2008.

15       A.     -- and we assume for depreciation purposes it's  
16 going to be retired in 2012, then the reserve will be  
17 short by some amount in covering the original cost.

18       Q.     Now you're complicating things for me.

19           If it's actually retired in 2008 and your  
20 projected retirement date is 2008, will there be anything  
21 in 2009 to further depreciate, assuming no additional  
22 expenses incur between now and then?

23       A.     It will not be depreciated after it's retired.

24       Q.     Including negative net salvage. It will all  
25 have gone -- you will have depreciated fully --

1 A. Yes.

2 Q. -- at that point?

3 That's what I'm asking you.

4 Even though it may not be actually -- even  
5 though the removal, first of all, may never occur, second  
6 of all, if it is -- if it does occur, it will not occur  
7 until all of the units are retired?

8 A. Not always, but at the present time, my  
9 information is that it doesn't make economic sense to  
10 remove 6 and try to keep the others standing.

11 Q. I understand.

12 But the expense for removal would not occur  
13 until -- if we use these dates, until 2017, even though  
14 you've got all of the same written back off of the books  
15 in 2008?

16 A. The expenditure would not include that. They  
17 could very well take the plant down in 2008 because the  
18 CTs are outside.

19 Q. They could, but you don't believe they're  
20 anticipating doing that?

21 A. Well, I would presume -- I assume that some  
22 time after they retire those last coal units, that they'll  
23 bring the plant down.

24 Q. Oh. I'm following you now. Okay. On the coal  
25 itself?

1       A.       Yeah.

2       Q.       But the principles remain the same?

3       A.       Uh-huh.

4               COMMISSIONER GAW: Thank you.

5               JUDGE RUTH: Okay. It is almost 20 after 12.

6 We will break for one hour and come back at 1:20 and

7 continue where we left off.

8               Thank you.

9               (THE LUNCH RECESS WAS TAKEN.)

10              JUDGE RUTH: We are back on the record. It's

11 almost 1:30.

12              Before our break we had questions from the

13 bench, and I believe that is all of our questions from the

14 bench at this point.

15              Then we will move on to recross based on those

16 questions from the bench.

17              Praxair was scheduled to ask questions first.

18 They are not in the room. We will move on.

19              And, Public Counsel, do you have recross?

20              MR. COFFMAN: No recross.

21              JUDGE RUTH: Staff.

22              MR. WILLIAMS: Yes, Judge.

23              JUDGE RUTH: Okay. Thank you.

24 RE CROSS-EXAMINATION BY MR. WILLIAMS:

25       Q.       Mr. Loos, you used the term "greenfielding."

1 Would you define that term, please?

2 A. Greenfield is taking a site where construction  
3 has been built on, a building on it, some kind of  
4 facility, and returning it to a condition that would be  
5 essentially as it was before construction took place. For  
6 example, back to farmland.

7 Q. Might that include some environmental cleanup?

8 A. Yes.

9 MR. WILLIAMS: No further questions.

10 JUDGE RUTH: It's a bit unorthodox, but I'm  
11 going to move on to redirect. And when Mr. Conrad gets  
12 back in, we may have recross and then redirect again.

13 Mr. Cooper, do you want to go ahead?

14 MR. COOPER: Yes, Your Honor.

15 REDIRECT EXAMINATION BY MR. COOPER:

16 Q. Mr. Loos, during the course of questions I  
17 believe from Mr. Williams, as well as to some questions  
18 from the bench, you referred to -- well, you were asked  
19 about the use of your judgment in establishing retirement  
20 dates. Do you remember those questions?

21 A. Yes.

22 Q. In answer to that you referred to your  
23 experience. What experience were you referring to?

24 A. The 30 years that I've been engaged in  
25 engineering economics in the energy industry.

1 All of the way back into the early '70s we were  
2 looking at life characteristics of plants, and the various  
3 elements that go into assuring that the plants will last  
4 for a period of time.

5 More recently, about 18 months ago I did an  
6 extensive analysis of the factors that go into coal-fired/  
7 steam generation life and the nature of expenditures that  
8 are required to attain lives that we assume.

9 Q. Now, I think, also, connected to some of the  
10 questions about retirement dates, and specifically  
11 Empire's potential plans for retirement of different units  
12 and their potential plans for replacing capacity, I think  
13 you were asked whether -- about your knowledge of such  
14 plans to replace capacity.

15 Let me back up.

16 In your experience what kind of lead time does  
17 a company like Empire need in order to work towards the  
18 replacement of capacity?

19 A. The lead time, the planning horizon for  
20 electric generation has shrunk by orders of magnitude over  
21 the past 10 to 15 years.

22 With the availability of merchant power, with  
23 the relatively short lead times and construction periods  
24 for combined cycle, perhaps you need to start thinking  
25 about it maybe four years in advance, but you really don't



1 have to make a decision until, you know, perhaps  
2 24 months, maybe even shorter, before the power is needed.

3 Q. In some questions about the estimates of costs  
4 of removal, I believe you answered that you recognized  
5 there are some difficulty in projecting such amounts.

6 Do you remember that?

7 A. Yes.

8 Q. Are there checks and balances to offset this  
9 difficulty?

10 A. Yes, there are. The -- what has been termed  
11 the traditional approach, first of all, compensates  
12 customers for the money that they have paid in as a result  
13 of the reduction in rate base.

14 And, ultimately, then, the depreciation reserve  
15 is trued-up through subsequent studies and reserve  
16 deficiencies and surplus adjustments in order that the  
17 customers initially pay only what costs were incurred.

18 Q. Well, along the same lines: Once you set an  
19 amount for, let's say, net salvage, will that amount stay  
20 the same forever or is that amount reexamined  
21 periodically?

22 A. Each time we do a study we reexamine it. I  
23 believe each time it's brought before the Commission the  
24 Commission reexamines it.

25 In this particular case, on our examination, we

1 reduced fairly substantially some of the net salvage  
2 allowances that had been employed in the existing rates.

3 Q. And when you say this would be examined, what  
4 sorts of things would be looked at?

5 A. We look at the historical pattern of  
6 retirements, cost of removal, salvage. We also examine  
7 what forecast conditions may be into the future.

8 Perhaps the best example is gas property, where  
9 five years ago we always thought it was going to be  
10 removed but now we're finding that that's not the case,  
11 and so we have adjusted our allowances accordingly.

12 Q. Now, you were asked some questions as to -- I  
13 guess the hypothetical was, if regulations -- I believe  
14 it's environmental regulations -- stayed the same, would  
15 you change your estimate for Riverton.

16 As a part of that answer I believe you said no,  
17 and then you expressed that even without those regulations  
18 Riverton was still an outage away.

19 Can you expand upon that? What do you mean by  
20 still an outage away?

21 A. Well, the plant has been in operation -- Unit 7  
22 has been in operation since 1950. It's already over  
23 50 years old. By 2008 it will be about 58 years old.

24 It's getting old. The equipment has been  
25 subject to the high pressures and relatively high

1 temperatures over that period, and thermal stresses,  
2 fatigue, corrosion, erosion, all of the various factors  
3 that go into the need to replace components that have been  
4 working away. And as a result, there is just not that  
5 much life left in them.

6 Q. Now, also, along, I guess, on the subject of  
7 Riverton, you were asked about the status of Unit 6 at  
8 Riverton.

9 Do you have any knowledge about the status of  
10 some of the prior units, Units 1, 2, 3 and 4, what has  
11 become of those units?

12 A. Based on the tour that I made of the plant, I  
13 recall that all of that equipment had been removed prior  
14 to my tour, which with have been in 1992, I believe.

15 Q. Okay. You were asked some questions about the  
16 impact of land values on a generation plant and the costs  
17 of that generation plant.

18 Generally, for a plant such as the State Line  
19 unit that's of primary interest in this rate case, what  
20 would generally be the total plant cost of such a plant?

21 A. Well, the total cost plant of State Line,  
22 Units 1 and 2, is on the order of perhaps 300 million  
23 dollars, \$275 to 300 million.

24 The site itself is 77 acres. At \$1,000 an acre  
25 it would be \$77,000, relative to a total plant cost of

1 300 or so million.

2 So it's not very significant at all. It's a  
3 very small portion.

4 Q. Now, you were asked some questions about your  
5 assumptions of negative salvage and the possibility that  
6 perhaps in some cases salvage may indeed be positive.

7 Do you remember those questions?

8 A. Yes.

9 Q. Let's say that does come about. If salvage  
10 does not turn out to be negative on any individual piece  
11 of property here, do you view that to be a problem with  
12 the Whole Life method itself or a potential issue with the  
13 specific net salvage that would have been used?

14 A. No. To me it's a problem with the allowances  
15 that are used, not with the approach.

16 Q. And have you ever had the opportunity to  
17 change -- let's move beyond net salvage, but, for example,  
18 in this case, have you had the opportunity to change lives  
19 based upon information that you have gathered along the  
20 way?

21 A. Yes. We've -- we've changed lives. We've  
22 changed salvage allowances in the study relative to other  
23 studies, not significantly, but we have -- we have made  
24 those changes with respect to the lives, based on further  
25 study, more current information.

1 Q. And you may have hit on this a little bit  
2 earlier, but I want to come back to it.

3 We talked about the situation where a piece of  
4 property is retired and it is not removed for some period  
5 of time, so the actual cost of removal is not incurred for  
6 some period of time.

7 What happens to the cost of removal during that  
8 interim period between the retirement of the property and  
9 when the money is actually expended for the removal?

10 A. It goes toward reducing the rate base. And so  
11 the customers are compensated for the use -- or the use of  
12 those funds by the utility.

13 Q. And that's because this remains in the  
14 depreciation reserve during the interim time period?

15 A. Yes, until either it's spent or future studies  
16 have concluded it's no longer necessary to maintain it.

17 MR. COOPER: That's all of the questions I have  
18 at this time, Your Honor.

19 JUDGE RUTH: Thank you, Mr. Cooper.

20 I will note for the record that Praxair's  
21 counsel, Mr. Conrad, is back in the room, and I will even  
22 allow you the opportunity to make a few brief recross  
23 questions if you wish.

24 MR. CONRAD: Judge, I very much appreciate the  
25 courtesy, and I apologize for being late coming back from

1 lunch, with trying to get copies made and everything else.

2 We will not need to ask the witness any  
3 questions. Thank you.

4 JUDGE RUTH: Thank you.

5 We will move on, then, to the next witness. I  
6 believe it would be Staff's witness, Mr. Adam, because  
7 Mr. Lyons is going to be taken out of order on Friday.

8 Is that correct?

9 MR. DUFFY: Partially, Your Honor. That brings  
10 up an issue.

11 I think that it was mentioned previously that  
12 we've been informed that the other parties do not have any  
13 cross-examination questions for Mr. Lyons.

14 Mr. Lyons is currently traveling. We would  
15 appreciate it if the Commissioners could consider whether  
16 they have any cross-examination or any questions for  
17 Mr. Lyons, and, if possible, inform us by sometime  
18 tomorrow, for if that's the case, we would be able to  
19 avoid Mr. Lyons' travel.

20 JUDGE RUTH: Okay. We will discuss that on a  
21 break and let you know.

22 Staff, would you like to call your witness.

23 MR. WILLIAMS: Yes.

24 Staff calls Paul Adam.

25 JUDGE RUTH: And I would like to point out --

1 let's go off the record for a moment.  
2 (OFF THE RECORD.)  
3 JUDGE RUTH: We'll go back on the record.  
4 Would you raise your right hand, please.  
5 (Witness sworn/affirmed.)  
6 JUDGE RUTH: Thank you.  
7 PAUL ADAM testified as follows:  
8 DIRECT EXAMINATION BY MR. WILLIAMS:  
9 Q. Please state your name.  
10 A. Paul Adam.  
11 Q. And who are you employed by?  
12 A. Missouri Public Service Commission.  
13 Q. In capacity are you employed?  
14 A. Depreciation engineer.  
15 Q. And what's your address, work address?  
16 A. Post Office Box 360, Jefferson City, Missouri,  
17 65102.  
18 Q. And have you prepared some exhibits that have  
19 been marked as exhibits numbered 33, 34 and 35, the first  
20 being your direct testimony, the second being rebuttal  
21 testimony and the third being surrebuttal?  
22 A. Yes.  
23 Q. Do you have any revisions to make to your  
24 direct testimony, Exhibit 33?  
25 A. Yes.

1 Q. What corrections are those?

2 A. On page 3, line 9, the amount 1.5 appears  
3 twice. That's an error. It should be 2.5. It's the same  
4 number.

5 And line 22, that same number comes up again.  
6 The 1.5 should be 2.5. And then that paragraph adds up,  
7 2.5, 1.5 and 5 are 9 million, which are mentioned on  
8 page 4.

9 Q. You said there are two locations on line 9.  
10 Are there also two locations on line 22?

11 A. Just one location on line 22.

12 Q. And that's the first one?

13 A. The first one, yes. Thank you.

14 Q. Do you have any additional revisions?

15 JUDGE RUTH: I'm sorry. I want to make I  
16 followed that.

17 On line 9, then, both the numbers 1.5 should be  
18 changed to 2.5?

19 THE WITNESS: Correct.

20 JUDGE RUTH: And then the only other change is  
21 on line 22?

22 THE WITNESS: The first 1.5.

23 JUDGE RUTH: Okay. Thank you.

24 BY MR. WILLIAMS:

25 Q. Do you have any other revisions to that



1 exhibit?

2 A. Yes.

3 On page 24, line 9, the number 24 million  
4 should be changed. The correct number is 26,474, 878.

5 And line 11, that 19 million needs to be  
6 changed. The correct number is 19,638,073.

7 Those numbers will then tie to the table that  
8 is on page 26.

9 Q. Are those all of the revisions you have to  
10 Exhibit 33, your direct testimony?

11 A. Yes.

12 Q. If I were to ask you all of the questions that  
13 are set forth in that exhibit, would your answers be the  
14 same here today as you submitted them?

15 A. Yes.

16 MR. WILLIAMS: I offer Exhibit No. 33.

17 JUDGE RUTH: Okay. Do the parties have any  
18 objections to Exhibit 33 being admitted?

19 Seeing no objection, it will be admitted into  
20 the record.

21 (EXHIBIT NO. 33 WAS RECEIVED INTO EVIDENCE.)

22 BY MR. WILLIAMS:

23 Q. I'll turn your attention to Exhibit No. 34,  
24 which is your rebuttal testimony. Do you have any  
25 revisions to that?

1           A.       Yes.

2                   On line 15, page 3, the word "future" should be  
3 in front of the word "gross."

4                   On line 16 the word "future" should be in front  
5 of the word "cost."

6                   On line 19, future should be in front of the  
7 word "gross," and future should be in front of the word "cost."

8                   On page 10, in the footnote, for clarification,  
9 there should have been a comma after the 16 megawatts --  
10 16 MW. Excuse me.

11          Q.       Do you have any further revisions to that  
12 exhibit?

13          A.       No.

14          Q.       If I were to ask you the questions that are set  
15 forth in that exhibit as you've revised it, would your  
16 answers be the same as what's set forth therein?

17          A.       Yes.

18                   MR. WILLIAMS: I offer Exhibit No. 34.

19                   JUDGE RUTH: Do the parties have any objections  
20 to Exhibit 34, the rebuttal testimony of Mr. Adam?

21                   Okay. Seeing no objections, it is admitted  
22 into the record.

23                   (EXHIBIT NO. 34 WAS RECEIVED INTO EVIDENCE.)

24 BY MR. WILLIAMS:

25          Q.       I'm going to direct your attention now to

1 Exhibit 35, which is surrebuttal testimony of Paul W.

2 Adam. Do you have any revisions to that document?

3 A. Yes.

4 Page 2, line 11, the sentence starts with

5 therefore. Therefore should have a comma after it.

6 Q. Do you have any further revisions?

7 A. No.

8 Q. If I were to ask you the questions that are set

9 forth in the exhibit as you have revised it, would your  
10 answers be the same?

11 A. Yes.

12 MR. WILLIAMS: I offer Exhibit No. 35 into

13 evidence.

14 JUDGE RUTH: Do the parties have any objections

15 to Exhibit 35, the surrebuttal testimony of Mr. Adam's,

16 being admitted into the record?

17 Seeing no objections, it is admitted.

18 (EXHIBIT NO. 35 WAS RECEIVED INTO EVIDENCE.)

19 MR. WILLIAMS: I tender the witness.

20 JUDGE RUTH: Cross-examination will begin with

21 Mr. Conrad.

22 MR. CONRAD: Do you want me to --

23 JUDGE RUTH: Yes. I need you to stand over at

24 the podium, please.

25 CROSS-EXAMINATION BY MR. CONRAD:

1           Q.       Mr. Adam, I just have a very, I guess,  
2 personally puzzling area about this whole topic, as I hear  
3 what you're -- what the controversy is.

4                   My question to you is, is there ever a point  
5 which in your experience depreciation should stop?

6           A.       Yes.

7           Q.       And what is that point?

8           A.       That's when the plant is retired.

9           Q.       Here is -- here is my example. Let's say that  
10 you have -- and we'll take it out of the context of this  
11 company.

12                   Let's say you have a nuclear plant such as  
13 Wolf Creek that is set up on a 30-year life. And we get  
14 to the end of that 30 years -- or we approach the end of  
15 it, and a license is renewed, and the company is  
16 successful in getting another 20 years tacked on, does the  
17 depreciation stop at the 30th year, or do you-all have to  
18 recalculate it now over whatever is left over the  
19 remaining 20 years?

20          A.       Well, it would -- it would depend on things as  
21 far as additional dollars that might have been added over  
22 that 30 years. And if you had a Whole Life 30 year, some  
23 of those dollars would not be fully retired.

24                   But the general answer to your question is that  
25 it would have to be recalculated if it wasn't fully

1 recovered to determine what should be recovered over the  
2 determined future life.

3           There are instances where plant has become  
4 fully recovered and is still on the books. As a matter of  
5 fact, this Commission addressed one of those in a Laclede  
6 case about two years ago.

7           There were four gasholders in St. Louis which  
8 not only are fully recovered; they're over-recovered. And  
9 we had a position -- Staff took the position that that  
10 depreciation rate should be set to zero for those  
11 gasholders.

12           The company wanted to continue depreciation  
13 because they wanted to collect for this future cost of  
14 removal of those gasholders, but the company would not  
15 make a commitment as to when they would be removed or what  
16 the cost would be at the time.

17           So the decision that was made and the order  
18 that came out was that the depreciation rate would be set  
19 at zero for those gasholders.

20       Q.     Now, I've been through St. Louis, and you're  
21 talking about those aboveground storage tanks that Laclede  
22 has?

23       A.     Correct.

24       Q.     Now, work with me just for a second on another  
25 real short hypothetical.

1           Let's assume a customer has been on the system  
2 as a gas customer, or in this case, an electric customer,  
3 for, let's say, 30 years.

4           And during that time there has not been any  
5 additions or any replacements to their service facilities.  
6 And those service facilities were originally set up a  
7 30-year life.

8           Obviously, absent the Commission doing  
9 something, that depreciation would, in effect, continue to  
10 be recovered, but would that be a situation where the  
11 depreciation should stop?

12         A.     Are you saying that for the whole company no  
13 service is added during that whole 30-year life?

14         Q.     No. Just for this --

15         A.     One customer.

16         Q.     Let's say that you have a customer that has --  
17 has a large installation at their place of business  
18 that's --

19         A.     But there are other service activities going on  
20 in the company?

21         Q.     Throughout the company, sure.

22         A.     I believe the company should get recovery on  
23 their service activities.

24         Q.     Okay. But with respect to this particular item  
25 that would be on the company's books that have been set up

1 a 30-year life, it's your testimony that the company  
2 should continue to refer that even though it's run through  
3 its 30-year life?

4 A. That's where we look at depreciation rates,  
5 every three to five years. Hopefully, if the Company  
6 comes in for a rate case, we can adjust them.

7 Because you're looking at the recovery versus  
8 what the plant balance is.

9 Q. Okay. So at least in that case, you'd agree  
10 that that is something that should be looked at, and if  
11 that was shown, then that depreciation might want to go  
12 away?

13 A. What you may be looking for is the net effect  
14 is that that plant would be no longer depreciated, because  
15 when you analyzed it, you would find that you had recovery  
16 or an accrual that covered the cost of that particular  
17 plant.

18 But when we're looking at something like  
19 services, that's mass property, and we don't isolate them  
20 one by one.

21 Q. I understand the distinction.

22 And I was asking you to be a little bit more  
23 precise on a customer basis.

24 MR. CONRAD: Thank you.

25 JUDGE RUTH: Public Counsel.

1 MR. COFFMAN: No cross-examination. Thank you.

2 JUDGE RUTH: And Empire.

3 MR. COOPER: Yes, Your Honor.

4 CROSS-EXAMINATION BY MR. COOPER:

5 Q. Mr. Adam, do you have copies of your testimony  
6 with you?

7 A. Yes.

8 Q. Okay. If you'd look at your direct testimony,  
9 beginning on page 18, line 20.

10 Do you find the question that begins there?

11 A. Yes.

12 Q. If I wanted to find really a short summary of  
13 your proposal, would you agree with me that it would be  
14 the question that starts there on line 20 and the answer  
15 that continues to line 6 on the next page, on page 19?

16 A. That's probably a good summary.

17 Q. Now, there is nothing about your approach to  
18 net salvage that's designed to prohibit any recovery of  
19 dollars related to cost of removal. Correct?

20 A. I believe I agree with you.

21 The Company would always collect what they  
22 spend based on the way that Staff is proposing net  
23 salvage. Is that --

24 Q. And I think the way I've heard you say it  
25 before, or possibly, is that you believe you're just



1 shifting the time period of recovery but not eliminating  
2 recovery. Would you agree with that?

3 A. The Company would collect everything they spend  
4 for cost of removal, net salvage.

5 Q. Do you have an opinion as to whether or not it  
6 would be permissible to eliminate completely recovery of  
7 cost of removal?

8 A. Say that again, please.

9 Q. As I understand your proposal, you'll tell  
10 me -- and, in fact, just have -- that you proposed to  
11 merely shift the time period when the Company would  
12 recover cost removal.

13 Rather than recovering it over the life of the  
14 piece of property, you want the Company to recover it at  
15 the time or near the time it's expended. Correct?

16 A. I believe their cost of removal or net salvage,  
17 whichever term you want to use, should be determined on a  
18 current basis when you're looking at the revenue  
19 requirement, which is what we utilize these numbers to do.

20 Q. But let's say we went one step further.

21 What if someone proposed the cost removal be  
22 eliminated completely, that the Company received no  
23 recovery for costs for removal.

24 Do you believe that that would be permissible?

25 A. I wouldn't argue that position.

1 Q. What do you mean by you wouldn't argue that  
2 position?

3 A. I would not write testimony proposing that the  
4 Company would not get cost of removal.

5 Q. Would you agree with me that cost of removal is  
6 a normal anticipated expense related to the ownership and  
7 operation of utility property?

8 A. Not always. We had a discussion this morning  
9 where Commissioner Gaw was asking questions, that the cost  
10 of removal is not necessarily part of what a particular  
11 owner has to face.

12 Q. Let's step back from that for a moment.

13 Let's assume that there will be -- or there is  
14 cost of removal incurred. Okay. We're going to set aside  
15 the hypotheticals where it might not ever be expended.

16 So we're going to assume that cost of removal  
17 is expended. Do you view that to be an expense related to  
18 the ownership and operation of the specific piece of  
19 utility property?

20 A. When costs of removal is expended, is what  
21 we're proposing, is that it should be included in the  
22 calculation of revenue.

23 Q. Now, as I understand it, beyond merely delaying  
24 the recovery of costs for removal until after property has  
25 been retired and cost of removal incurred, the Staff is

1 also proposed to calculate net salvage on a five-year  
2 average.

3 Is that consistent with your understanding?

4 A. The current calculation for net salvage is not  
5 done by depreciation engineers any longer on staff.

6 Q. So you have no understanding of what they may  
7 have done with it, what the auditors may have done with  
8 it?

9 A. In this particular case I'm not sure, whether  
10 they did it over five years or a longer period. There  
11 will be a witness that can testify to what he did.

12 Q. Well, let's back up a little bit. Let's go  
13 back to your testimony.

14 We just talked about, I think, your direct  
15 testimony, beginning on page 18, line 20, a question. And  
16 as a part of that answer, I believe over on line 1, on  
17 page 19, you say: This -- and I believe you're referring  
18 to the current level of net salvage costs -- will be  
19 normalized over several years. Do you see that?

20 A. Yes, I see that.

21 Q. Okay. So let's set aside whether you're going  
22 to normalize over five years or six years or three years  
23 or whatever period of time.

24 But in your testimony you do express that the  
25 number that would be utilized for ratemaking purposes

1 would be some sort of normalized number or number derived  
2 over a period of years. Correct?

3 A. Yes. And that's my understanding of how the  
4 auditors are doing it.

5 Q. Okay. Now I want you to make an assumption for  
6 me.

7 Let's assume that cost of removal over time  
8 increases due to labor costs, environmental costs,  
9 whatever it might be.

10 Am I correct that the impact of using this  
11 normalized number, or this average number, in that  
12 scenario will mean that the Company will not be made whole  
13 as to its cost for removal?

14 A. That would be a shortcoming of using the  
15 technique that the Staff is proposing.

16 If the number was included as is, yet was in  
17 the depreciation accrual, and there was either an over-  
18 collection or an undercollection for cost of removal, then  
19 at the time that the next rate case came up, that could be  
20 determined, and then an adjustment could be made to make  
21 the Company whole, if there was a shortfall, or to reduce  
22 depreciation rates to compensate for an overcollection.

23 And with the case of doing it as an expense --  
24 and I think what you're looking for -- doing it as an  
25 expense as the Staff has proposed it here, an under-

1 collection is lost to the Company; an overcollection is  
2 simply their gain.

3 Q. Okay. Now, going back to your general theory  
4 of treatment of net salvage, you don't believe that there  
5 is any difference in applicability of your net salvage  
6 theory to either natural gas, water or electric utility  
7 industries, do you?

8 A. We're applying the same technique to all  
9 industries that we do cost regulation on.

10 Q. Now, is it your understanding that Empire is  
11 required by this Commission to maintain its books and  
12 records in accordance with the FERC Uniform System of  
13 Accounts?

14 A. I'm not -- I'm not an accountant or an auditor,  
15 but I would expect the answer to be yes.

16 Q. Well -- and let me -- if the judge will permit  
17 me, let me hand you a document.

18 JUDGE RUTH: Do you want to show a copy to  
19 counsel?

20 BY MR. COOPER:

21 Q. Mr. Adam, I'm handing you a copy of  
22 4 CSR 240-20.030 entitled Uniform System of Accounts,  
23 Electrical Corporations.

24 And if you would, could you read for me the  
25 first sentence of Subsection 1?

1       A.       Beginning January 1st, 1994 every electrical  
2       corporation subject to the Commission's jurisdiction shall  
3       keep all accounts in conformity with Uniform System of  
4       Accounts prescribed for the public utilities and  
5       licensees, subject to the provisions of the Federal Power  
6       Act as prescribed by the Federal Energy Regulatory  
7       commission, FERC, and published at 18 CFR Part 101, 1992,  
8       and 1 FERC stat, s-t-a-t, and regs, paragraph 15.001, and  
9       following 1992, except as otherwise provided in this rule.

10               Do you want me to stop?

11       Q.       I think that will be good.

12               Now, having read that, would you agree with me  
13       that Empire is required to keep its books and records in  
14       accordance with FERC Uniform System of Accounts?

15       A.       Based on that rule, yes.

16       Q.       Okay. The FERC Uniform System of Accounts  
17       doesn't provide for expensing current costs to removal as  
18       you've proposed, does it?

19       A.       Doesn't provide for expensing current costs of  
20       removal?

21       Q.       In the method that you have proposed in this  
22       case, or that Staff has proposed in this case?

23       A.       Again, I'm not the right person to answer that  
24       question.

25       Q.       Okay. So the proposal you put together was put

1 together without any knowledge of what might or might want  
2 be required by the FERC Uniform System of Accounts.

3 Correct?

4 A. The proposal -- would you ask that one more  
5 time?

6 Q. Sure.

7 I think you've told me that you're not familiar  
8 with what the FERC Uniform System of Accounts that Empire  
9 is required by Commission rule to follow --

10 A. Uh-huh.

11 Q. -- that you're not familiar with what the FERC  
12 Uniform System of Accounts may require or not require in  
13 regard to costs of removal. Correct?

14 A. Uh-huh.

15 Q. Your answer to that would be yes?

16 A. Yes.

17 Q. So I take it that the proposal that you've put  
18 together, Staff has put together, that's been brought  
19 before the Commission in this case has been put together  
20 without any knowledge of what might or might not be  
21 required by the FERC Uniform System of Accounts. Is that  
22 correct?

23 A. Well, I believe that Bob Schallenberg and the  
24 auditors have that knowledge. I don't personally because  
25 I'm a depreciation engineer.

1                   But I do know that certain companies, Ameren  
2   being one, expenses things that other companies don't when  
3   it comes to cost of removal. So I -- I don't know exactly  
4   where we're headed here.

5       Q.       Well, let's make this assumption. Let's assume  
6   that the FERC Uniform System of Accounts requires the  
7   Company to keep its books such that cost of removal is  
8   deemed to be recovered over the life of a piece of  
9   property. I think that's contrary to what the Staff and  
10   what you have proposed in this case for Empire.

11               If that's the case, Empire is going to be  
12   required to keep two sets of depreciation books. Correct?

13       A.       I guess if your theory holds they may. Again,  
14   I'm not an accountant. And if they're going to have to  
15   keep a separate sets of books for that, it would appear to  
16   me that they would only need to keep certain data as a  
17   record, not a whole separate set of books. But, again,  
18   I'm an engineer.

19       Q.       And you're not familiar with that process?

20       A.       I'm not an accountant.

21       Q.       Okay.

22               JUDGE RUTH: Mr. Cooper, I'm going to have to  
23   call a brief recess and go off the record. It is a few  
24   minutes after 2, and we'll start back up at 20 after.

25               (A RECESS WAS TAKEN.)



1 JUDGE RUTH: We are back on the record.  
2 When we broke, Mr. Cooper --  
3 MR. COOPER: That's correct.  
4 JUDGE RUTH: -- was -- we'll go ahead and let  
5 you continue your questions then.  
6 MR. COOPER: Thank you, Your Honor.  
7 BY MR. COOPER:  
8 Q. Earlier, Mr. Adam, I think we mentioned that  
9 your net salvage theory, you intend to apply equally to  
10 natural gas, water, electric utility industries. Correct?  
11 A. On a going-forward basis, that's what we're --  
12 we're going to do all of them on the same basis, on a  
13 going-forward basis.  
14 MR. COOPER: I want to hand a document to the  
15 witness, if I may.  
16 JUDGE RUTH: Okay.  
17 BY MR. COOPER:  
18 Q. I'd like to ask you to take a look at 393.135.  
19 Can you read through that for us?  
20 A. Charges based on nonoperational property of  
21 electrical corporation prohibited. Any charge made or  
22 demanded by an electrical corporation for service, or in  
23 connection there with, which is based on the cost of  
24 construction and progress upon any existing or new  
25 facility of the electrical corporation, or any other cost

1 associated with owning, operating, maintaining or  
2 financing any property it is fully operational and used  
3 for service is unjust and unreasonable and is prohibited.

4 Now, 393.135 states that it applies  
5 specifically to electric plant. Correct?

6 A. It says by an electrical corporation, yes.

7 Q. And there are no other utility industries  
8 mentioned. Correct?

9 A. Not in that paragraph.

10 MR. COOPER: I apologize, Your Honor, for  
11 not --

12 JUDGE RUTH: Thanks.

13 BY MR. COOPER:

14 Q. Have you ever read the statute before?

15 A. Not to my recollection, no.

16 Q. So to the extent it may or may not have any  
17 impact on your net salvage theory, you've not taken it  
18 into account in reaching the recommendations that are  
19 included in your testimony. Correct?

20 A. As far as determining rates for the new plant  
21 that is not in operation yet.

22 Q. Actually, I'm thinking more in terms of  
23 globally, your net salvage theory.

24 And let me get at it this way. And I want you  
25 to make an assumption -- and, indeed, that's what it is,

1 it's an assumption.

2 I want you to assume with me that one possible  
3 interpretation of this statute is that recovery cannot be  
4 had for any costs related to electric plant that is not in  
5 service.

6 If that's the correct interpretation of the  
7 statute, would this statute have an impact upon your  
8 proposal to recover costs for removal after electric --

9 MR. WILLIAMS: I'm --

10 THE COURT REPORTER: I'm sorry. After  
11 electric?

12 MR. WILLIAMS: -- going to object to the  
13 question. If he wants to ask if the assumption has an  
14 impact, that's fine, but I don't think he should be  
15 putting gloss on the statutory language.

16 JUDGE RUTH: Can you read the question back?

17 THE COURT REPORTER: I don't have the end of  
18 the question. That is why I interrupted.

19 JUDGE RUTH: Okay. Can you restate your  
20 question?

21 MR. COOPER: Yes, Your Honor.

22 And what I want the witness to do, and I think  
23 what I asked before, was to assume with me that one  
24 possible interpretation of the statute is that recovery  
25 cannot be had for any costs related to electric plant that

1 is not in service. Okay?

2 BY MR. COOPER:

3 Q. And my question from that would be: Making  
4 this assumption, would the statute or that principle, then  
5 have an impact upon your proposal that costs for removal  
6 be recovered after electric plant has been retired?

7 A. Well, I read this as addressing the electric  
8 plant, not the cost of removal, not those expenses that  
9 you'll have at a later date.

10 And certainly, you know, the way they're  
11 estimated is, I think, what concerns Staff more than  
12 anything.

13 Where you take a simple ratio of what it costs  
14 to remove property today and relate that to the original  
15 cost of that property that might have been 30 years ago,  
16 and calculate that ratio, which has inflation in it and  
17 the effects of environmentalism and everything, and use  
18 that to determine off of today's plant what you should  
19 collect from customers rather than what you're currently  
20 spending.

21 And the difference in those two numbers, what  
22 you're currently spending versus that calculation of that  
23 ratio is the basis of what Staff is objecting to as far as  
24 the costs of removal done the way Empire is proposing it  
25 and the way Staff is proposing it.

1 Q. Let's get at it a little differently here.

2 Have you ever heard of -- and I'm guessing you  
3 have.

4 You've heard of the used and useful theory in  
5 regulatory ratemaking. Correct?

6 A. Uh-huh.

7 Q. And I'm going to read to you a definition  
8 that's been used by the Court of Appeals to describe that  
9 theory.

10 Under the used and useful theory, the Company  
11 is allowed to charge customers only for the cost of plant  
12 and equipment actually in use to provide service for  
13 current customers.

14 And my question is similar to what I asked in  
15 relation to 393.135.

16 Have you considered the potential impact of, in  
17 this case, the used and useful theory on your proposal,  
18 that cost of removal not be recovered until after a piece  
19 of electric plant has been retired?

20 A. I think I understand it entirely different than  
21 you do.

22 You're putting the cost of removal, which is  
23 something that is unknown in the future, at best by done  
24 by an estimate, which is normally done with a simple ratio  
25 calculation based on what is happening today against the

1 purchase price of plant years ago, and you're including  
2 that in plant. And I don't see that as part of plant.

3 So I believe you and I are coming from  
4 different perspectives on the cost of removal.

5 Q. Well, I'm not so sure.

6 Earlier when I'd asked you a question in regard  
7 to cost for removal and recovery of cost for removal, I  
8 think you told me that where cost of removal was actually  
9 expended, that you would view that to be a normal expense  
10 related to the ownership and operation of utility  
11 property.

12 Now, both the statute that I've showed you  
13 talks in terms of costs associated with owning, operating,  
14 maintaining or financing property, and I believe this  
15 definition of used and useful talks about costs of plant  
16 and equipment.

17 Do either of those possible prohibitions to  
18 recovery of costs for removal bother you in terms of the  
19 recommendation you've made on treatment of net salvage?

20 A. I believe that the Company should recover the  
21 net salvage that they're currently spending.

22 When we did the Laclede case about two years  
23 ago, that calculation was in the depreciation  
24 determination. I have no problem with what we did in the  
25 Laclede case.

1           A subsequent change was made, and the cost of  
2 removal, or the net salvage -- more accurately, the net  
3 salvage determination, was handed off to the auditors, and  
4 it's been that way on a going-forward basis.

5           Q.       But I think my point is, it appears to me that  
6 if either because of the statutory prohibition or a  
7 regulatory theory, the Company, in fact, cannot recover  
8 costs for removal after a particular piece of property has  
9 been retired, that that is contrary to what you propose.

10                  Would you agree with that?

11           A.       Well, we propose that there be an amortization  
12 plant as retired and not fully recovered.

13           Q.       Let's turn to your direct testimony again, if  
14 you still have that in front of you.

15           A.       Uh-huh.

16           Q.       On page 2, line 23. Now, starting in the  
17 middle of line 23 and extending on to page 3, you're  
18 expressing, I think, some of your problems with the way  
19 net salvage is currently treated by the Commission, at  
20 least in terms of Empire's past depreciation rates.

21                  You say even though this original dollar amount  
22 will not be needed for decades, the Company proposes to  
23 pre-collect it from its customers decades prior to the  
24 retirement and removal of the plant.

25                  Do you see that?

1           A.       Uh-huh.

2           Q.       Now, in that statement you talk about the

3   Company proposes.

4                   Now, the Company's proposal in this case is not

5   a new proposal, is it?

6           A.       Not to my knowledge.

7           Q.       The method that Mr. Loos proposes is, in fact,

8   consistent with the Staff and Commission prior approaches

9   that are reflected in Empire's existing depreciation

10   rates.   Would you agree with that?

11          A.       I didn't work on those cases, but I'll accept

12   your word for it.

13          Q.       Well, but you did go back and you reviewed the

14   ordered depreciation rates.   Correct?

15          A.       Yes.

16          Q.       And your review of those depreciation rates

17   would lead you to believe that that is the case.   Correct?

18          A.       That would be true.

19          Q.       Now, the Commission has referred to this method

20   that's proposed by the Company in this case as the whole-

21   life method, hasn't it?

22          A.       The formula that is used is the Whole Life

23   formula.

24          Q.       Now, also, as a part of the statement that I

25   read out of your direct testimony, you state that the



1 Company proposes to pre-collect dollars from its customers  
2 decades prior to retirement.

3 Now, Empire is not proposing to collect all of  
4 its future costs of removal next year, is it?

5 A. No.

6 Q. The Whole Life method would rather seem to  
7 include the net salvage and the depreciation calculation  
8 and recover that cost removal gradually over the life of  
9 the subject property. Correct?

10 A. They would recover an estimated cost removal  
11 that would include inflation and other things that have  
12 applied to the history, and they don't do an analysis of  
13 what might apply to the future.

14 Q. But whatever recovery is had will be recovered  
15 over the life of the property. Correct?

16 A. It will be referred over the average service  
17 life that is assigned to that account.

18 Q. And the alternative, as Staff proposes it, is  
19 to recover those amounts actually expended, but the  
20 amounts actually expended immediately or soon after  
21 they're incurred. Correct?

22 A. Correct.

23 Q. Okay. And so, thus, under Staff's proposal,  
24 removal of costs would be paid in a lump sum by customers  
25 after that subject property had been retired. Correct?

1           A.       No.

2                   Only on mass property would you have it to that  
3 effect, where it's a churn year by year.

4                   If there is a major removal -- and I talked  
5 about it in more detail in the preceding case.

6                   But if there is a major removal, where there is  
7 a large dollar to, say, tear down a plant -- and I think  
8 that was discussed earlier, as a lot of times a plant is  
9 retired, it's left in place and maybe not torn down for  
10 years and years.

11                   But at the time that it would be torn down,  
12 if -- at that time the cost that was incurred would be  
13 looked at, and if it was reasonable, then an amortization  
14 would be proposed.

15                   And the period of that amortization would be  
16 designed principally to get it as quickly as possible for  
17 the Company without incurring rate shock.

18           Q.       Yeah. And that does get to my next question.

19                   I think if we went back to -- I think what we  
20 referred to as the summary of your proposal that is  
21 found -- well, in particular, on line 2 of page 19 of your  
22 direct testimony, you state that if there is a major  
23 retirement in removal, such as a power plant, Staff  
24 depreciate engineers will evaluate the Company's cost  
25 presentation and will propose an amortization that will

1 allow the Company to recover the appropriate amount from  
2 customers.

3 That's what you're referring to. Correct?

4 A. Yes.

5 Q. Okay. How do you define what constitutes a  
6 major retirement or removal?

7 A. On life span plant, those are plants, such as a  
8 power plant, that normally -- that a whole plant or a  
9 large segment of it is shut down at one time, rather than  
10 having a continual churn, like poles, which is mass  
11 property.

12 And when that plant is shut down, a company can  
13 leave it stand or they can tear it down or tear it down in  
14 part.

15 If they tore down part of it and said, you  
16 know, we've incurred a million dollars and we want to  
17 recover that, then Staff would address it.

18 Q. And getting back to one of the things that you  
19 said previously, one of the reasons that you would propose  
20 an amortization in this situation is to avoid a large rate  
21 impact on customers. Correct?

22 A. We would schedule the amortization such that it  
23 wouldn't cause rate shock.

24 Q. Now -- and I assume that how long that  
25 amortization might be would depend upon the specific facts

1 of the situation you were examining. Correct?

2 A. Correct.

3 Q. But, potentially, it could go on for several  
4 years. Would you agree with me?

5 A. Characteristic -- well, the thing we see most  
6 is a plant that is retired that has not been fully  
7 recovered, and amortizations are anywhere from one to  
8 five years characteristically.

9 Q. So in that situation, payment of the cost for  
10 removal could go on for one to five years beyond the  
11 retirement, or, actually, the removal of that piece of  
12 property. Correct?

13 A. It -- it would -- it would depend -- the  
14 payment, if you're wanting to talk about revenue  
15 requirement now, it would depend on how the amortization  
16 was set up.

17 If the amortization didn't have a cut-off --  
18 say, if it was a five-year amortization and it wasn't  
19 ordered to be shut off, it would keep going beyond, and  
20 the Company would continue to collect from the -- from the  
21 ratepayers based on that being in the rates beyond the  
22 five years.

23 Q. And that's five years after that property would  
24 have actually been removed. Correct?

25 A. Probably.

1 Q. It could be more?

2 A. It could be, you know, that the property is  
3 being retired when you start -- or being removed when you  
4 start the amortization.

5 Q. Would Staff recommend that the Company be  
6 permitted to earn a return on the unamortized portion of  
7 any amount that was amortized?

8 A. I don't know.

9 Q. Now, in your direct testimony you spent some  
10 time and effort quoting from a 1953 textbook entitled  
11 Engineering Evaluation and Depreciation.

12 Now, from reading your testimony, it would be  
13 my belief that you would agree that costs for removal is a  
14 greater factor now than in 1953 when the textbook you cite  
15 was written?

16 A. I believe it, yeah, has a greater effect on the  
17 revenue requirement, increasing it.

18 Q. And if I were to quote some language from your  
19 testimony -- and this is on, just for reference purposes,  
20 page 17, line 16, you state that during the very late 1970  
21 and early 1980s, two external conditions changed  
22 significantly, resulting in a change in the value  
23 calculated as net salvage in the traditional Whole Life  
24 formula.

25 These two external conditions were rapid

1 increases in labor rates and environmentalism. In turn,  
2 those external conditions have caused net salvage to  
3 become a large cost instead of a positive value.

4 Do you recall that?

5 A. I'm looking at it, yes.

6 Q. So I take it that you truly believe that cost  
7 of removal has increased since 1953?

8 A. Yeah, that's the problem that I see with it,  
9 because you're using these ratios that include these large  
10 increases in inflation and environmentalism and saying  
11 these same events are going to occur in the future or  
12 something is going to occur that is going to have the same  
13 effect. And for all we know, costs for removal may go  
14 down.

15 When you get costs that are very large,  
16 entrepreneurs start figuring out ways to make them  
17 cheaper.

18 And so that's the problem that we see as Staff,  
19 with using these ratios of what has occurred over the last  
20 30 years or 40 years or whatever the period may be, and  
21 applying them to current plants and saying, well, this  
22 same ratio applies for the next 30 or 40 years into the  
23 future. We simply don't know that that is going to  
24 happen.

25 Q. Let's back up for a second.

1           As you've testified, your experience is  
2   contrary to that up to this point in time.

3           You indeed have seen an increase from 1953,  
4   when the textbook was written, to today. Correct?

5       A.     I haven't seen that, but I believe that's true.

6       Q.     Now, in your direct testimony you also quote  
7   from a text, and indicating that there are practical  
8   difficulties with estimating, reporting and accounting for  
9   net salvage and cost of retirement as support for your  
10  proposed change to treatment of net salvage.

11           Do you recall that?

12       A.     I recall words to that effect, yes.

13       Q.     Doesn't the entire depreciation process have  
14  this sort of practical difficulty with estimating,  
15  reporting and accounting?

16       A.     Are you talking about the life, or what are you  
17  talking about?

18       Q.     Well, let's, yeah, set net salvage aside for a  
19  moment and just talk about the establishment of average  
20  service life, the other parts of the process.

21       A.     Typically, the accounts are analyzed account by  
22  account. And, typically, the plant is similar in the  
23  accounts.

24           Occasionally some companies will mix plant when  
25  they go from an old type of plant which, might be a

1 metallic pipe for services, to a plastic pipe for  
2 services, in natural gas, I'm talking about. And then you  
3 do get a mix.

4 But the software that we use to analyze the  
5 data, allows us to split it, and we can do band analysis  
6 on certain years of data, so that we can do analysis of  
7 life for the years that the metallic plant was in place,  
8 and we can do analysis for the years that the plastic pipe  
9 is in place.

10 And that type of work was done in the Laclede  
11 case just a few years ago, where they told us when  
12 basically they had 100 percent plastic pipe in place, and  
13 we were able to run an analysis on the data that occurred  
14 only for the plastic pipe.

15 Q. But in the end you're still making an estimate  
16 of that life. Correct?

17 A. Yes. It is definitely an estimate, because you  
18 have what is called a stub curve, and you fit to that stub  
19 curve, which is the actual events that are occurring on  
20 that account as far as life plant from the day it's placed  
21 until the day it's retired, age by age, and you plot that  
22 out, and then you use a curve to overlay, which is a time  
23 curve.

24 Characteristically, we use Iowa curves. And  
25 those Iowa curves are a set of curves that are used to



1 determine what the average service life will be, because  
2 they go to zero percent surviving.

3 Q. And to get back to my point, as I say, you  
4 attack the net salvage calculation as relying upon  
5 estimating, reporting and accounting.

6 It seems to me that estimation is going to be a  
7 part of depreciation whether net salvage is there or not.

8 And, in fact, I believe in your direct  
9 testimony, you also assert that the -- you make a  
10 statement that the future is unknown and it cannot be  
11 determined what plant will retire, nor can it be  
12 determined at what time it will retire.

13 Those are two of the factors that would go into  
14 your estimation of service lives. Correct?

15 A. Well, my point is, is that the determination of  
16 that future retirement cost is nowhere near as easy to  
17 analyze as it is to analyze what you would expect the  
18 future life of plant to be.

19 Q. But you do tell me that you do not have a known  
20 date for when plant will retire, nor at what time it will  
21 retire. Correct?

22 A. I -- when we query the Company on their  
23 generating plant, they cannot give us retirement dates.  
24 They do not give us retirement dates.

25 Q. Well, and your point would be that those may

1 not be known. Correct?

2 A. Those retirement dates?

3 Q. Sure.

4 A. I certainly see them as unknown. I don't know  
5 when Riverton is going to retire if the Company doesn't  
6 know.

7 Q. And that's important to the service life of  
8 Riverton, as well as net salvage. Correct?

9 A. The average service life would be determined  
10 based off of a retirement date, if you knew when it was.

11 Of course, if you can set a very short  
12 retirement date in there and do a life-span calculation,  
13 you can get the depreciation rate up high.

14 Q. Now, let me ask you this: In your review of  
15 Empire specifically, did you find any property that would  
16 fit this description: A type of asset that is at or very  
17 near the end of its service life that is not likely to be  
18 replaced and for which the cost of removal is high and  
19 likely to move higher?

20 A. What do you mean by cost for removal is high?

21 Q. I'm leaving it open to your definition.

22 A. Well, let me answer the question, then, so that  
23 I cover both bases.

24 Mass property accounts will be retiring all of  
25 the time. I would not call that high individual costs,

1 but the costs for the full account could be considered  
2 relatively high in any given year.

3 For a life-span-type account, the only thing  
4 that we can see now is what is interim retirements, where  
5 part of the plant is retired and either replaced with new  
6 plants, such as, say, a boiler tube replacement in a power  
7 plant, or something like that, then you have an interim  
8 retirement and a new placement, and you have brand new  
9 dollars in that account.

10 And when you do that, I see that as life  
11 extending, and that is part of what keeps the active plant  
12 going to where we can't -- where the Company doesn't know  
13 what the retirement date is.

14 Q. Let me move on to average service life for the  
15 time being.

16 Now, in this case with regard to the Company's  
17 generating plant, you state that you're proposing to use  
18 the same lives and depreciation rates as determined by the  
19 Staff in Case No. ER-94-174. Correct?

20 A. Yes.

21 Q. Do you have a copy of your data request  
22 responses to the Company's data requests with you by  
23 chance?

24 A. No.

25 MR. COOPER: Your Honor, I'd like to hand a

1 document to the witness, if I could.

2 JUDGE RUTH: Show it to counsel first, please.

3 BY MR. COOPER:

4 Q. If you'll flip back -- I don't know -- it's two  
5 or three pages, I think you'll see the cover sheet that  
6 you signed covering the data request responses.

7 Do you see that?

8 A. Uh-huh.

9 Q. And that's your signature at the bottom, isn't  
10 it?

11 A. Yes.

12 Q. Okay. And then, I think, there is a couple of  
13 pages there with the questions, and then behind that are  
14 your answers. Correct?

15 A. Yes.

16 Q. Okay. Now, if you'd look at Empire Data  
17 Request No. 18-K. I believe the Company requested a copy  
18 of all workpapers, interview notes, memoranda, analyses  
19 and other rationale used as a basis to conclude that no  
20 adjustments to lives and depreciation rates determined for  
21 mortality data were required.

22 And your response to this request in part was  
23 that there was no rationale to support changing generating  
24 plant lives from those determined in the 1994 study.  
25 Correct?

1       A.       18-K?

2       Q.       Yes.

3       A.       The answer here says line 13, page 20, relates  
4 to generation plant only.

5               Am I reading the wrong page?

6       Q.       (Indicating.)

7       A.       Oh. Okay.

8       Q.       I believe it's the lines right below what you  
9 were taking a look at.

10      A.       I'm sorry.

11               Okay.

12      Q.       Would you agree me that that was your answer?

13      A.       That's the response I gave.

14      Q.       That there was no rationale to support change  
15 in generating plant lives from those determined in the  
16 1994 study.

17               That would be correct?

18      A.       Yes.

19      Q.       Okay. Now, if you'd look at your answer to  
20 Data Request 18-O.

21      A.       Uh-huh.

22      Q.       I believe you stated that the ER-94-174  
23 depreciation rates include a provision for future net  
24 salvage cost. Depreciation Staff addresses depreciation  
25 of original plant cost only. Staff auditors address net

1 salvage costs.

2               Therefore, the currently proposed depreciation  
3 rates vary from the depreciation rates by the amount of  
4 future net salvage cost that was added into the ER-94-174  
5 depreciation rates.

6       A.       Uh-huh.

7       Q.       Is that a correct statement of your answer?

8       A.       That's my understanding of what we did.

9       Q.       Now, I take it from your response that your  
10 proposed depreciation rates applicable to generating plant  
11 differ from the currently effective rates which were  
12 proposed by Staff in Case No. ER-94-174 solely by virtue  
13 of your proposal to exclude future salvage costs from  
14 depreciation rates. Correct?

15      A.       I believe that's right.

16      Q.       Okay. Now, I want to turn over to Schedule 1-1  
17 of your direct testimony.

18              Have you had the opportunity to get there?

19      A.       Yes.

20      Q.       Now, as I look at Schedule 1-1, I believe the  
21 column labeled ordered refers to the rates as proposed by  
22 Staff in Case No. ER-94-174 and which were ordered by the  
23 Commission pursuant to a stipulation and agreement in that  
24 same case. Am I correct?

25      A.       I believe that's correct.

1 Q. Could you look at -- let's see -- the existing  
2 depreciation rate, where the ordered depreciation rate,  
3 you show for Account 314, which is turbo generator units  
4 at the Asbury plant?

5 A. Yes.

6 Q. Okay. And what is that?

7 A. The ordered is 39, life --

8 Q. What is the depreciation rate?

9 A. Oh. Excuse me. 2.6.

10 Q. Okay. And as you pointed out, that's based on  
11 a life of 39 years?

12 A. Uh-huh.

13 Q. And a negative net salvage allowance of  
14 1 percent. Correct?

15 A. Uh-huh.

16 Q. Now, look down to Riverton. What is the  
17 depreciation rate you show in your proposal for  
18 Account 314 at the Riverton plant?

19 A. Staff's proposed depreciation rate?

20 Q. Yes.

21 A. 1.59.

22 Q. Okay. And that rate is based on a life of  
23 63 years?

24 A. That would be the interim retirements, I  
25 believe.

1 Q. Okay. Let's move down to the -- well, hold on  
2 just a second here. Let's back up.

3 We talked about Asbury plant, the ordered rate,  
4 Account 314, as being 2.6. Correct?

5 A. Yes.

6 Q. If we do the same thing, the ordered rate for  
7 Account 314 at Riverton, we get 1.79. Correct?

8 A. Yes.

9 Q. Okay. And the Asbury 314 account based on life  
10 of 39 years, negative net salvage of 1 percent. Correct?

11 A. That's the ordered -- that's what this shows as,  
12 the order, and I believe it's correct.

13 Q. As the order existing, however we refer to it.

14 We go to Riverton Account 314, we show that the  
15 1.79 existing is based upon 56.4 years and a negative  
16 1 percent net salvage. Correct?

17 A. Yes.

18 Q. Okay. Now, just to reiterate, if we look at  
19 those Riverton numbers for Account 314, Asbury numbers for  
20 314 and, in fact, if we look at Iatan numbers for 314, the  
21 ordered or existing depreciation rates, all three of those  
22 include a negative 1 percent net salvage. Correct?

23 A. Yes.

24 Q. And if we look at the lives, however, for those  
25 same accounts, the existing or ordered depreciation rates,



1 Account 314 at Riverton, Asbury and Iatan, each of those  
2 accounts is based on a different life. Correct?

3 A. I believe that was probably determined off of  
4 the interim retirements. I can't tell you for sure.

5 Q. But your schedule reflects 56.4 years for  
6 Riverton on Account 314 and 39 years for Asbury for  
7 Account 314 and 34 years for Iatan for Account 314.  
8 Correct?

9 A. As being the ordered lives, yes.

10 Q. Okay. Now, if we move over to your  
11 recommendation, which I believe is under the column  
12 Staff's proposal --

13 A. Yes.

14 Q. -- and we look at Account 314 at Riverton, what  
15 is the depreciation rate reflected there?

16 A. 1.59.

17 Q. Based upon a life of how long?

18 A. 63.

19 Q. And if I look at Account 314 at Asbury, what's  
20 the depreciation rate recommended?

21 A. 1.59.

22 Q. Based upon --

23 A. 63.

24 Q. If I do the same thing at Iatan, what is the  
25 rate?

1       A.       1.59.

2       Q.       And the life is?

3       A.       63.

4       Q.       Okay. So you would agree with me, wouldn't

5       you, that not only is there a change in the use of net

6       salvage, but there is a change in the life being used in

7       Staff's proposal for Account 314 versus the ordered

8       depreciation rates as reflected on your schedule for

9       Account 314 for Riverton, Asbury and Iatan?

10      A.       That's correct.

11      Q.       Let's turn to Empire data request response --

12      or your response to Empire Data Request 18-F.

13              I believe the Company requested all support and

14      documentation on which you rely for your statement on

15      page 9, line 9 of your direct testimony, that the Company

16      does not spend the money currently and sometimes never.

17              And I believe your response to that same data

18      request was, for my experience in meetings, I have learned

19      that sometimes plant is sold rather than retired, and at

20      retirement some plant is not removed.

21              Is that correct?

22      A.       That's the answer to 18-F, yes.

23      Q.       With regard to the meetings you mentioned in

24      response to 18-F, how many of those meetings were Empire

25      specific?

1       A.       We've -- we only met with Empire once relative  
2 to this rate case.

3       Q.       And I take it you did not perform any sort of  
4 study -- any sort of written study or review of Empire's  
5 past practice in retirement and removal of property?

6       A.       No.

7       Q.       Did you have the opportunity to review Company  
8 Witness Mr. Loos's workpapers in preparing your testimony  
9 in this case?

10      A.       I've reviewed them to some degree.

11               MR. COOPER: Your Honor, I'll show this  
12 document to opposing counsel; then I'd like permission to  
13 hand it to the witness, if that's all right.

14               JUDGE RUTH: Can you go ahead and describe it  
15 for the record?

16               MR. COOPER: Yes.

17               What I'm going to show to counsel and then hand  
18 to the witness will be Mr. Loos's workpapers.

19               JUDGE RUTH: Thank you.

20               MR. COOPER: And as pointed out by Staff, I'll  
21 clarify that they were a portion of Mr. Loos's workpapers.

22 BY MR. COOPER:

23      Q.       Do you recognize that document as a portion of  
24 the workpapers that you would have reviewed during the  
25 course of preparing your testimony?

1       A.       I'm going to say I presume it's the same ones  
2 we received, because -- I can't tell you right offhand.  
3 The ones we had were clipped together, xeroxed copies of  
4 stuff. I don't remember handwritten sheets on them.

5               But go ahead.

6       Q.       Okay. In the upper right-hand corner there are  
7 sequential handwritten numbers. Do you see those?

8       A.       Yes.

9       Q.       If you could please turn to handwritten number,  
10 page 717, I'd appreciate it.

11              Does that purport to be the depreciation rate  
12 analysis for Riverton Station?

13       A.       Yes.

14       Q.       Can you look down at line 13, I believe it's  
15 entitled Future Interim Additions.

16       A.       Yes.

17       Q.       Is there a total for Riverton of 3.2 -- well,  
18 \$3,288,436?

19       A.       Yes.

20       Q.       Now, if you would turn to your surrebuttal  
21 testimony, page 5, line 11, could you please read the  
22 question that starts on that line followed by the answer?

23       A.       On page 26 and forward of Mr. Loos's rebuttal  
24 testimony, he discusses the need for his estimated future  
25 investments, also called capital maintenance, to the State

1 Line Combined Cycle, SLCC, unit to be -- to achieve his  
2 proposed average service life of that unit.

3 Is this consistent with other plant that he  
4 addresses in his depreciation work?

5 Q. Now, if you could read for us the answer that  
6 follows?

7 A. No. To be consistent, Mr. Loos would be making  
8 estimates of plant additions (his future interim Capital  
9 Maintenance) to all other plant. Although he does include  
10 State Line Unit 1, the simple combustion turbine used for  
11 peaking, in his future interim Maintenance Capital  
12 projections, he has no such projections for Iatan, Asbury  
13 Riverton, Ozark Beach and Power Center generating plants.

14 He fails to explain why he projects future  
15 interim Maintenance Capital for over \$212 million at the  
16 State Line location and zero future interim Maintenance  
17 Capital at all other locations.

18 Q. Now, let's go back to those workpapers that you  
19 still have, I believe.

20 Can you turn to handwritten, Page No. 736.

21 A. Yes.

22 Q. And that purports to be the Depreciation Rate  
23 Analysis for Asbury Unit Train Line -- let me back up --  
24 Depreciation Rate Analysis for Asbury Unit Train.  
25 Correct?

1       A.       Yes.

2       Q.       And at line 13 we have an item for Future

3 Interim Additions.   Correct?

4       A.       Yes.

5       Q.       And what is that total?

6       A.       \$440,000.

7       Q.       Okay.   Let's turn to handwritten page 754 in

8 the same document.

9               That page purports to be Depreciation Rate

10 Analysis for Asbury Station.   Correct?

11       A.       Yes.

12       Q.       Okay.   Line 13, again, is entitled Future

13 Interim Additions.   Correct?

14       A.       Yes.

15       Q.       And what's the total reflected?

16       A.       26.2 million.

17       Q.       And if we turn to handwritten page 771, that

18 purports to be Depreciation Rate Analysis for Iatan

19 Station.   Correct?

20       A.       Yes.

21       Q.       And line 13, again, is entitled Future Interim

22 Additions.   Correct?

23       A.       Yes.

24       Q.       And what total is reflected there?

25       A.       3.46 million.

1 Q. And let's turn to handwritten page 788. That  
2 purports to be the Depreciation Rate analysis for  
3 Ozark Beach Station. Correct?  
4 A. Yes.  
5 Q. Line 13, again, is entitled Future Interim  
6 Additions. Correct?  
7 A. Yes.  
8 Q. And what is the total reflected there?  
9 A. 1 million.  
10 Q. And if we turn to handwritten page 805, I  
11 believe we have a document that purports to be  
12 depreciation rate analysis for Combustion Turbine  
13 (Riverton, Energy Center.) Is that correct?  
14 A. Riverton and Energy Center, yes.  
15 Q. Line 13, again, entitled Future Interim  
16 Additions. Correct?  
17 A. Yes.  
18 Q. And you actually have two numbers on --  
19 A. About 7 1/2 million.  
20 Q. Okay. And if we turn to page 842, handwritten  
21 page 842, that purports to be Depreciation Rate Analysis  
22 for State Line Units. Correct?  
23 A. Yes.  
24 Q. And line 13, again, is entitled Future Interim  
25 Additions. Is that correct?

1 A. Yes.

2 Q. And there is a dollar amount there for State  
3 Line Unit 1 and State Line Unit 2. Correct?

4 A. Yes.

5 Q. And the total of those would be approximately  
6 212 million. Correct?

7 A. Yeah. That's the part that I referred to.

8 I believe his testimony wrote that -- in his  
9 testimony wrote this \$212 million was the only future  
10 interim additions that he was addressing.

11 I didn't pick these others up. I'm sorry.

12 MR. COOPER: Your Honor, at this time I'd like  
13 to do two things, I guess.

14 First, I'd like to ask the Commission to take  
15 official notice of Section 393.135, Revised Statutes of  
16 Missouri, which we discussed earlier during this  
17 cross-examination.

18 I can provide copies of those to the reporter  
19 if we want to mark -- if we want to mark that. I really  
20 don't have a preference. I'm asking for how you refer to  
21 do it.

22 JUDGE RUTH: I don't believe it's necessary to  
23 mark one of those for identification. We'll take official  
24 notice of Section 393.135.

25 Is that the correct cite?



1 MR. COOPER: That is correct, yes, Your Honor.

2 Similarly, a regulation that I referred to  
3 earlier, and Mr. Adam read from was, 4 CSR 240-20.030, and  
4 I'd like to ask that the Commission take official notice  
5 of that regulation as well.

6 JUDGE RUTH: Let me make sure I have that  
7 right.

8 4 CSR 240-20.030?

9 MR. COOPER: Correct.

10 JUDGE RUTH: The Commission will also take  
11 official notice of that CSR provision.

12 MR. CONRAD: Judge, maybe I'm confused. I  
13 don't have any objection to either thing, but I don't know  
14 that you need to take official notice of the statutes or  
15 your own rules. I mean, they're there.

16 JUDGE RUTH: I'll just note for the record,  
17 though, that they have been pointed out, and the  
18 Commission will be sure and review them.

19 MR. COOPER: And the last thing, I would like  
20 to mark an exhibit, if I could.

21 JUDGE RUTH: Okay. Would you please identify  
22 it?

23 MR. COOPER: This will be those pages of  
24 Mr. Loos's workpapers that Mr. Adam and I just went  
25 through while he was on the stand.

1 JUDGE RUTH: Thank you.

2 I believe we're up to Exhibit 98, for  
3 identification purposes.

4 So this would be workpapers from Mr. Loos  
5 marked as Exhibit 98 for identification purposes?

6 MR. COOPER: Correct.

7 Do you want to describe it as an excerpt from  
8 Mr. Loos's workpapers?

9 JUDGE RUTH: Yes. Thank you. Excerpts.

10 (EXHIBIT NO. 98 WAS MARKED FOR IDENTIFICATION  
11 BY THE COURT REPORTER.)

12 MR. COOPER: At this time, Your Honor, I would  
13 like to offer Exhibit 98.

14 JUDGE RUTH: Okay. Do the parties have any  
15 objections to Exhibit 98?

16 MR. CONRAD: These were excerpts from  
17 Mr. Loos?

18 JUDGE RUTH: Yes, excerpts from Mr. Loos.

19 And I count there are seven pages. At the top  
20 they're marked 717, 736, 754, 771, 788 and 805 and 842.

21 MR. CONRAD: Judge, did this witness prepare  
22 them, or has he identified them?

23 MR. COOPER: I believe, Your Honor, that this  
24 witness has stated that it was part of the material that  
25 he reviewed in putting together his recommendation.

1 JUDGE RUTH: Just a moment.

2 MR. CONRAD: No foundation.

3 JUDGE RUTH: You'll need to lay more of a  
4 foundation. And if you need to recall your witness, we  
5 can do that later.

6 So we'll wait on admitting this into the  
7 record.

8 BY MR. COOPER:

9 Q. Mr. Adam, let's go back to your surrebuttal  
10 testimony. I believe that on page 5 of your surrebuttal  
11 testimony, we talked about a statement that you made in  
12 relation to what interim plant additions Mr. Loos included  
13 in his documentation. Correct?

14 A. Correct.

15 Q. And the point of your answer was that you  
16 believed at the time you wrote that answer, that Mr. Loos  
17 had included 212 million of interim additions for the  
18 State Line unit but zero interim additions at Iatan,  
19 Asbury, Riverton, Osage Beach and Power Center. Correct?

20 A. Yes.

21 I believe there is part of -- either his  
22 testimony or somewhere else in his statements where he  
23 talks about capital maintenance only being at State Line.

24 Q. And I believe we also discussed that in putting  
25 together your testimony and arriving at your testimony to

1 include the question and answer on page 5, beginning at  
2 line 11, that part of the information you took into  
3 account was Mr. Loos's workpapers. Correct?

4 A. I believe I had access to that. I'll have  
5 to -- I would double-check, if requested to.

6 Q. And prior to beginning our series of questions  
7 and answers and regarding Mr. Loos's workpapers, I believe  
8 you at least acknowledged that you believed the workpapers  
9 you had been handed were the workpapers or a copy of the  
10 workpapers that you reviewed in preparing your testimony.  
11 Correct?

12 A. I believe I had these at my disposal.

13 Q. Did you ever look at them?

14 A. Yes.

15 Q. Okay.

16 A. But I told you at the beginning that I didn't  
17 look at them in detail.

18 Q. And I believe as a result of our conversation,  
19 our questions and answers, you told me that you had  
20 overlooked the interim additions that Mr. Loos had indeed  
21 included for Asbury, Riverton, Osage Beach and the  
22 Power Center. Correct?

23 A. I have overlooked them in this statement, yes.  
24 It wouldn't change my position in my rates.

25 Q. But it would change the statement, wouldn't it?