

1

STATE OF MISSOURI

NOTES

2

PUBLIC SERVICE COMMISSION

3

4

5

TRANSCRIPT OF PROCEEDINGS

6

In-Camera Testimony

7

August 10, 1998

8

Jefferson City, Missouri

9

Volume 2

10

11

In the Matter of Laclede Gas)
 Company's Tariff Sheets Designed) CASE 60-98-484
 to Extend for an Additional)
 Period the Experimental Price)
 Stabilization Fund.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

REPORTED BY:

ERICA SCHULTE, CSR

ASSOCIATED COURT REPORTERS, INC.

ASSOCIATED COURT REPORTERS, INC.

(573) 636-7551 JEFFERSON CITY, MO 65101

7

NOTES

Exhibit No. 11
 Date 6-21-01 Case No. GT-2001-329
 Reporter KF

1 normal winter volumes requirement for mandated
2 price protection in the existing program was
3 developed?
4 A. That number was also based upon
5 discussions with at least two or three of the LDCs
6 involved in the program, at least a negotiated
7 number. The logic behind the number was to try and
8 get the lion's share of the flowing supply during
9 what was considered the winter months, November
10 through March covered.
11 Q. So there was a general intent to get a
12 significant portion of those volumes covered but
13 not their entirety?
14 A. That's correct.
15 Q. And can you tell me, if you recall, what
16 kind of specific at risk assessments were done to
17 determine whether 70 percent was okay versus
18 75 percent or 80 percent in balancing the risk and
19 potential benefit to the ratepayer when that number
20 was developed?
21 A. The only assessment, quantitative
22 assessment, that I can recall was some discussion.
23 And I think some faxes passed back and forth to try
24 and get a handle on what a warmer than normal
25 winter would be. And my recollection was that was

ASSOCIATED COURT REPORTERS, INC.
(573) 636-7551 JEFFERSON CITY, MO 65101
132

1 around 10 percent.
2 And the Staff did not want to get into a
3 situation where you would have a warmer than normal
4 winter which could be perhaps 90 percent of the
5 flowing supply, where the LDC had shopped for a
6 normal winter and fully covered its normal supplies
7 and been, in essence, overhedged, had coverage for
8 gas that it didn't -- it wasn't buying in the
9 market.
10 But there was some subjectivity to that as
11 well. I would say an additional consideration was
12 the cost. We looked at the per customer per year
13 cost, the percentage that the total premium would
14 be of gas cost and tried to keep it at a relatively
15 low number.
16 Q. So there were a number of factors that
17 were taken into consideration. And I guess my
18 question is, was there some sort of detailed risk
19 assessment performed by the Staff to develop that
20 number?
21 A. No, there was not.
22 Q. And under the prior program before it was
23 reauthorized by the Commission I believe in May of
24 this year there was I believe a strike price range
25 of 280 to 320 which was adjustable based on changes

ASSOCIATED COURT REPORTERS, INC.
(573) 636-7551 JEFFERSON CITY, MO 65101
133

NOTES

1 in the market; is that correct?
2 A. That's correct.
3 Q. Can you tell me how that specific price
4 strike range was established?
5 A. Again, I believe the way that the
6 spreadsheet was set up, we first looked at target
7 numbers and given a certain market condition how
8 many options would it take to cover using
9 \$4 million; \$4 million being approximately
10 1 percent of Laclede's gas cost, one and a half
11 percent if you just look at the raw gas cost
12 without none gas cost.
13 So I think, in essence, you were trying to
14 put together certain variables, trying to cover
15 70 percent of the flowing, 70 percent of flowing
16 was a given. That's a number that you have to
17 start out with.
18 You look at the option prices for various
19 strikes, and I think two or three strike prices
20 were calculated. You might get costs of
21 \$3 million, \$4 million and \$5 million. And that's
22 why a range was set out. We thought that somewhere
23 in that range you could get close to the \$4 million
24 level.
25 Q. Well, I guess on a broader level then what

ASSOCIATED COURT REPORTERS, INC.
(573) 636-7551 JEFFERSON CITY, MO 65101
134

1 kind of risk assessment was performed to determine
2 that it was appropriate from a risk benefit
3 standpoint for the ratepayer to spend approximately
4 \$4 million on strike prices between 280 and 320 on
5 70 percent of the volumes?
6 I mean, how did that specific amount, if
7 you will, of factors, get determined? What kind of
8 study was done to justify that?
9 A. Well, I think generally -- and there
10 wasn't a detailed risk assessment performed, but
11 generally at that time we were looking at where the
12 index price could go and we've always done this.
13 We know with almost ten years of NYMEX
14 history that the index or the futures contract
15 price can settle at a certain low and it's made it
16 up to a certain maximum high. We also know from
17 looking at the LDC gas supply contracts what the
18 range has been.
19 And we had the experience of the winter of
20 '96, '97 where you had a lot of complaints,
21 certain LDCs had a lot of complaints. We certainly
22 had a lot of concern from the legislature. We had
23 a lot of concern from the media.
24 And these were at prices of around \$4.
25 And so that was another signal that we had to

ASSOCIATED COURT REPORTERS, INC.
(573) 636-7551 JEFFERSON CITY, MO 65101
135

NOTES

1 recognize the gas supply contracts didn't have an
2 adherent limitation which contracts with the
3 producers just referred to in index but you didn't
4 know what the price was going to be later. It was
5 going to be set maybe nine months down the road.
6 And so it certainly made sense to put some
7 cap on it and there is a lot of judgment that goes
8 into where that cap needs to be set. We believed
9 \$4 million was a reasonable level. It was a
10 reasonable cost to be set. And back when we were
11 looking at the market that could have gotten you in
12 at strike prices of anywhere from 280 to 320.
13 However, I think we recognized that the
14 prices could be higher and we weren't unwilling to
15 have them open end on the \$4 million cost so we
16 allowed the Company the discretion really to adjust
17 that strike price no further than what you could
18 buy \$4 million for.
19 Q. Yeah. And I appreciate that explanation.
20 And would you agree with me that having given that
21 a lot of features of the existing program were
22 developed based on, you know, reasonable judgment
23 decisions based on prior experience as opposed to
24 just sitting down and reading a lot of -- or
25 preparing a lot of studies and a lot of risk

ASSOCIATED COURT REPORTERS, INC.
(573) 636-7551 JEFFERSON CITY, MO 65101
136

1 assessments and that type of thing?
2 A. I would agree with that. It was based
3 upon market experience and the experience that
4 we've had in looking at the LDCs portfolio.
5 Q. And would the same thing generally be true
6 about the \$4 ceiling that's included in the
7 existing program?
8 A. I think generally you could say the same
9 thing about the \$4 strike if you're saying that
10 that's based upon judgment and using market
11 experience, yes.
12 Q. I'd like to ask you just a couple of
13 questions if I could about your experience with the
14 natural gas futures and options market. And how
15 would you characterize your experience either
16 reviewing or participating in those markets?
17 A. It's been an oversight of various
18 transactions. It's more of a review role.
19 Q. And have you ever purchased or sold a
20 natural gas futures contract or option?
21 A. No.
22 Q. Have you seen one in the process of being
23 purchased and sold?
24 A. No. Well, no. I have to restate that. I
25 have not physically been in the trading pit nor

ASSOCIATED COURT REPORTERS, INC.
(573) 636-7551 JEFFERSON CITY, MO 65101
137

NOTES

1 have I made any trades. I'm not a broker, but I
2 would say that we visit the Kansas City Board of
3 Trade and we've seen the contracts being bought and
4 sold.
5 We've -- you know, reviewed over the
6 Internet the opening of the electric futures
7 contracts, so we've seen the trading in the pit
8 there as well. So, you know, we've witnessed --
9 the Staff has witnessed the activity of buying and
10 selling the market, but I haven't personally been
11 involved in those transactions.
12 Q. Do you try and follow the NYMEX market on
13 a daily basis?

14 A. I can't say that I know on a daily basis
15 what the price is, but I would say 90 percent of
16 the time.

17 Q. And in total how much time would you spend
18 being involved in one way or another with the
19 natural gas financial instruments?

20 A. The total time, if you use that to include
21 working on the hedging proposals, reviewing the
22 programs, taking a look at the various data request
23 that have been put out for the three LDCs it's a
24 significant amount of time, I'd say probably 25
25 percent.

ASSOCIATED COURT REPORTERS, INC.
(573) 636-7551 JEFFERSON CITY, MO 65101
138

1 Q. Okay. Turning to your rebuttal testimony
2 on page 8, line 5 you cite what you believe is a
3 lack of specificity and clarity in the Company's
4 proposed plan. And then on line 9 you go on to
5 criticize the Company for failing to provide
6 numerical examples.

7 And I think you've also said elsewhere in
8 your testimony the Company's proposal is vague.
9 Have you -- did you review Mr. Busch's examples of
10 how the proposal of the Company could potentially
11 operate under various kinds of scenarios?

12 A. Yes.

13 Q. When Mr. Busch gave those examples at the
14 various calculations do you think he had a
15 incomplete and faulty understanding of the
16 Company's proposal?

17 A. No, I do not.

18 Q. And you've had an opportunity to review
19 the surrebuttal testimony of Mr. Jaskowiak and the
20 surrebuttal testimony of the other Company
21 witnesses?

22 A. Yes.

23 Q. And have you had an opportunity to review
24 the various schedules in which -- in response to
25 Staff's concerns Mr. Jaskowiak has tried to

ASSOCIATED COURT REPORTERS, INC.
(573) 636-7551 JEFFERSON CITY, MO 65101
139

NOTES